

## **Oral Hearing**

**Day 12 – Tuesday, 29th November 2022**

**Being heard before: Ms Christine Smith KC (Chair)**  
**Dr Sonia Swart (Panel Member)**  
**Mr Damian Hanbury (Assessor)**

**Held at: Bradford Court, Belfast**

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

---

**Gwen Malone Stenography Services**

1 THE INQUIRY RESUMED ON TUESDAY, 29TH DAY OF  
2 NOVEMBER, 2022 AS FOLLOWS:

3  
4 CHAIR: Good morning, everyone. Mr. Hughes,  
5 Mr. Gilbert, good morning, welcome. It's very unusual 10:08  
6 for us to have two witnesses giving evidence at the one  
7 time. Can I just remind you both we only have the one  
8 microphone and we need to pick up what each of you say.  
9 If you wouldn't mind putting it between you, that's  
10 a good idea. Thank you. 10:08

11  
12 MR. HUGH GILBERT, HAVING BEEN SWORN, WAS EXAMINED BY  
13 MR. WOLFE KC AS FOLLOWS:

14  
15 DR DERMOT HUGHES, HAVING BEEN SWORN, WAS EXAMINED BY 10:08  
16 MR. WOLFE KC AS FOLLOWS:

17  
18 MR. WOLFE KC: Good morning. For the record, the first  
19 witness who took the oath this morning was Mr. Hugh  
20 Gilbert and the second witness who took the oath was 10:09  
21 Dr. Dermot Hughes.

22  
23 Good morning, Panel, as you say, a slightly unusual but  
24 not wholly unconventional arrangement this morning.  
25 Lawyers sometimes call it hot-tubbing, but we have two 10:09  
26 witnesses and the road map, if you like, this morning,  
27 just to explain. As you know from your papers,  
28 Dr. Hughes and Mr. Gilbert were commissioned by the  
29 Southern Health and Social Care Trust to form part of

1 a Serious Adverse Incident Review team, or panel, which  
2 examined nine cancer cases; five of us were prostate,  
3 two renal, one testicular, and one penile. They  
4 carried out their work in late 2020 and into 2021.  
5 Their evidence this morning, the rest of the day and 10:10  
6 into tomorrow, will, hopefully, assist the Inquiry,  
7 particularly in relation to Term of Reference Part C.  
8 Their evidence should enable the Inquiry to develop  
9 a better understanding of the clinical aspects of the  
10 cases which reached the threshold for an SAI, and the 10:10  
11 kinds of deficiencies in governance which they, in  
12 their various reports, identified.

13  
14 Before getting into some of the issues arising out of  
15 all of that, let me just ask the witnesses about their 10:11  
16 Section 21s.

17  
18 First of all, Mr. Gilbert, if I could have up on the  
19 screen for you your Section 21 response to the Inquiry.  
20 It can be found at WIT-85886. Do you recognise that, 10:11  
21 Mr. Gilbert?

22 A. MR. GILBERT: Yes.

23 1 Q. If we can scroll down, I think there's a signature on  
24 the last page at line 1, 85891, yes, it's  
25 electronically signed, dated 9th November 2022. Do you 10:11  
26 wish, Mr. Gilbert, to adopt that statement as part of  
27 your evidence to the Inquiry?

28 A. MR. GILBERT: Yes.

29 2 Q. Thank you. And similarly, Dr. Hughes, you provided

1 a Section 21 response, we will call it a statement, on  
2 17th October 2022, it can be found, let's go to the  
3 first page, WIT-84148. Again, Dr. Hughes, that should  
4 be familiar to you?

5 A. DR. HUGHES: Yes. 10:12

6 3 Q. Let's scroll to the last page, WIT-84176. There you  
7 go, your signature. That's your signature?

8 A. DR. HUGHES: Yes.

9 4 Q. Any amendments or revisions that you wish to indicate?

10 A. DR. HUGHES: No. 10:12

11 5 Q. I might, and perhaps should have done this in advance.  
12 My apologies. Can I just bring you to something  
13 I spotted, WIT-84152, and see if you can resolve this  
14 for me? Paragraph 10(i), here you are talking about  
15 the circumstances in which you were briefed about the 10:13  
16 SAIs, and you talk about the involvement of the PHA,  
17 the Public Health Agency. The last sentence, the  
18 classification of the SAI process would be agreed  
19 between the Trust and, it says SAI, I assume it should  
20 say PHA? 10:13

21 A. DR. HUGHES: It should have said PHA. I beg your  
22 pardon.

23 6 Q. No problem. I should have spoken to you in advance.  
24 If we can delete SAI and insert the word PHA?

25 A. DR. HUGHES: Yes, please. Apologies for that. 10:14

26 7 Q. Not at all. The final piece of housekeeping before we  
27 begin, gentlemen, is you should have in front of you  
28 a cipher list. When you wish to refer to the name of  
29 a patient, you should use that cipher list.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

I trust the Panel have a copy of it?

CHAIR: Yes.

MR. WOLFE KC: what should be immediately obvious is that the cipher list that we have been using to date, 10:14  
has had to be tweaked slightly because, within the SAI reports, the patient designations are letters, so patient A, to read across into the patient ciphers that the Inquiry has been using in respect of patient A, should be Patient 1. I will hope to be consistent in 10:15  
using the Inquiry's ciphers, but we have that designation list for clarification. Of course, as I said before, everybody should be conscious of the restriction order which applies in these hearings and refrain from identifying any patient or family member 10:15  
by name.

Mr. Gilbert, you are a Consultant Urologist?

A. MR. GILBERT: Yes, I have been a Consultant Urologist for 24, 25 years, the first 23 in Gloucestershire. 10:15

8 Q. If I just stop you there. It's just for the ease of the Panel's note and your own eye. Let's bring up your statement to guide us through this, WIT-85890. College medical degree, and then various Royal Colleges. Scrolling down to your employment, first employed as 10:16  
a Consultant in 1996 at Gloucester, and 19 years there or so, maybe longer than that?

A. MR. GILBERT: 23 altogether.

9 Q. 23.

1 A. Yeah.

2 10 Q. Then a short hop over to Bristol in 2019?

3 A. MR. GILBERT: Yes.

4 11 Q. You have been there to date. You tell us, just below  
5 that, in positions, in terms of the positions that you 10:16  
6 have held that are perhaps most relevant to the work  
7 that you were asked to do for the Southern Trust, can  
8 you highlight some of that for us, please?

9 A. MR. GILBERT: Yeah. As a Consultant Urologist I have  
10 been involved in case reviews for my own Department, 10:17  
11 initially. I was responsible for setting up the MDT  
12 when Improving Outcomes Guidance was first published  
13 just over 20 years ago. I then became the Clinical  
14 Director for General Surgery and Urology Services, and  
15 established a formalised Clinical Governance structure 10:17  
16 with regular reviews of performance in terms of  
17 publishing audits, and so on and so forth.  
18 I subsequently volunteered to become a GMC Performance  
19 Assessor, which essentially was a review of notes to  
20 ascertain the effectiveness of someone's practice and 10:18  
21 subsequently their ability to put that into effect,  
22 because there were questions about the individuals  
23 concerned. I then became part of the Invited Review  
24 Mechanism, which is a body under the auspices of the  
25 Royal College of Surgeons in London. This is 10:18  
26 a surgical group subdivided into specialties and is  
27 a resource for Chief Executives and Medical Directors  
28 to obtain independent and systematic advice regarding  
29 any concern they might have about a Service or an

1 individual. In 2019, at competitive application, I was  
2 appointed as its lead for Urology.

3 12 Q. Yes. Thank you. That's very helpful.

4  
5 Dr. Hughes, likewise, if we could have up on the screen 10:19  
6 WIT-84149. At paragraph 4, yes -- so you are  
7 a pathologist by trade, by profession?

8 A. DR. HUGHES: Yes, I am a histopathologist by trade.  
9 I trained in Northern Ireland and I also trained in  
10 Washington D.C. Following that, I was appointed as 10:19  
11 a Consultant Histopathologist in the Western Trust in,  
12 goodness, in 1990. I managed Pathology Services in  
13 that, and I was a senior lecturer in Queen's University  
14 Belfast. In my time there, I became the Lead Clinician  
15 for Cancer Services and Diagnostics from 2003 to 2008. 10:20  
16 After that I became the Medical Director for the  
17 Northern Ireland Cancer Network between 2008 and 2011.  
18 At that time, we were setting up MDT services across  
19 Northern Ireland, and I led and brought in the first  
20 round of peer review of Cancer Services in Northern 10:20  
21 Ireland, and that was facilitated by the London team.  
22 At that time the initial work was with breast cancer,  
23 lung cancer and colorectal cancer.

24  
25 Following that appointment, I returned back to the 10:20  
26 Western Trust and was Clinical Director of Diagnostics  
27 in Cancer Services. At that time we developed  
28 a cross-border Radiotherapy Centre and a cancer  
29 Service, which is shared between the Republic of

1 Ireland and Northern Ireland. I then became the  
2 Associate Medical Director and eventually became the  
3 Medical Director of the Trust for four years. I am  
4 a visiting professor of the Ulster University, at the  
5 newly established graduate entry medical school, and 10:21  
6 I currently am an Associate with the Leadership Centre.  
7 Some of my work that I currently do, I spend one day  
8 a week at the Independent Medical Examiner's Office,  
9 I have supported RQIA in the review of deceased  
10 patients who were previously seen by Dr. Watt, and I am 10:21  
11 the senior responsible owner for the Encompass Project  
12 for Northern Ireland, which is an Epic implementation  
13 to completely review the IT infrastructure on an Epic  
14 platform for Health and Social Care and providing  
15 a portal for patients. 10:21

16 13 Q. In terms, Dr. Hughes, of your SAI experience and know  
17 how, if I can put it in those terms, could I draw your  
18 attention to what you have said at WIT-84149. Just  
19 scroll down the page to paragraph 5. You have  
20 explained that you have formal training in SAI, that 10:22  
21 you have chaired SAIs and that, as Medical Director,  
22 you had a review and quality assurance role. You  
23 suggest that your experience, between 2015 and '19,  
24 shortly before doing this work for the Southern Trust,  
25 that quality assurance role brought 350 cases across 10:22  
26 your desk?

27 A. DR. HUGHES: Yes, all SAIs in the Trust would have been  
28 reviews at Director level, and I chaired that process,  
29 and that was to assure immediate learning to quality



1 assure and make sure that the learning was embedded  
2 within the system. Subsequently to that, after leaving  
3 that role, I have done a range of SAIs, one -- as well  
4 as the Southern Trust, one I have done work for the  
5 Belfast Trust reviewing nine cancer-related cases in  
6 Thoracic Surgery. I have also done two nosocomial  
7 covid SAIs relating to outbreaks of Covid, both within  
8 the Western Trust. These would have involved patient  
9 engagement and chairing SAIs processes. I think it was  
10 about 22 patients in total.

10:23

10:23

11 14 Q. We will come on, in just a few moments, to look at the  
12 circumstances in which you became to be appointed to  
13 the role for the Southern Trust. Your role  
14 specifically, Dr. Hughes, was to be the external  
15 Independent Chair; isn't that correct?

10:24

16 A. DR. HUGHES: Yes, that's correct.

17 15 Q. Mr. Gilbert, again, external independent subject matter  
18 expert, I suppose, with responsibility for reviewing  
19 the clinical aspects, benchmarking, and providing  
20 an analysis of any deviation from benchmark?

10:24

21 A. MR. GILBERT: Exactly, yes.

22 16 Q. Dr. Hughes, in the last paragraph of your statement,  
23 I'm going to bring it up in front of you just to  
24 orientate you, it's WIT-84175, paragraph 24. You draw  
25 the Inquiry's attention to the General Medical  
26 Council's guidance called Leadership and Management For  
27 All Doctors, which was published in January 2012, and  
28 you go on to say:

10:25

1 "I have used this guidance to benchmark how doctors  
2 with additional responsibilities perform in the  
3 management of governance of care delivered by teams  
4 they manage."

10:25

5  
6 You say:

7  
8 "The principles set out in this document have informed  
9 my clinical and managerial practice and informed the  
10 approach to the ten Serious Adverse Incident review  
11 reports"  
12 which you prepared for the Southern Trust.

10:26

13  
14 Just on that, why is that an important document from  
15 your perspective?

10:26

16 A. DR. HUGHES: I think it's a very important document  
17 because it describes how professionals work in teams.  
18 It describes how professionals work with other  
19 professionals. It describes the responsibilities that  
20 people should know they are adopting when they take on  
21 roles of Leadership. It details the expectations of  
22 these professionals. Sometimes I have found in the  
23 past that people take on Leadership roles thinking it's  
24 a seniority, thinking it's a vague role to do, without  
25 actually seeking detailed information about what the  
26 expectations are, what the goals are, and what they  
27 should do when there are problems. That could be  
28 interpersonal problems, that could be resource  
29 problems, that could be many. This document is set out

10:26

10:26

1 in a very helpful, straightforward manner to explicitly  
2 state how people should approach their roles. It's  
3 divided into expectations of all doctors who work in  
4 teams, and then it has doctors with additional  
5 responsibilities. I think often when you talk to 10:27  
6 people who have taken on additional responsibilities,  
7 A, they are not aware of the document, and B, they are  
8 not aware of the expectations that roles often are  
9 required of them [sic].

10 17 Q. Yes. I'm going to touch on some of the principles, 10:27  
11 maybe principles is perhaps the wrong word in the  
12 context, certainly the guidance within that document,  
13 in just a moment, and you can help me with some of the  
14 points that you think were particularly important in  
15 guiding your work. Just as a general issue on this 10:28  
16 whole area of medical management, obviously the Inquiry  
17 is at a very early stage of hearing evidence, but last  
18 week, or was it the week before, we heard from  
19 Mr. Haynes, who took up the role of Associate Medical  
20 Director within the Surgery and Elective Care side of 10:28  
21 the Southern Trust. He had specific responsibility for  
22 Urology and he took up that position from October 2017.  
23 Just asking, not necessarily specifically in relation  
24 to him, but I will set it out in his context; he  
25 reflected to the Inquiry that, as a very busy 10:29  
26 Clinician, holding down a practice in the Southern  
27 Trust but also providing nephron sparing services to  
28 Belfast, I think, one day a week, he was also Chair of  
29 NICA, that he had great difficulty in carrying out all

1 of the duties necessary to comply with the job  
2 description of Associate Medical Director. In general  
3 terms, is that a problem perhaps in Northern Ireland,  
4 or in Trusts within Northern Ireland, that you have  
5 come across, that doctors take on these managerial 10:29  
6 roles but the resources aren't there necessarily to  
7 support them to do it properly?

8 A. DR. HUGHES: I suspect it's a problem across the UK and  
9 I expect it's a problem throughout the NHS. Often  
10 people who seek these senior roles are highly 10:30  
11 functional, high achievers, very busy people, and often  
12 if you want something done you ask a busy person, but  
13 sometimes they may not have enough insight into the  
14 roles they are taking on, and sometimes people need to  
15 be protected from their own willingness and people 10:30  
16 should step back, make sure they understand the roles  
17 and responsibilities of an Associate Medical Director  
18 before, you know, assenting to that role. I often  
19 think people are not mentored, not guided, not  
20 supported, so people end up dealing with quite complex 10:30  
21 issues and there's nothing more complex than dealing  
22 with your immediate colleagues, because that's an  
23 incredibly difficult psychological space to be in,  
24 without training, without support, and without  
25 expertise. I have seen that frequently in Northern 10:31  
26 Ireland. People are offered training episodically, but  
27 often it's not necessarily focused on the skills they  
28 need.

29 18 Q. Yes. Mr. Gilbert, could I ask you have you any

1 reflections on that broad area? You have been  
2 a Medical Manager, I suppose, and you point in your CV  
3 to Director's role and I think Clinical Director's role  
4 as well. Is there a difficulty, perhaps a fundamental  
5 difficulty, in busy Clinicians also taking on  
6 managerial roles and being able to deal with them  
7 effectively?

10:31

8 A. MR. GILBERT: Undoubtedly, there is. Very often, people  
9 don't volunteer to do these jobs, it's a question of  
10 everybody else stepping backwards, and very often it's  
11 a baton which is passed from one Clinician to another  
12 after a fairly short time, simply because it's an  
13 untenable position in many respects, and largely  
14 because hitherto there's been very little support and  
15 training for what is, in fact, a very specialised job.  
16 That is being addressed by Leadership courses up and  
17 down the country, and certainly in the southwest anyone  
18 aspiring to this sort of role will now go through the  
19 appropriate training, but that hasn't been the case  
20 across the country.

10:32

10:32

10:32

21 19 Q. Thank you for that. Dr. Hughes, I promised I was  
22 going to bring you to the Leadership Management GMC  
23 document, so if I can have that up on the screen,  
24 please. It's INQ-30227. I wonder is there an earlier  
25 page to it. I want to get the front page up. Yes,  
26 that's the document. I'm sure you are familiar with  
27 it, Dr. Hughes. Is there any particular principles or  
28 guidance that you'd like to draw the Inquiry's  
29 attention to?

10:33

1 A. DR. HUGHES: If you scroll down.

2 20 Q. I was going to bring you to INQ-231. This is the  
3 section which tells you what the guidance is about.  
4 It explains that being a good doctor means more than  
5 simply being a good clinician. 10:34  
6  
7 "Doctors can provide leadership to their colleagues and  
8 vision for their organisations. However, unless  
9 doctors are willing to contribute to improving the  
10 quality of services and to speak up when things are 10:34  
11 wrong, patient care is likely to suffer".  
12  
13 Is that something that I suppose you went into this  
14 task for the Trust worrying that that's the kind of  
15 thing that you might find? 10:34  
16 A. DR. HUGHES: Possibly. I think that opening statement  
17 is to emphasise to everybody, all doctors, that the  
18 first and foremost responsibility is to patient care  
19 and patient safety, and that the culture that  
20 Leadership must bring to it is an open culture, and 10:35  
21 a culture where people can put their hand up and say,  
22 I am concerned about things, and that there is  
23 a process for that to be escalated and to be heard.  
24 21 Q. If you scroll down a little. Back up again, please,  
25 sorry. I think it may not be on that page but there's 10:35  
26 a reference to speaking up when things go wrong. Is  
27 that something that --  
28 A. DR. HUGHES: Yes.  
29 22 Q. -- is relevant in this context?

1 A. DR. HUGHES: Yes.

2 23 Q. There's a section within the guidance on  
3 multidisciplinary working. If we go to INQ-30235. Of  
4 course your work for the Southern Trust was to bring  
5 you face-to-face with the multidisciplinary team in 10:36  
6 Urology, Cancer, and you were, I suppose, asked to run  
7 your rule over the efficacy of those arrangements.  
8 What, within this guidance, was informing you about  
9 multidisciplinary working?

10 A. DR. HUGHES: This guidance shows that everybody within 10:36  
11 the team has a responsibility to Patient Safety and  
12 good patient outcomes. While it's shared with the  
13 whole team, there's a further guidance for those with  
14 additional responsibility, which clearly sets out their  
15 roles and responsibilities, and they have to have 10:37  
16 systems in place to know about issues, systems in place  
17 to deal with issues. If you take on a leadership role,  
18 be it Chair of the Multidisciplinary Team Meeting, you  
19 have to have systems to know about problems and systems  
20 to escalate problems. 10:37

21 24 Q. If we could go back to 30327 in this sequence. Sorry,  
22 it's maybe 30337. I beg your pardon. Scroll up,  
23 please. It appears the communications are of  
24 significance with multidisciplinary teams?

25 A. DR. HUGHES: I think it's the core of what they do. If 10:38  
26 you don't have clear communication, and clear  
27 communication between professionals and with patients  
28 you'll end up with poor results. That requires  
29 a highly functional team. That requires a space where

1 people feel comfortable to work, to discuss, to have  
2 differences. It requires people to know that the  
3 patient is at the centre of what they are doing and  
4 first and foremost, of what their outcome should be  
5 focused on. That doesn't always exist in 10:39  
6 multidisciplinary teams. That takes work. That takes  
7 effort. That takes insight. Without that, you will  
8 not get the positive goals and the additional benefit  
9 that the teams are set up to deliver for patient care.  
10 I think when it says: 10:39

11  
12 "You must communicate relevant information clearly to  
13 your colleagues, to those who work within Services and  
14 to patients".

15 10:39  
16 I think that's critical to what we are dealing with  
17 today. Patients and professionals should know when  
18 they are working in a multidisciplinary team that, when  
19 treating a patient, they have to feed back information  
20 about changes in plans. They have to make sure the 10:40  
21 team is informed, that they have oversight and  
22 governance of the care that the team is delivering, and  
23 also other colleagues who work within other services,  
24 so if there are issues they must escalate it to their  
25 line managers, their Clinical Managers and their 10:40  
26 Service Managers.

27  
28 The other issue here is we talk about patients.  
29 Healthcare can be very complex. It can be very full of



1 jargon, but you need to have mechanisms so that  
2 patients can fully understand the care they are  
3 receiving and fully understand the options they have  
4 around treatment, and that should be done in a highly  
5 supportive way with a multidisciplinary professional  
6 input. 10:40

7 25 Q. Jumping slightly ahead to the findings of your reviews  
8 that I will explore with you later, you found  
9 communication problems right throughout these  
10 arrangements; isn't that right? For example, the 10:41  
11 Cancer Services Management, I think it was your  
12 conclusion, didn't appear to be well-connected to the  
13 multidisciplinary team or well-connected to Urology  
14 Services. Can you explain that just briefly to give us  
15 a taster of what lies ahead in this communication 10:41  
16 context?

17 A. DR. HUGHES: Yes. Initially talking to the Senior  
18 Clinical and Managerial Cancer team I would have  
19 expected them to have oversight, knowledge and  
20 experience of what was happening in each MDT. I would 10:41  
21 have expected them to have a corporate view of the  
22 patch. I would have expected them to have joint  
23 meetings with all the different Leads, taking best  
24 practice from the more mature MDTs. Classically in  
25 Northern Ireland the more mature are the better 10:42  
26 resourced ones, such as breast and colorectal and lungs  
27 because they have been formed the longest. I didn't  
28 see that. I found it virtually an adversarial  
29 relationship between the team and the Urology Services.

1 I found a disconnect. Governance was stated to be  
2 through their professional lines. While I can  
3 understand that in terms of what a professional  
4 delivers, the overarching team needs to know about  
5 issues and needs to know how to escalate them because, 10:42  
6 ultimately, they are responsible for the outcomes from  
7 Cancer Care, so if they don't know about issues they  
8 won't know about the deficits or the problems and how  
9 they can resolve it. Especially when there are  
10 problems within teams, it is very difficult for a team 10:42  
11 to resolve their own issues, and that often needs to  
12 have a senior person, or a critical friend, or somebody  
13 in management to have an ear to the ground to address  
14 problems and help resolve issues.

15 26 Q. Yes. Thank you for that. We will descend into some of 10:43  
16 the finer details and specifics of that presently.  
17 Just working through this, can I jump to the issue of  
18 systems at INQ-30240?

19  
20 Paragraph 19 talks about doctors with extra 10:43  
21 responsibilities:  
22 "You should contribute to setting up and maintaining  
23 systems to identify and manage risks in the team's area  
24 of responsibility".

25  
26 Again, is that something that was germane to, 10:43  
27 I suppose, the review that you were going to conduct  
28 for the Southern Trust?

29 A. DR. HUGHES: Yes, I think Cancer Services have evolved

1 over the last 25, 30 years, I come from a laboratory  
2 background so I am very used to standard operating  
3 procedures, variance from best practice, you know,  
4 minor variance, major variances, quality assurance,  
5 manage the improvement, and that's core to any good 10:44  
6 Clinical Governance. They had tracking systems but the  
7 tracking systems were very focused on the ministerial  
8 targets of 31 and 62 days. I would have expected an  
9 empowered enabled tracking team to almost augment the  
10 audit processes, so you knew that the recommendations 10:44  
11 from MDT were actually actioned. There was feedback  
12 groups so that you knew were there issues within  
13 patient accessing scans, patients' pathways that there  
14 would be information and knowledge to feed that back so  
15 there could be early intervention and early action. 10:45  
16 I didn't see that. I found limited assurance audits,  
17 focused on patient experience by Clinical Nurse  
18 Specialists, very good audits on what the Clinical  
19 Nurse Specialists did in their Trust biopsy procedures,  
20 but not assurance audits on, say, how did we manage the 10:45  
21 last 15 prostate cancers? How did we manage the  
22 bladder cancers? I didn't see work that is usually  
23 done by maybe training staff, just to have an annual,  
24 not annual, twice yearly business meeting that focused  
25 on what are the problems, what are the deficits, what's 10:45  
26 the evidence, and how do we improve that? I think it  
27 was not as structured as it could have been.

28 27 Q. Yes. Mr. Gilbert, I know that your focus was more on  
29 the Clinical aspects, but these issues of deficiency in

1 monitoring, audit, manage the assurance, tracking these  
2 kinds of things where you were being exposed to these  
3 at the team meetings; did the absence of these jar with  
4 you in terms of your own experience in a Urology  
5 Service?

10:46

6 A. MR. GILBERT: Yes, there were clearly deficiencies that  
7 I wouldn't have expected to have occurred in an MDT  
8 that I was a member of. I think it's important to  
9 state that ultimately the Consultant Clinician is  
10 responsible for his or her patient. That's where the  
11 buck stops. However, owing to the increasing  
12 complexity of Pathways, owing to the volume of work  
13 coming across an individual's desk, no one individual  
14 can manage the organisation of that workload, and is  
15 absolutely reliant upon team working, whether that's  
16 Clinical Colleagues, Cancer Nurse Specialists, and,  
17 most importantly, data trackers or patients trackers  
18 who will actually flag up when something or someone has  
19 gone wrong or fallen out of the system. The MDT has  
20 been one of the most important positive initiatives  
21 within the Health Service as a whole in providing that  
22 universal support and safety net for patients, and  
23 assuring that the manage the of care is given, but that  
24 is contingent on effective standing orders and regular  
25 review within the Department itself to identify  
26 specific problems and deal with them.

10:46

10:47

10:47

10:47

27 28 Q. Yes. Thank you. Just working our way through this  
28 document, if we go to INQ-30244. This highlights the  
29 importance of the doctor with extra responsibilities

1 having in place systems to give early warning of any  
2 failure. Again, Dr. Hughes, is that another piece of  
3 guidance or principle that you had in mind to inform  
4 your review at the Southern Trust?

5 A. DR. HUGHES: Yes. It states in black and white the 10:48  
6 requirements of a person who takes on Leadership, and  
7 I think doctors often go into Leadership roles not  
8 fully understanding the requirements placed on them,  
9 both by their employer but also by their professional  
10 body. If you take on Leadership you have a vicarious 10:48  
11 responsibility for all the care that's delivered in  
12 that MDT and, therefore, you have to have feedback  
13 loops that will warn you of deficits in the services,  
14 be it timeliness of care, be it appropriateness of care  
15 and you have to act upon it. I think what we found was 10:49  
16 that an under-resourced team which struggles, which was  
17 not quorate, and one of these issues were their fault,  
18 but it wasn't being escalated appropriately and when it  
19 was escalated it wasn't being heard, and I think at  
20 that point action should have been taken. 10:49

21 29 Q. We will maybe go on and look at this in a bit more  
22 detail. Just before leaving this particular point.  
23 An MDT is organised around a Chair, and in the Southern  
24 Trust we know that the role of Chair rotated from  
25 meeting to meeting, perhaps, or maybe you are Chair for 10:50  
26 a month and then it rotates, but also more importantly  
27 perhaps the Clinical Lead, and then you had a series of  
28 core members across various disciplines. The guidance  
29 here talks about you must make sure. Are you putting

1 the obligation to ensure that these kind of systems are  
2 in place, are you putting that obligation on anyone in  
3 particular, or is it a case of having the insight and  
4 then the energy to raise it with Service Management if  
5 you are not being supported?

10:50

6 A. DR. HUGHES: Yeah. Unfortunately this is a GMC  
7 document, and when they say you must, it means you  
8 personally as a professional. That's quite an onerous  
9 task because people need to understand that they need  
10 to deliver on what's being asked of them. I think  
11 people often go into roles and responsibilities without  
12 that resource present, you know, doing it in a very  
13 professional way, doing it in the best way possible,  
14 but not understanding their actual professional body is  
15 holding them to account for delivering that to a very  
16 high standard. This may put people off taking on these  
17 roles in the future, which I really don't want to  
18 happen because they are essential for patient care, but  
19 I think a discussion with an employing body needs to be  
20 had to say look, that is what's being asked of me, how  
21 can you deliver that?

10:51

10:51

10:51

22 30 Q. The paragraph just below that, paragraph 29, introduces  
23 the concepts of auditing and benchmarking. I know from  
24 what you have said and in your report that while there  
25 was some evidence of auditing, and you refer, for  
26 example, to the good auditing of a particular kind on  
27 the nursing side, you are to reflect -- and we will  
28 look at it later -- that the auditing of the whole  
29 Patient Care Pathway and outcomes was just not

10:52

1 something they did?

2 A. DR. HUGHES: Yeah. I think you can only give assurance  
3 if you feel you have assured the whole pathway and the  
4 totality of the work. While you can have business  
5 meetings about experience, audits you have done, very 10:52  
6 focused pieces of work, that is not assurance. You  
7 need to have whole system assurance and identify the  
8 areas of greatest variance or the greatest problems,  
9 and they are areas that you have to focus your energy  
10 on. Time and resource is limited and I think that 10:52  
11 wasn't done. I don't think they had the infrastructure  
12 to do that.

13 31 Q. Yes. You said at the top of this when we looked at  
14 your statement, that the guidance here was used by you  
15 to inform you of the proper approaches to see if there 10:53  
16 was alignment between the principles set out here and  
17 the practice. Is it fair to say that you found a lack  
18 of alignment in various areas of the Southern Trust's  
19 Urology Multidisciplinary Team working?

20 A. DR. HUGHES: Yeah. I think that would be fair. But 10:53  
21 it's also in light of the peer review processes, the  
22 cyclical review of services that happens on a regular  
23 basis, which is very much this document in practice in  
24 terms of Cancer Services. People are expected to  
25 review all aspects of their care, focus on the areas 10:54  
26 that are known problems and address them, or attempt to  
27 address them.

28 32 Q. Yes. Let's move away from that document now and talk  
29 about Serious Adverse Incidents. There is a procedure

1 governing Serious Adverse Incidents. It's gone through  
2 several iterations, I think, since you conducted this  
3 process, or at least one anyway. The document that was  
4 in place at that time is a 2016 version. It's  
5 WIT-84180. Is that something you are familiar with, 10:54  
6 Dr. Hughes?

7 A. DR. HUGHES: Yes.

8 33 Q. Let's look at a number of aspects of it, and if you can  
9 help us walk through it. If we go down to 84187 and  
10 this tells us something about the purpose or the aims 10:55  
11 of an SAI. The process aims to. Talk us through the  
12 aims of a Serious Adverse Incident, and, if you can,  
13 can you reflect upon the value of an SAI to those who  
14 ultimately are to receive it, whether that's patients,  
15 the healthcare organisation or individual 10:55  
16 practitioners?

17 A. DR. HUGHES: Yeah. SAIs have a troubled history in  
18 Northern Ireland, in that they are meant to be learning  
19 tools, but often they are put in place after  
20 a significant deficit has occurred. Sometimes it's 10:56  
21 very difficult to learn from such a process when staff  
22 have maybe a heart sink moment and take issues on  
23 board. I think it has to be done in a neutral way,  
24 benchmarking best practice against the outcomes for  
25 patients, and it has to be about what happened and what 10:56  
26 should have happened. The HSC in Northern Ireland have  
27 reviewed this document subsequent to that. It is  
28 a patient-focused process, so it's really about  
29 patients and families, and making sure that you engage



1 with them appropriately so they go through the journey  
2 with the professionals, and that can be very  
3 challenging and difficult at times. Ultimately, it's  
4 not a blame process, it's about resolving problems and  
5 coming up with recommendations for the Service. 10:56

6 34 Q. We will come on presently to look at Mr. O'Brien's  
7 input, or the request for him to have input into this  
8 process and how that was managed and dealt with. In  
9 terms of, if you like, the requirement to conduct  
10 a Serious Adverse Incident Review, to what extent 10:57  
11 should those conducting it be expected to take on board  
12 the opinions of those that they are investigating?

13 A. DR. HUGHES: I think it depends on the level of SAI.  
14 A Level 3 SAI, as the one we are discussing at the  
15 moment, or the series of SAIs that we are discussing at 10:58  
16 the moment, had an external input from myself as Chair  
17 and from Mr. Hugh Gilbert. The process there was that  
18 we had an independent expert opinion on the Clinical  
19 Care, and that was supported by engagement with the  
20 families on multiple occasions. From that process, 10:58  
21 over a period of time, stepping through the timelines,  
22 so deciding on variants from best practice we themed  
23 out issues. These would have been shared with the  
24 families. Then we asked of other professionals the  
25 outcomes and their views on it. That was then resolved 10:58  
26 into recommendations and an action plan. It's  
27 a learning tool. It's a learning document. It's not  
28 specifically about individual professional practice.  
29 It's about what happened? what can we do next?

1 35 Q. My question was focused on, perhaps, to what extent is  
2 it important to hear from the Clinician or Clinicians  
3 that you are reviewing, the actions that you are  
4 reviewing?

5 A. DR. HUGHES: Yes, it is important to hear from them. 10:59  
6 I don't think they should be involved in the review of  
7 the actual cases, because it's about harm and potential  
8 harm, and there would be an inbuilt potential  
9 subconscious bias. I think it's important that when  
10 you see the outcomes that you give them an opportunity 10:59  
11 to respond to that. In this case, we did ask those  
12 team outcomes to be described in the nine patients.

13 36 Q. Yes. We will come to look at that in some detail  
14 later. Let's just look at what is meant by an Adverse  
15 Incident. If we could have WIT-84192. The definition 11:00  
16 of an adverse incident set out here:  
17  
18 "Any event or circumstances that could have or did lead  
19 to harm, loss or damage to people, property,  
20 environment or reputation". 11:00  
21  
22 That's a working definition with which you are  
23 familiar?

24 A. DR. HUGHES: Yes.

25 37 Q. For it to qualify as a Serious Adverse Incident, there 11:00  
26 are a series of criteria that are set out. In this  
27 situation, 4.2.1: "Serious injury to or the unexpected  
28 death of a service user". That appears to have been  
29 germane?

1 A. DR. HUGHES: Yes.

2 38 Q. Equally, 4.2.2 "unexpected serious risk to a service  
3 user"?

4 A. DR. HUGHES: Yes.

5 39 Q. One thing we have been looking at so far, and we will 11:01  
6 probably go on to look at it a little further, is, it  
7 would appear, and I will put it as neutrally as I can,  
8 that sometimes when screening incidents, professionals  
9 adopt the view that, if there was no actual harm, then  
10 it should not qualify as an SAI; in other words, it 11:01  
11 would be screened out. I hope that's not unfair on  
12 some of the decisions that we are aware of, and we can  
13 explore that with witnesses in due course, but do you  
14 see the problem I'm pointing to? In your experience,  
15 is there sometimes a tendency to look for actual harm 11:02  
16 before screening a case in? And, in your view, would  
17 that be the wrong approach?

18 A. DR. HUGHES: Yeah. There is a subconscious bias that  
19 people look for actual harm and do screen cases out.  
20 I have experience in other settings where people, that 11:02  
21 we were concerned about issues, so instead of simply  
22 doing an SAI, we did a lookback exercise, which  
23 triggers another process which you have to go to the  
24 Department of Health. It's not a Cancer setting, but  
25 it meant you got much better assurance because you are 11:03  
26 looking at much bigger numbers of cases, and that can  
27 be done through maybe an Electronic Care Record, and  
28 a smaller setting on files and a smaller setting  
29 looking at patients, but that triggers a much, much

1 wider approach to risk management and looking at cases.  
2 I think, if we were responding to the matter at hand,  
3 the initial trigger for some of this work was the  
4 prescribing of Bicalutamide, but in essence when we  
5 looked at the cases we found multiple other things that 11:03  
6 would not necessarily have been triggered if that was  
7 the only sole thing looked at.

8 40 Q. Yes. You have indicated that this was a Level 3 SAI.  
9 Just again looking at the document, WIT-84193, and it  
10 says: 11:04

11  
12 "SAI reviews should be conducted at a level appropriate  
13 and proportionate to the complexity of the incident  
14 under review. In order to ensure timely learning from  
15 all SAI incidents it's important the level of review 11:04  
16 focuses on the complexity of the incident and not  
17 solely on the significance of the event."

18  
19 Over at WIT-84195, we get an explanation of when  
20 a Level 3 will be appropriate. Level 3 reviews will be 11:04  
21 considered where SAIs that are particularly complex  
22 involving multiple organisations:

23  
24 "Have a degree of technical complexity that requires  
25 independent expert advice; 11:05  
26 are very high profile and attracting a high level of  
27 both public and media attention."

28  
29 As I understand it, and you could help us with this,

1 Dr. Hughes, the levelling, or the choice of the level,  
2 is not a matter for you?

3 A. DR. HUGHES: No. That was a discussion I believe  
4 between the Southern Trust and the PHA.

5 41 Q. Yes. Do you have an understanding of why this was 11:05  
6 identified as a Level 3?

7 A. DR. HUGHES: Yeah. I think this was a particularly  
8 complex issue, covering multiple organisations.  
9 I think it had a complexity across a range of services,  
10 and certainly was a high profile issue. There was 11:06  
11 a certain number of cases identified but a concern  
12 about a range of other cases which then triggered  
13 a separate event, I think that was the reason why it  
14 was made a Level 3.

15 42 Q. Yes. It goes on to explain in just this section that 11:06  
16 the format for a Level 3 review shall be the same as  
17 for Level 3 reviews, and it provides some guidance at  
18 appendix 7.

19  
20 In essence, what a Level 2 and a Level 3 engage is 11:06  
21 a Root Cause analysis; isn't that right?

22 A. DR. HUGHES: Yes.

23 43 Q. Again, could you help the Inquiry understand what that  
24 means in this context, if you were to be the author of  
25 a Root Cause analysis? 11:07

26 A. DR. HUGHES: Yes. In this context, I would have  
27 chaired the process. Mr. Gilbert would have given the  
28 expert clinical input. We had an in-house Cancer  
29 manager to help us with contextualised issues. We had

1 a Clinical Nurse Specialist who, although was employed  
2 by the Southern Trust, had just recently joined the  
3 Southern Trust and had experience from elsewhere, and  
4 we had support and input from Clinical Governance from  
5 the Southern Trust. The process was based on patients' 11:07  
6 timelines and it was based on the care they received  
7 against the expected care. It's a process of  
8 benchmarking, and then a Root Cause analysis where  
9 there is a variance to look into what caused that  
10 variance and what were the underlying factors, so you'd 11:07  
11 have contributing factors. Then you would identify the  
12 variance from best practice. You could quantify it in  
13 terms of minor variance or major variance, and you  
14 summate it per patients. I think that process was  
15 relatively straightforward. The theming and then 11:08  
16 taking the information back to the wider Cancer teams  
17 and actually trying to tease out the why things had  
18 happened, was more complex, because it's quite easy to  
19 say what the issue is. The next thing is why and how,  
20 and that resulted in the multiple conversations with 11:08  
21 a wide range of professionals who were not part of the  
22 core team but contributed to the discussions.

23 44 Q. Yes. That was, in essence, your fieldwork, as we will  
24 see as we develop this morning. Mr. Gilbert's clinical  
25 timeline and benchmarking was, I suppose, substantially 11:09  
26 concluded prior to Christmas. I know that there was  
27 subsequent iterations of your report, isn't that right,  
28 in chronological terms?

29 A. MR. GILBERT: Yes, exactly so.

1 45 Q. Then, Dr. Hughes, if I could use the word fieldwork.  
2 Armed with that knowledge of the deviation from  
3 benchmark, you went into the field and spoke to a range  
4 of different staff members and groups, including the  
5 MDT and the specialist nursing group, to try to work 11:09  
6 out what had happened here in governance terms  
7 primarily?

8 A. DR. HUGHES: Yes. I also spoke to the families at the  
9 start of the process, and I spoke to them at the  
10 midpoint to say this is early learning, early 11:10  
11 experience. Then we spoke to most of them at the end,  
12 not all. Some of them found it a bit troubling and  
13 preferred not to, which was fully understandable. At  
14 that stage, when we went to speak to the staff, this  
15 Inquiry had been called, so there was understandable 11:10  
16 anxiety within the staff group.

17 46 Q. Yes. We will come to that just presently. What you  
18 are describing are the key ingredients that go to make  
19 up a Root Cause analysis?

20 A. DR. HUGHES: Yes. 11:10

21 47 Q. The key evidential ingredients, I suppose?

22 A. DR. HUGHES: Yes.

23 48 Q. If we just take a look at appendix 7, which is at  
24 WIT-84229. This just helps us to understand the format  
25 that you were generally expected to work through. This 11:10  
26 is, I suppose, a precedent for the structure of  
27 a report. Just slowly take us through the pages. An  
28 introduction section. That's the cover page generally?

29 A. DR. HUGHES: Mm-hmm.

1 49 Q. Go forward. Then you start off with an Executive  
2 summary. As you can see this is a precedent, it isn't  
3 filled in. The Review Team's explained and introduced.  
4 You set out a Terms of Reference. Over the page. Into  
5 your methodology, description of the incident, 11:11  
6 findings, conclusions, lessons learned and  
7 recommendations and action plan, and then there's  
8 a distribution list. That's the basic precedent that  
9 was followed, and was followed in this case. You did  
10 that for nine cases? 11:12

11 A. DR. HUGHES: Yes.

12 50 Q. And then provided an overarching report?

13 A. DR. HUGHES: Yes.

14 51 Q. In terms of timescales for completion of a Level 3,  
15 I want to draw your attention to WIT-84197: 11:12

16  
17 "Timescales for completion of Level 3 reviews and  
18 comprehensive action plans for each recommendation  
19 identified will be agreed between the reporting  
20 organisation and the HSCB/PHA, DRO as soon as it is 11:12  
21 determined that the SAI requires a Level 3 review."  
22

23 We will come to look at some of the reports presently,  
24 but written into the procedure for the review is a four  
25 month deadline, I suppose, for completion of the 11:13  
26 review?

27 A. DR. HUGHES: Yes.

28 52 Q. That's correct, is it?

29 A. DR. HUGHES: Yes.



1 53 Q. Can you help us in terms of where that came from; who  
2 imposed that deadline?

3 A. DR. HUGHES: I'm not sure if you could use the term  
4 imposed. It was largely from the Southern Trust and  
5 the Oversight Group at the Department of Health, along 11:13  
6 with the PHA. I think because there were concerns  
7 about future work to be done, they were very keen that  
8 they had early learning, early outcomes from this piece  
9 of work, so there was pressure to have it completed.

10 54 Q. Was that, in your experience, for something of this 11:13  
11 nature, an extremely tight deadline or something that  
12 was workable?

13 A. DR. HUGHES: I think the benchmarking and review  
14 process was relatively straightforward. Meeting with  
15 all the staff took longer. We attempted to get 11:14  
16 feedback from Mr. O'Brien but he wasn't able to do so.  
17 The other pressure that we have to discuss in this  
18 process is two of the patients had died before the  
19 start of the review, another two died during the  
20 review, so as we met the families going through there 11:14  
21 was a pressure from the families to get the reports.  
22 So we had to make a judgment, do we push ahead or do we  
23 wait. I made the judgment, rightly or wrongly, that  
24 the family should get the reports.

25 55 Q. Yes. We are going to look at that in the context of 11:14  
26 Mr. O'Brien's inability to meet with the deadline,  
27 shortly. The document provides for service user or  
28 family involvement, and we don't need to go  
29 specifically to that. In this series of cases you

1 considered that particularly important, and I think you  
2 have told us in your statement that you engaged with  
3 families at three different stages, broadly?

4 A. DR. HUGHES: Yeah. As part of my role as Medical  
5 Director I would have met families when things go 11:15  
6 wrong. Since I have moved on from that post I have  
7 done work with the Belfast Trust, with the Neurology  
8 Inquiry families, and this piece of work. This piece  
9 of work is quite difficult, I think, for families  
10 because not many of them had any idea that there was 11:16  
11 something wrong. Some of them had some concerns but it  
12 was announced, I think, in the press and then moving on  
13 from that, I met three families initially, and then met  
14 all nine at the first to explain what the initial  
15 concerns were and how that impacted on their loved 11:16  
16 ones' care. I met the family of Patient 1 --

17 56 Q. We will come to the specifics of that in a moment.

18 A. DR. HUGHES: Sorry.

19 57 Q. Just in terms of the concept of an SAI and what it's  
20 seeking to achieve, in other words it's seeking to 11:16  
21 achieve learning, I think, as you have explained, and  
22 to, I suppose, find remedies, perhaps, for things that  
23 have gone wrong in terms of systems and that kind of  
24 thing. Where is the role for the patient or the  
25 service user and their family in that? How do they 11:17  
26 contribute?

27 A. DR. HUGHES: First and foremost, it's about being open  
28 and transparent when things go wrong, and that's  
29 a pre-eminent responsibility from the GMC. It's the

1 responsibility on the Service. When the Service calls  
2 an SAI, things have reached a certain threshold for  
3 discussion, at least, and that's the first part. It's  
4 to inform them of the concerns of the healthcare  
5 provider and to explain to them the next steps that 11:17  
6 will be taken, and it's to assure them that their  
7 views, their stories, will form part of the process.  
8 I think it depends on the SAI you are doing. As we  
9 step through this process, it was quite clear from an  
10 early stage that normal support mechanisms had not been 11:17  
11 put in place for patients. So the classic example of  
12 having a Clinical Nurse Specialist to support patients,  
13 to inform patients, to provide ongoing coordinated  
14 care, wasn't there. Our first meeting was quite  
15 bizarre. I really couldn't understand the story they 11:18  
16 were telling me because they were seeking access to the  
17 GP and seeking access through ED for services that  
18 would normally be supplied by a comprehensive CNS  
19 Service. It was at that stage we then went further and  
20 asked. From their stories we started to pick up 11:18  
21 information that wasn't immediately obvious to us.  
22 58 Q. In more general terms, the role of the patient is, it  
23 seems, quite important in giving you, as the lead  
24 reviewer, information that might not otherwise be  
25 available on the clinical note, for example? 11:18  
26 A. DR. HUGHES: Yes.  
27 59 Q. Just broadening the issue of SAI out just a little  
28 while we have you here. The Inquiry has heard some  
29 evidence to date that the conduct of SAIs, at least in

1 the number of examples that we have looked at, have, in  
2 a number of cases, been extremely slow to work their  
3 way through the system. You touch upon an SAI that was  
4 drawn to your attention when you were conducting these  
5 reviews concerning the care that Mr. O'Brien provided 11:19  
6 in the context of referrals in triage; that was an SAI  
7 that was initiated in 2017 concerning care provided in  
8 2016 and wasn't reported until 2020, the early months  
9 of 2020; in other words, a period of between three and  
10 perhaps four years from the incidents giving rise to 11:20  
11 the review. Is that something, that kind of delay, is  
12 that something that is commonplace and which bedevils  
13 SAIs?

14 A. DR. HUGHES: Unfortunately, yes, a small proportion of  
15 cases do have a very long lifespan and before you 11:20  
16 receive an outcome, I heard of that SAI when talking to  
17 other professional Urologist, I wasn't aware of it but  
18 asked to get the information and then when I saw it was  
19 about problems with the start of the Cancer Pathway,  
20 about administration and other issues of the Cancer 11:21  
21 Pathway I was quite alarmed because we had been picked  
22 up other administration and missed reports and things  
23 elsewhere in the Pathway. I was concerned because  
24 obviously this was about triage and red flag referrals,  
25 and perhaps only 15% of people who are referred in 11:21  
26 actually turn out to have a cancer, yet we were dealing  
27 with a pathway where everybody had cancer, so I was  
28 concerned about that.

29 60 Q. Yes. One of the factors cited for a delay of this

1 order, and I'm trying to broaden it out in general  
2 terms, just because the Inquiry, I understand, is  
3 interested in SAI as a process more generally, and  
4 particularly in the context of Mr. O'Brien's practice  
5 and the failure to expedite learning, given the gap of 11:22  
6 three years in that example. There's at least one  
7 other example that I could cite. One of the factors  
8 here appears to be that the clinicians who stepped up  
9 to be on the SAI Review Panel haven't necessarily got  
10 the time to be available all as a group to devote to 11:22  
11 the task in hand. That obviously didn't affect your  
12 panel because you were coming at it as independents.  
13 Is that something you've any thoughts about? Have you  
14 any thought as to how that could be remedied more  
15 generally? 11:22

16 A. DR. HUGHES: Yes. Traditionally SAIs are done by  
17 senior clinician, senior nurse, who do it episodically  
18 and perhaps not on a regular basis. They always have  
19 other duties and other responsibilities. I think there  
20 is an argument to say that you should form an expert 11:23  
21 team within a Trust, who are professionally qualified  
22 in dealing with SAIs, and support them with nurses and  
23 doctors so that the process is driven by them and the  
24 clinical information is fed in by the professionals.  
25 The current system really doesn't work. It really 11:23  
26 doesn't work on a timely basis. You can circumvent it.  
27 If you see things arriving in an SAI, you can go for  
28 early learning, early action, but that doesn't  
29 necessarily have the full weight of a completed SAI.

1           There has been a process to review SAIs in Northern  
2           Ireland because it's not as effectual as it should be.

3   61   Q.    Is that an experience, Mr. Gilbert, of delayed outcomes  
4           from SAIs that you are familiar with?

5           A.    MR. GILBERT: It's an occasional problem. Most of the   11:24  
6           equivalent to SAIs would be dealt with in a timely way,  
7           simply by making sure that the Clinical Governance  
8           process or timetable is scheduled into consultants' job  
9           planning. It shouldn't be an additional overtime  
10          activity, it should be included within the                   11:24  
11          three-monthly meeting, Clinical Governance meetings  
12          that most Departments will have.

13   62   Q.    Yes. Presumably, Dr. Hughes, there is an importance  
14          from a learning perspective, and perhaps from a Patient  
15          Safety perspective as well, in producing timely                   11:24  
16          outcomes?

17          A.    DR. HUGHES: Yeah. I mean learning decays with time  
18          and important information then becomes yesterday's  
19          news. It really, it needs to be comprehensive to  
20          address all the issues, but it needs to be, you know,           11:25  
21          of an acceptable time frame that people can say, yeah,  
22          that happened, I remember it, I will now move on with  
23          the actions. I think it's very process-heavy in  
24          places.

25   63   Q.    Yes, yes. Another concern that has come our way, as           11:25  
26          a result of SAIs, is in terms of recommendations, and  
27          the point seems to be twofold: First of all,  
28          recommendations are, often times, at least that's been  
29          suggested, not specific enough to focus on the deficits

1 either in the system or in the individual  
2 practitioner's conduct and, secondly, a delay in  
3 implementing recommendations through an action plan.  
4 Are they, again, issues that bedevil this process?

5 A. DR. HUGHES: Yeah, I think action plans should have 11:26  
6 a timescale and an expectation. I would be careful,  
7 I don't think SAIs can be used to alter  
8 a professional's conduct. I think that's a separate  
9 issue, but certainly action plans have to be realistic,  
10 doable and achievable, or else it just becomes a wish 11:26  
11 list sitting on a shelf.

12 64 Q. Thank you for that. Just on the concern you have maybe  
13 just expressed that the SAI -- if I picked you  
14 uprightly -- shouldn't be used to focus on the  
15 individual practitioner because you may recall that the 11:26  
16 SAI review that you looked at concerning triage, some  
17 time ago now, went the opposite way and was quite  
18 specific about Mr. O'Brien and his triage practice and  
19 really suggested to him politely that he should get in  
20 line, if that's not to butcher the conclusions. Those 11:27  
21 who authored that, including Mr. Haynes has given  
22 evidence to the Inquiry that specific recommendations  
23 focused on the Clinician in the context of what has  
24 gone wrong, are not only helpful but necessary to point  
25 people in the right direction? 11:27

26 A. DR. HUGHES: Yes. An SAI is a learning tool and  
27 I think if you are going to focus on a professional and  
28 what a professional does, that's a Maintaining High  
29 Professional Standards issue, and that's just the

1 dichotomy of medical practice and it's probably a false  
2 division. I think if you are going to focus on  
3 a professional's practice behaviours, et cetera,  
4 there's a clear framework to do that.

5 65 Q. That brings us on to another point: Should there be, 11:28  
6 I suppose, a closer relationship between those  
7 processes? What I mean by that is that those who hold  
8 the levers on the MHPS side of the house should be in  
9 conversation, or vice versa, with those on the SAI,  
10 because an SAI review can reveal deficits in clinical 11:28  
11 practice that perhaps ought to be, in particular  
12 circumstances, the subject of whether an informal or  
13 a formal MHPS arrangement?

14 A. DR. HUGHES: Yes. Outcomes from SAI reviews can inform 11:29  
15 Maintain High Professional Standards but Maintaining  
16 High Professional Standards framework is quite old,  
17 from 2006, I believe. I think it probably needs to be  
18 reviewed. It's very focused on incidents, you know,  
19 specific incidents of deficits over short periods of  
20 time. It's an investigation that has to be completed 11:29  
21 in six weeks and it doesn't address real problems.  
22 I think there is an issue about how you deal with this  
23 dichotomy. I mean, Serious Adverse Incidents are about  
24 patient deficits and learning from that. Maintaining  
25 High Professional Standards is a HR framework which 11:29  
26 needs to be dealt with in a separate way.

27 66 Q. MHPS is to be reviewed in the early months of next year  
28 and the Inquiry is keeping an eye on that.  
29



1 chair, could I suggest a quick break, for ten minutes  
2 or so?

3 CHAIR: Yes. If you hadn't done so, I was about to,  
4 Mr. Wolfe. So, let's give everyone until quarter to  
5 12.

11:30

6  
7 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS:

8  
9 CHAIR: Mr. Wolfe.

10 MR. WOLFE KC: Mr. Gilbert, in terms of your engagement 11:46  
11 in this exercise, you've told us in your witness  
12 statement that you'd no prior knowledge of Mr. O'Brien,  
13 or indeed I think of the Southern Trust?

14 A. MR. GILBERT: No, neither. No prior knowledge in either  
15 case. 11:46

16 67 Q. Yes. Your selection or commissioning for this task,  
17 that came through your work with the --

18 A. MR. GILBERT: with the IRM. It was a slightly more  
19 complicated process in that I think the Southern Trust  
20 initially approached the IRM for help with a notes 11:47  
21 review to be done by the incumbent Urologists. That's  
22 not the sort of work that the IRM does. It sends in  
23 a team to look specifically at a specific problem.  
24 I was asked in that role did I know somebody who would  
25 do the work, and I spent quite a lot of time 11:47  
26 phone-calling, and to say that it's not popular work is  
27 something of an understatement. Okay.

28 68 Q. That was the work associated with the Lookback Review?

29 A. MR. GILBERT: That's the lookback review, as

1 I understand it, and Professor Krishna Sethia undertook  
2 the work, and I know nothing about -- I deliberately  
3 have siloed all this.

4 69 Q. Yes.

5 A. MR. GILBERT: The IRM was approached again to perform 11:48  
6 a notes review. Because I had been involved, my  
7 involvement with that approach was stopped and it was  
8 handed over to somebody else. My only role in that was  
9 to appoint my equivalent for that process as  
10 a substitute to me because I was tainted. 11:48

11 70 Q. Yes.

12 A. MR. GILBERT: I understand that that work is still  
13 outstanding, and I suspect is not going to happen, but  
14 I don't know, again, that's siloed. I was then  
15 approached again by the Southern Trust to say do you 11:48  
16 know who would do these serious adverse events? Having  
17 gone through two iterations of trying to recruit people  
18 I thought I'm not going through this again so I put my  
19 own hand up.

20 71 Q. Yes. I just want to pick up on a word you use in your 11:49  
21 statement. If we can bring up WIT-85891. If we scroll  
22 back to 887. Sorry. Thank you.

23  
24 If we look at what you say at 1(d). Here you describe  
25 what you understood your role would be to review the 11:49  
26 clinical records of nine cases that had been deemed by  
27 the Southern Health and Social Care Trust to have  
28 reached to threshold to trigger SAI reviews. You say:  
29

1 "As a general Urologist with 23 years' Consultant  
2 experience in diagnosis and management of urological  
3 cancers at a district general hospital I felt that  
4 I was in a position to perform disinterested and  
5 contextually realistic case reports to inform the 11:50  
6 governance process at HSCT".

7  
8 Just that last line "disinterested" in this context.  
9 That means that you had no skin in the game, you didn't  
10 know anybody, and you came at this independent? 11:50

11 A. MR. GILBERT: Independently and from an equivalent  
12 position to the urologists at the Southern Trust.  
13 I make no bones about it, I am a general urologist.  
14 I am not a professor of Urology, and I think as such,  
15 this was my pitch to get the job with the IRM was that 11:50  
16 I could identify with the pressures and concerns of  
17 other general urologists in district general hospitals.

18 72 Q. Yes. Your working life, your professional life,  
19 Gloucester and then North Bristol, I am not sure it's  
20 not like for like Craigavon or Southern Trust, but 11:51  
21 district general hospital providing a range of typical  
22 urological services in your case, and broadly similar  
23 to what you think was going on in Southern Trust at  
24 Craigavon?

25 A. MR. GILBERT: Yes. Yes, indeed. 11:51

26 73 Q. How many urological Consultant colleagues would you  
27 have had at either of your home places?

28 A. MR. GILBERT: When I started in 1996, there were two of  
29 us. By the time I left there were 12.

1 74 Q. That was Gloucester?

2 A. MR. GILBERT: Gloucester. In Bristol, it's a teaching  
3 hospital environment, and there are 23 and counting.

4 75 Q. Yes.

5

6 In terms, Dr. Hughes, of your knowledge of both the  
7 Southern Trust and Mr. O'Brien, I suppose Mr. O'Brien,  
8 first of all, any particular knowledge or dealings with  
9 him prior to this engagement?

10 A. DR. HUGHES: Yes, I would have had some engagement with

11 Mr. O'Brien between 2008 and 2011 when I was the

12 Medical Director of the Northern Ireland Cancer Network

13 I would have engaged with the Urology team in

14 discussions about Urology Services. As part of the

15 role as the Medical Director the Northern Ireland

16 Cancer Network there are discussions about centralising

17 types of care, centralising at that time prostatectomy

18 care. I do remember visiting and discussing that with

19 Mr. O'Brien, but no other particular engagements. At

20 that time our main focus was on breast cancer, lung

21 cancer and colorectal cancer, because they were the

22 first tumour types to undergo peer review.

23 76 Q. Yes. Of course, as a Medical Director in the

24 neighbouring Trust of the Western Trust, some of your

25 patients, some of your population, I should probably

26 say, in the Fermanagh area, I think you touch on this

27 in your statement, would have been recipients of the

28 Urology Services of the Southern Trust?

29 A. DR. HUGHES: Yes. The Urology Services had been

11:52

11:52

11:52

11:53

11:53

1 reviewed in 2009 by the HSCB, and the structure of  
2 urology services had been changed. My Trust took the  
3 north part of the Northern Trust and the southern part  
4 of the Northern Trust went to the Belfast Trust, and  
5 the Southern Trust took on the population of Fermanagh, 11:54  
6 which features quite a bit in some of the discussions.  
7 I think it was quite a stretch, an extension of their  
8 geographical area, and I think, in some of the evidence  
9 you would have received, that people felt it was  
10 putting the service under further pressure and they 11:54  
11 couldn't address. I must admit, I would have some  
12 sympathy with that. I believe after I left the Western  
13 Trust, the Western Trust took back the Fermanagh  
14 population because while the service was outreached to  
15 Fermanagh, it sort of fractured the normal pathways of 11:54  
16 patient flow. So the nursing flows, the radiology  
17 flows, the laboratory flows would have stayed within  
18 the Western Trust, and while it looked good on a map it  
19 probably didn't address patient need.

20 77 Q. I think you again say in your statement, you had no 11:55  
21 knowledge of the particular problems that had developed  
22 around Mr. O'Brien prior to coming into this  
23 engagement? There had been an MHPS process between  
24 2017 into late '18. No knowledge of any of that until  
25 you came into this process? 11:55

26 A. DR. HUGHES: The first time I heard of that was when  
27 discussing the findings of the SAIs with professionals  
28 in the Southern Trust.

29 78 Q. Yes. You would perhaps have been aware, and maybe you

1 just subtly touched on it a moment ago, of the demand  
2 pressures faced by the Southern Trust in the delivery  
3 of Urology Services. We have heard evidence, a good  
4 deal of evidence has been received about the demand  
5 capacity mismatch as it's framed, creating all sorts of 11:56  
6 backlogs particularly amongst non-cancer patients, and  
7 even some of the cancer patients were facing  
8 difficulties in getting seen within the -- what you  
9 referred earlier as the ministerial deadlines or time  
10 limits. Were you aware of that kind of pressured 11:56  
11 context coming into this?

12 A. DR. HUGHES: Yes, I would have been aware of that both  
13 within my own Trust where they had adjoined two legacy  
14 systems together to form a new Trust, or form a new  
15 team. They moved to three teams in Northern Ireland. 11:56  
16 I would not have been aware of the detail within the  
17 Southern Trust until I went to do this process when it  
18 became very obvious that people explained the pressure  
19 they had and the difficulty they had with delivering  
20 a service to an extended population. 11:57

21 79 Q. One of the issues we will maybe come on to explore in  
22 some detail is, I suppose, the explanation, or some  
23 might call it the excuse, of resources. We haven't  
24 been commissioned to govern in this way or to do  
25 governance in this way and, therefore, there's 11:57  
26 a resources impediment to us providing the kind of safe  
27 service that you, I suppose, demand through your SAI  
28 conclusions. I mean, in general terms, is that  
29 familiar to you as an explanation that was put to you?

1 A. DR. HUGHES: I think it's a fair explanation. I think  
2 it's not familiar to me.

3 80 Q. Sorry, it's familiar to you from what you were told  
4 during this investigation?

5 A. DR. HUGHES: Yes, yes, yes. 11:58

6 81 Q. Yes.

7 A. DR. HUGHES: From my own Trust background, it wasn't  
8 familiar to me because I believe we were quite  
9 well-resourced in terms of cancer services, and perhaps  
10 differentially so compared to the Southern Trust. We'd 11:58  
11 gone through a process of agreeing to build  
12 a Radiotherapy Cancer Centre in the Northwest, on  
13 a cross-border basis. It meant we had in-house  
14 Oncology. It meant we had a range of services. It  
15 meant that perhaps we were in a better position to 11:58  
16 deliver on the targets.

17 82 Q. Yes. We will go on and look at the whole resource  
18 issue maybe in some detail. If I could have up on the  
19 screen, please, WIT-84153. At paragraph 5 you say:  
20 11:58

21 "I was initially unaware of the professional involved",  
22 that's Mr. O'Brien, you've called him Dr. 1: "Was  
23 unaware of the concerns within the Urology Services.  
24 This however changed when meeting with professionals  
25 who referred to a previous serious adverse review 11:59  
26 involving the named professional, I believe this could  
27 be of importance to the ongoing nine SAI reviews and to  
28 the Learning and action plan resulting from that  
29 process."

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

I didn't really understand what you were saying there so I want to ask you some questions about it. When you were asked to do these reviews were you told the name Mr. O'Brien?

12:00

A. DR. HUGHES: Not initially. I was told that they had a range of SAIs in Cancer Services and would I consider doing this. I presumed they asked me because I had a background in Cancer Services and a background as a Medical Director. I agreed at that stage, I think that was appropriate. I don't think the name should be important.

12:00

83 Q. Yes,

A. DR. HUGHES: when I started the process and in talking to professionals, some professionals mentioned previous actions that had been ongoing within the Trust and a previous Maintaining High Professional Standard Process. I had not been briefed on those but I was informed of them by other professionals.

12:00

84 Q. Yes. Was it the intention -- I mean, this paragraph maybe suggests it was the intention that you would process through this not knowing the name but you stumbled across it because an SAI was mentioned to you, or is that not the meaning I'm to take from this?

12:00

A. DR. HUGHES: No, the meaning is that I was asked to do an SAI about a Service as opposed about a professional, and the name in essence doesn't matter, it's about the nine patients. I think the issue about hearing about other investigations, I think that that was just human

12:01



1 nature, people were declaring that to me.

2 85 Q. Yes.

3 CHAIR: Mr Wolfe, just I might ask a supplemental  
4 question, while it's in my head then. Would it be the  
5 norm that if you were asked to carry out an SAI, you've 12:01  
6 indicated that you think it's preferable that you don't  
7 know the individuals involved because it's about  
8 learning for the organisation essentially. But is it  
9 the norm, given that Northern Ireland is such a small  
10 place, that you would eventually find out who might be 12:01  
11 involved in it?

12 A. DR. HUGHES: It's not the norm to find out a name, and  
13 I think it's unhelpful. A Serious Adverse Incident is  
14 about a Serious Adverse Incident on a patient and  
15 I think it should be approached that way. In some of 12:02  
16 my evidence you will see when I am talking to  
17 professionals within the Trust, I said this is rather  
18 professional focused rather than patient focused.  
19 I think it was unhelpful that something becomes  
20 professional focused because it can cloud the issue. 12:02  
21 CHAIR: Yes. Thank you.

22 MR. WOLFE KC: Albeit that the characteristics of the  
23 professional and how they could go about their job, can  
24 be important and where it proved to quite important in  
25 terms of the cases that you were examining? 12:02

26 A. DR. HUGHES: Yeah. I mean, this is where you have to  
27 focus on a patient and when you do your Root Cause  
28 analysis these things will unfold in due course. If  
29 it's about a range of patients you have to see the

1 variance from expected best practice and then ask  
2 yourself why and, you know, that would be self-evident.  
3 I just think it's unhelpful to start off with a name.

4 86 Q. Yes. Thank you. Just in terms of your role. We have  
5 touched on it briefly, but drilling down a little bit 12:03  
6 more. If we go to WIT-84154, and if we look at  
7 paragraph 11, just zone in on that. You explain your  
8 role was the Independent Chair of the process, and you  
9 set out your responsibilities for the review, for the  
10 Root Cause analysis, for patient timelines, and leading 12:03  
11 on family engagement. Then sitting alongside you is  
12 the expert clinical advisor, that's obviously  
13 Mr. Gilbert, and his role is different. If you can  
14 help us to fully understand the distinction between  
15 your roles. Mr. Gilbert, you can obviously join us in 12:04  
16 that?

17 A. MR. GILBERT: I saw my role specifically to review the  
18 case record and write down what has happened. Nothing  
19 more than that.

20 87 Q. Did you have at your side, if you like, the benchmarks 12:04  
21 in terms of the various national and regional guidance?

22 A. MR. GILBERT: Yes. I mean, I used the guidelines that  
23 I've used to from both my previous or my current MDT  
24 work. There's no rocket science behind guidelines.  
25 They come straight from the European Association of 12:05  
26 Urology, and anyone setting up an MDT, the easiest part  
27 of it is to fill in the guidelines because you just say  
28 we follow the European or the national guidelines.

29 88 Q. Yes.

1 A. MR. GILBERT: Those should be in most urologists' head.  
2 On occasions you might need to refer to them for  
3 unusual cases, but for what might be termed the more  
4 straightforward pathways, then those should be in each  
5 Urologist's mind.

12:05

6 89 Q. Yes. We will just come and look at some of those in  
7 just a moment. But in terms of your role, Dr. Hughes,  
8 did you do all of the writing when we look at these  
9 reports, or was the clinical aspect written by  
10 Mr. Gilbert?

12:06

11 A. DR. HUGHES: It would have been an iterative approach.  
12 I would have done some of the writing with the  
13 Governance Lead Patricia Kingsnorth, and we would have  
14 shared documents and amended them, and agreed an  
15 outcome.

12:06

16 90 Q. In terms of Mr. Gilbert's role, you go on to explain in  
17 your statement that it was important that he worked in  
18 a district general hospital, a similar environment, and  
19 that he was familiar with national best practice, in  
20 both of those, one a personal characteristic or an  
21 occupational characteristic, and the other his  
22 expertise, that was important?

12:06

23 A. DR. HUGHES: Yeah. I think it's important if you're  
24 assessing a Serious Adverse Incident that you do it in  
25 its context, benchmarking both experience and  
26 processes.

12:07

27 91 Q. In terms of benchmarking, if we go to your statement at  
28 WIT-84157, and down to the bottom of the page, please,  
29 paragraph 5. You are asked here to outline how the

1 Review Team assessed the performance of the MDT pathway  
2 for Cancer management and who took the Lead for this  
3 aspect of the Review Team's work, and provided the  
4 description of what steps they took. Here you do what  
5 you have just explained, you've explained Mr. Gilbert's 12:07  
6 role as the external expert, Clinical Advisor, and you  
7 say that the work of the team was to discuss at weekly  
8 and bi-weekly meetings, benchmarked against care as  
9 defined by, and you set out a number of specific  
10 guidelines - NICE, Urology, Cancer guidelines, NICE 12:08  
11 guidance, cancer-improving outcomes. You say:

12  
13 "This review also included the Local Urology Cancer MDT  
14 recommendations".

15 12:08  
16 Over the page: "Findings were compiled into reports."

17  
18 Here, just on the bullet point there. Sorry,  
19 I shouldn't forget that you refer to the family input  
20 as well. You refer then: 12:08

21  
22 "The patient pathways and outcomes were also  
23 benchmarked against the stated standards of care  
24 declared by the Southern Trust to the external cancer  
25 peer review." 12:08

26  
27 Can we just have that document up, please. The  
28 external cancer peer review is at AOB-79828. while we  
29 are waiting on that coming up, a peer review of the

1 Southern Trust's Urology cancer MDT was conducted in  
2 2017; isn't that right? AOB-79828. This is the  
3 self-assessment report pro forma which Mr. Glackin is  
4 the Clinical Lead for the MDT put into the peer review.  
5 If we just scroll down it. There's a number of general 12:09  
6 remarks about how the MDT functions. Then over the  
7 page, if you would, at 79829. There's two particular  
8 points I would like you to pick up on in reverse order.  
9 The point about nursing is dealt with here, and I will  
10 ask you to explain why this is germane to the work that 12:10  
11 you did. Mr. Glackin says here to the peer review:

12  
13 "Progress is ongoing in relation to the full  
14 implementation of the key worker holistic needs  
15 assessments communication, ensuring all patients are 12:10  
16 offered a permanent record of patient management. With  
17 the appointment of two more nurses to the Thorndale  
18 Unit and clerical staff, all newly diagnosed patients  
19 have a key worker appointed a holistic needs assessment  
20 conducted adequate communication and information advice 12:11  
21 and support given". Et cetera.

22  
23 That is, as I understand it, a reference to the Cancer  
24 Nurse Specialist and I think the frequent refrain in  
25 your report says that while this was asserted to the 12:11  
26 peer review, it wasn't the reality?

27 A. DR. HUGHES: Yes, sadly. I think we need to unpick  
28 this a bit --

29 92 Q. Okay.

1 A. DR. HUGHES: -- and explain what a Cancer Nurse  
2 Specialist does for patients. A Cancer Nurse  
3 Specialist is responsible for a baseline holistic needs  
4 assessment and reassessment as a patient's pathway  
5 changes. They are responsible for the well-being of 12:12  
6 patients, and they are responsible for ensuring  
7 patients fully understand the MDT discussions and fully  
8 understand their treatment options. Their role is  
9 essential in care. This statement implied, and it was  
10 in 2017, when we were looking at patients largely from 12:12  
11 2019, implied all patients had access to that care.  
12 When I first met the family I couldn't understand how  
13 disjointed and/or difficult their care was in the  
14 community. I really struggled with it, but then  
15 I discovered that they didn't have access to a Cancer 12:12  
16 Nurse Specialist. I then tried to unpick this, and it  
17 was established that Mr. O'Brien did not include the  
18 Cancer Nurse Specialist at his Oncology clinics, and  
19 that meant either being present in the clinic or even  
20 giving a telephone number. We had a cohort of patients 12:13  
21 who were not receiving that essential care.

22 93 Q. I am going to look just a little later about the  
23 evidence around that and the implications of that, but  
24 for present purposes what I am going to do for the next  
25 few minutes is setting out the kind of benchmark 12:13  
26 evidence that you received. That was one indicator, as  
27 I understand it, that the Trust set themselves the  
28 standard of being in a position to resource a key  
29 worker or specialist nurse to all newly diagnosed

1 patients, cancer patients, and that was the standard  
2 you were essentially applying?

3 A. DR. HUGHES: Mm-hmm.

4 94 Q. Yes. Let me see if we can scroll back up the page, if  
5 I can find it. Yes. Just at the bottom of the page 12:14  
6 then, this is Mr. Glackin declaring to the peer review  
7 that the Urology Cancer MDT adheres to the Regional  
8 Urological Clinical Reference Group guidelines and  
9 patient pathways, and these have been agreed at an MDT  
10 meeting. Unpacking that for us, that is a reference to 12:14  
11 our local Northern Ireland Cancer Advisory Network  
12 process, is the NICaN process, is it?

13 A. DR. HUGHES: Yeah, that's a reference to the NICaN  
14 Northern Ireland Cancer Network Urology Regional  
15 Reference Group. Their number one Terms of Reference 12:15  
16 is to agree best practice guidelines and ensure  
17 consistent implementation across Northern Ireland.

18 95 Q. What Mr. Glackin is signalling here is that the MDT in  
19 the Southern Trust was embracing and applying the NICaN  
20 standard? 12:15

21 A. DR. HUGHES: Yes.

22 96 Q. Mrs. Kingsnorth then sent you, as I understand from  
23 your statement, a series of documents which are  
24 relevant to the benchmarking exercise. That's plainly  
25 one of them, that's signalling what the MDT does. 12:16  
26 Could I look at WIT-84439? This is one of the  
27 documents you cite in your statement. This is a cancer  
28 research UK document Improving the Effectiveness of  
29 Multidisciplinary Team Meetings in Cancer Services.

1 why was that relevant from a benchmarking perspective?

2 A. DR. HUGHES: It's really to show the principles of how  
3 a functional MDT should work and how they should  
4 deliver care for patients.

5 97 Q. Yes. In terms of the dual work that you were carrying 12:17  
6 out, that's more relevant for the governance side, for  
7 your side of the house, Dr. Hughes?

8 A. DR. HUGHES: Yes.

9 98 Q. Is there anything in particular in that document that 12:17  
10 you wish to refer us to? I know that, within your  
11 reports, you talk about difficulties within the MDT,  
12 cases not being referred back, failure to escalate,  
13 deficits in care, these kinds of things?

14 A. DR. HUGHES: I think the overarching findings were that 12:17  
15 absence of Clinical Nurse Specialists meant that there  
16 was no overarching view of MDT recommendations being  
17 implemented.

18 99 Q. Yes.

19 A. DR. HUGHES: There is a requirement, if you don't 12:18  
20 implement an MDT recommendation, that you would bring  
21 it back to your colleagues and discuss it, and agree  
22 how that would be achieved. I think the other issues  
23 are that, because the team focused on first diagnosis  
24 and first treatment, patients weren't being brought  
25 back to the MDT for discussion as their care needs 12:18  
26 changed, and because a cohort of patients were not also  
27 being cared for by a nurse specialist, it meant that  
28 they had a major deficit in their care.

29 100 Q. There's a series of documents cited by you as having



1           been provided by Patricia Kingsnorth, I just want to  
2           highlight each of them to the Inquiry, and you can  
3           offer any relevant comments, or indeed yourself,  
4           Mr. Gilbert. WIT-84448. Publication of the British  
5           Uro Oncology group concerning multidisciplinary team           12:19  
6           guidance for managing prostate cancer. Again, for you,  
7           Dr. Hughes, the relevance of this document?

8           A.    DR. HUGHES:  It's just to show the abundance of  
9           standard guidelines and the abundance of standard  
10           evidence that people should adhere to, and clearly that           12:19  
11           wasn't the case in all patients.

12   101   Q.    You refer also amongst the list of material received,  
13           or going backwards and forwards between you and  
14           Patricia Kingsnorth, to an e-mail, WIT-84526, and it  
15           appears that this concerns the issue in respect of one           12:20  
16           patient who had a diagnosis of penile cancer. This  
17           e-mail suggests that there was a bit of debate,  
18           perhaps, between you and her, and perhaps you and the  
19           rest of your Review Team about the applicable standard  
20           or the applicable benchmarking criteria?           12:20

21           A.    DR. HUGHES:  Yeah.  Penile cancer is quite a rare  
22           cancer, and the NICA guidance signed up in 2016  
23           indicated that all cases should go to a regional penile  
24           cancer service which was local in Northern Ireland but  
25           linked, I believe, to Manchester, as a supra-regional           12:21  
26           service.  While that guidance came out in '16, it took  
27           them several years to actually get a functional system  
28           up and running.  The Northwest Penile Cancer Service,  
29           which is the service for Northern Ireland, only became

1 operational in 2019.

2 102 Q. You refer to the 2016 guidelines, the NICaN guidelines.  
3 If we could open those, please, at WIT-84611. Is it  
4 fair to say, Mr. Gilbert, that in terms of  
5 a benchmarking exercise that you had to perform, that 12:22  
6 this was something approaching the core text?

7 A. MR. GILBERT: Yes.

8 103 Q. For local purposes?

9 A. MR. GILBERT: Yes.

10 104 Q. Is it your understanding that this document borrows on 12:22  
11 the learning and research from a national level, from  
12 a GB level?

13 A. MR. GILBERT: Yes.

14 105 Q. It incorporates, for example, the NICE learning, NICE  
15 guidance? 12:22

16 A. MR. GILBERT: Yes, this is a condensation of a number of  
17 sources, and that process of condensation would have  
18 been reiterated around the countries in order to bring  
19 up their local guidelines, but they will all be based  
20 upon national and international advice and guidance. 12:22

21 106 Q. Yes. Just touching upon some aspects with this. All  
22 of the major tumour sites are covered obviously within  
23 this. We have prostate dealt with at WIT-84651. If we  
24 look at, for example, WIT-84665 on this sequence, the  
25 fourth bullet point from the bottom is something we 12:24  
26 will maybe get into in a little detail later. So it  
27 says:

28

29 "Men with intermediate and high risk localised prostate

1 cancer should be offered a combination of radical  
2 radiotherapy and ADT androgen deprivation therapy  
3 rather than radical radiotherapy and androgen  
4 deprivation therapy alone."

5  
6 We are going to explore later with you what that means,  
7 but that is something of the standard that you were  
8 considering; is that right?

9 A. MR. GILBERT: Exactly so. I think it's important to  
10 point out these are guidelines, and what the clinician 12:24  
11 responsible for patient's care brings to the MDT is the  
12 context; that is the patient's existing or pre-existing  
13 disease, their expectations, their express desires in  
14 terms of their treatment, but any deviation from these  
15 points of guidance should be documented within the MDT 12:25  
16 discussion. For example, if somebody feels they don't  
17 want to have radiotherapy because it's too arduous to  
18 go to 50 miles up to the road to the nearest facility,  
19 that should have been made clear within the MDT  
20 minutes, either at the time of discussion, because of 12:25  
21 prior knowledge, or after the options have been  
22 discussed with the individual.

23 107 Q. Yes,

24 A. MR. GILBERT: That closes that particular loop of  
25 variation. 12:25

26 108 Q. Yes. We will look at that, perhaps later, in the  
27 context of a specific case or cases. Just pointing out  
28 the standard for present purposes. Looking at another  
29 type of cancer that was relevant to your consideration,

1 was penile, as I have just mentioned. Looking at  
2 WIT-84674 and moving through to 84679, this deals with  
3 treatment and that was one of the issues, I think, that  
4 concerned you in respect of patient H or Patient 3's  
5 case, if I've got that name right. I have got right,  
6 have I? I have. 12:26

7 A. MR. GILBERT: Yes.

8 109 Q. Yes. We will maybe go and again look at this in a bit  
9 more detail later. The concern for you in that case  
10 was the retention of the care locally and the delay in  
11 referring to the supra-regional hub of specialists? 12:27

12 A. MR. GILBERT: Yes, certainly that's true. This  
13 particular aspect of the guidelines, which relate to  
14 the rarer cancers, were brought about in order to  
15 ensure that particular centres had enough experience to  
16 provide the best possible standard of care, and that 12:27  
17 the occasional practice of, say, doing one or two cases  
18 a year was to be eradicated, on the basis that the more  
19 you do, the better you become at things. The  
20 population for penile cancer was 4 million. It's 12:27  
21 actually been quite a difficult thing to establish  
22 because of political differences around but it has  
23 been. But any Clinician, before the arrangements were  
24 made to divide up the various parts of the countries  
25 into these subspeciality MDTs, before that was 12:28  
26 formalised, any Clinician would have understood that,  
27 actually, the writing was absolutely clear and that  
28 individual arrangements had been made by the clinician.  
29 So, from, probably, 2008, I would refer penile cancers

1 to a specialist provider.

2 110 Q. Yes. We don't need to bring up all of the pages, but  
3 these guidelines also deal with renal cancers,  
4 testicular cancer. There is a section on nursing which  
5 I will open briefly. WIT-84725 highlights, I think as 12:29  
6 you were referring to earlier, Dr. Hughes, it  
7 highlights the importance of the nursing aspect in the  
8 management of urological cancers. For example, halfway  
9 down the page, NICE 2014, it emphasises that the CNS  
10 can ensure that patients have information that is 12:29  
11 tailored to their individual needs, therefore enhancing  
12 shared decision-making, also in an excellent position  
13 to provide individualised care following treatment  
14 which promotes cancer survivorship, and it goes on to  
15 cite Anne McMillan on the study of the importance of 12:29  
16 nursing expertise.

17

18 Again, some of the lines there were to resonate with  
19 your work on these nine reviews?

20 A. DR. Hughes: Yeah, the role of the Urological Cancer 12:30  
21 Nurse Specialist is really essential for care. It's  
22 supportive, it's informative, and patients receive  
23 better experience. I think the families found it quite  
24 difficult to know that the majority of people received  
25 that care, but their cohort didn't. Looking at the 12:30  
26 recent cancer patient audit you can see the care  
27 delivered from the nurses from the Southern Trust is  
28 exemplary and I think that's a particular problem. By  
29 the luck of the draw because they were allocated

1 a professional they didn't get this service.  
2 111 Q. Another benchmark document that your attention was  
3 drawn to, as I understand, was the MDT operational  
4 policy for the Southern Trust Urology Cancer MDT. We  
5 can find that at WIT-84532. It's the cover page, 12:31  
6 signed off by the Director of Acute at the time, Esther  
7 Gishkori, 1st September 2017. The Clinical Director of  
8 cancer services, then Dr. Convery and Mr. Anthony  
9 Glackin as the MDT lead. Again, a document that you  
10 would have familiarised yourself with prior to or 12:31  
11 during your work. Just a couple of aspects I want to  
12 seek your comments on.

13  
14 If we turn to WIT-84538, "disease progress" says:  
15  
16 "All new cases of urological cancer and those following 12:32  
17 urological biopsy will be discussed. Patients with  
18 disease progression or treatment related complications  
19 will also be discussed and a treatment plan agreed.  
20 Patients' holistic needs will be taken into account as 12:33  
21 part of the multidisciplinary discussion. When  
22 a clinician has dealt with the patient will represent  
23 the patient and family concerns and ensure this  
24 discussion is patient-centred."

25  
26 The focus of my attention here is this principle that a 12:33  
27 case should come back if there's disease progression or  
28 complication.  
29 A. MR. Gilbert: Yes, that would be a standard part of any

1 MDT's operational policy. Any substantial change in  
2 the circumstances of the patient and their disease  
3 should be brought back to the MDT for discussion,  
4 because it might mean the need for another or different  
5 professional to become involved, so that the MDT is the 12:34  
6 focus for managing the patient.

7 112 Q. Yes. Could I present you with a slightly different  
8 scenario? The MDT has thoroughly discussed the case  
9 and made a recommendation, which is then brought to the  
10 patient by the treating clinician, and either can't be 12:34  
11 sold to the patient, if I can use that term, or it  
12 becomes a treatment that is inappropriate, for whatever  
13 reason; the disease has moved on or there's another  
14 factor that the clinician becomes aware of, or  
15 whatever. What is to be done in that scenario in terms 12:34  
16 of the single clinician and his relationship with the  
17 MDT?

18 A. MR. GILBERT: The case should be brought back to the  
19 MDT to appraise the team of the reasons for any change.  
20 They should be obviously recorded in the notes and in 12:35  
21 the MDT record. Yes, simple as that, really. Again,  
22 a patient declining treatment or being unsuitable for  
23 treatment is a significant change in management, and  
24 any significant change in management should be  
25 discussed at the MDT. 12:35

26 113 Q. Presumably the Clinician should record it and the  
27 reasons relevant to the process within the individual  
28 patient's notes?

29 A. MR. GILBERT: Yes, that would be the first action. The

1 next action would be to request that the patient was  
2 discussed at the MDT so that people were aware of that  
3 as a decision.

4 114 Q. Yes. What you have just described there, obviously we  
5 have here a description of cases that should go to the 12:36  
6 MDT, what you have described patient not taking the  
7 medicine that's recommended, or circumstances changing,  
8 so that the recommendations perhaps no longer are  
9 appropriate, should go back to the MDT. Is that  
10 something that is committed to writing anywhere in any 12:36  
11 of these guidelines? Is that something you need to go  
12 and have a think about, or is it just a good practice  
13 that most MDTs would insist upon even if it's not  
14 written down?

15 A. MR. GILBERT: I think a good MDT would insist upon it, 12:36  
16 and I think it is written down in the sense that any  
17 significant change in management from that dictated  
18 or -- not dictated, that's too strong a word -- that  
19 recommended by the MDT should be brought back to the  
20 MDT. Yes. 12:37

21 115 Q. Yes.

22 A. DR. HUGHES: Sorry, effective MDT National Cancer  
23 Action team from 2010 and it makes -- under the section  
24 of governance, it's probably 5.3, it clearly says that  
25 if there's a change in MDT plan, the information has to 12:37  
26 be brought back to the MDT so (a), they know about it,  
27 they may want to discuss it or act upon it. That's  
28 a document that is signed off by Mr. Mike Richards  
29 a very long time ago, and it's just good practice.



1 116 Q. It appears, from just our review of some of those  
2 documents, that -- I don't say this disparagingly at  
3 all, but there are a range of, I suppose, stakeholders  
4 in this area who have something important to say about  
5 these issues. We've seen cancer charities contribute. 12:38  
6 Northern Ireland has the good fortune of having NICaN.  
7 Different contributors say something about the  
8 benchmark or the standard they would like to see  
9 implemented, but to what extent does a local MDT like  
10 the Southern Trust have to take all of that on board? 12:38  
11 Here I am thinking about the specific example we are  
12 working with of a patient, having listened to his  
13 individual clinician, deciding that the recommendation  
14 isn't for him. You say that should go back? You cite  
15 the -- 12:39

16 A. DR. HUGHES: Yeah, I think it should. There will be  
17 a record on the cancer patient pathway that states plan  
18 A is there but he is receiving plan B, that's an issue.  
19 I think if the care is truly multidisciplinary, I think  
20 the other members of the team should know. In terms of 12:39  
21 significant changes, I think that would be  
22 a significant change in the patient's pathway, so there  
23 would be a duty on the professional to inform the team.

24 117 Q. Yes.

25 A. DR. HUGHES: I can understand that this could be 12:39  
26 bureaucratic and troublesome, but it should not happen  
27 on a regular basis.

28 118 Q. Just finally on this document, key worker and nursing  
29 issues, they are dealt with in this multidisciplinary

1 operational policy at WIT-84545. Just at the top  
2 there, it says:

3  
4 "It is the joint responsibility of the MDT Clinical  
5 Lead and the MDT core nurse member to ensure that each 12:40  
6 Urology cancer patient has an identified key worker,  
7 and that this is documented in the agreed record of  
8 patient management."

9  
10 we will look at the cases in some detail maybe later 12:40  
11 this afternoon and into tomorrow, but it was to be your  
12 finding that none of the nine cases that you looked at  
13 had access to a Cancer Nurse Specialist, and this  
14 document puts the onus on the Clinical Lead and the  
15 core nurse member to ensure that the patient has an 12:41  
16 identified nurse?

17 A. MR. GILBERT: The key worker and Cancer Nurse  
18 Specialist are not interchangeable. A key worker could  
19 be a doctor. It is a person who is willing to be an  
20 access point for the patient throughout their journey 12:41  
21 and To remember that they may change hospitals, they  
22 may change consultants, but the key worker is there  
23 continuously to allow the patient access to information  
24 and support. It just so happens that the best-placed  
25 person for that is a Cancer Nurse Specialist. They 12:42  
26 have the expertise not just in the medical aspects of  
27 care but also within the nursing aspects of care, which  
28 are fundamental to a patient's wellbeing. In my  
29 experience, at the time of discussion, the key worker

1 is appointed, and that is almost inevitably a Cancer  
2 Nurse Specialist. They are named, and their name is  
3 printed on the MDT pro forma so that everybody knows  
4 who is responsible.

5 119 Q. Yes. We can look at some of the detail, and you have 12:42  
6 gathered evidence from a range of people on this issue.  
7 The cancer nurse specialists themselves, Mrs. Corrigan  
8 stands out as someone who gave you particular evidence.  
9 Can you help us with this, just as a taster before we  
10 get to the detail of those cases. This appears to give 12:43  
11 a duty to allocate the key worker, who is usually the  
12 nurse, if I understand Mr. Gilbert's evidence  
13 correctly. In terms of the reports that you wrote up  
14 on each of the nine patients, the focus wasn't on these  
15 two people, it wasn't on the Clinical Lead and it 12:43  
16 wasn't on the core nurse member, but it was on  
17 Mr. O'Brien as the Clinician with responsibility for  
18 the care of the patient and the onus, correct me if  
19 I am wrong, in your reports seemed to suggest that the  
20 buck rested with him to sort out that allocation? 12:43

21 A. DR. HUGHES: Yes. Normal practice, in my experience,  
22 would be that care is shared, so when a patient comes,  
23 they come to the breaking bad news clinic, the Oncology  
24 clinic either with the Consultant or the Consultant  
25 gives the name. In that way there is a seamless care 12:44  
26 so there is a Clinical Nurse Specialist to support the  
27 patient and inform the patient of their illness. This  
28 document clearly says something different, but, in my  
29 experience, the professional giving care should be the

1 care should be the person who -- clinical nurse  
2 specialist. The issue with that there was clearly an  
3 issue in the Southern Trust where Mr. O'Brien did not  
4 work with Clinical Nurse Specialists in his Oncology  
5 Clinics. There is an issue he asked them to do 12:44  
6 transactional issues and nursing issues, but he did not  
7 involve them in terms of the classic roles of  
8 a Clinical Nurse Specialist, a Cancer Nurse Specialist  
9 in terms of holistically baseline assessment, ongoing  
10 baseline assessment informing them of their disease and 12:45  
11 discussing the options.

12 120 Q. Yes. Are you saying that it's your understanding of  
13 the process -- and I'm probably getting here in a  
14 little more deeply than I intended to at this stage but  
15 we have gone down the road too far to come back now. 12:45  
16 Are you saying that, notwithstanding the written word  
17 of the local MDT operational policy, that the practice  
18 of that MDT was that it was a matter for the treating  
19 clinician to put the patient in touch, whether that was  
20 simply handing a phone number or a leaflet, or actually 12:45  
21 making a formal physical introduction. The role is  
22 there and it's not as stated on this page?

23 A. DR. HUGHES: The question arose when we had nine  
24 patients, none of whom had a Clinical Nurse Specialist  
25 so part of the Root Cause analysis we go back and ask 12:46  
26 how this happened and the response from Martina  
27 Corrigan, who was the Urology Services Manager for  
28 eleven years, explained that they were not included in  
29 the outpatients of Mr. O'Brien that had been challenged

1 on two occasions by two nurses without success. She  
2 says in her evidence, and it's included, that that was  
3 escalated but without result.

4 121 Q. Did you ask the question, or were you able to  
5 establish, why aren't you complying with your  
6 operational policy which takes the matter out of  
7 Mr. O'Brien's hands and puts it in the hands of these  
8 two people specifically named?

12:46

9 A. DR. HUGHES: I did ask the question of a range of  
10 professionals but I didn't get a satisfactory answer.

12:47

11 122 Q. Did you reach the conclusion that, notwithstanding what  
12 is on this written page, the practice in the Southern  
13 Trust was for the treating clinician to make the  
14 introduction or bring the contact information to the  
15 patient?

12:47

16 A. DR. HUGHES: The practice in the Southern Trust was  
17 that all other patients received this care in tandem  
18 with their caring Consultant, but a separate cohort did  
19 not.

20 123 Q. Yes.

12:47

21 A. DR. HUGHES: That issue was known but not dealt with.

22 124 Q. We will maybe come back to that issue. Just one other  
23 document by way of benchmarking, which I want to open  
24 at this stage. It came your way following  
25 a conversation with a Dr. Mitchell who, as I understand  
26 it, is a Clinical Oncologist in the Belfast Trust.  
27 I don't want to go into the detail of that conversation  
28 just at this point but I want to open the document with  
29 you and just ask you to what extent it was relevant to

12:48

1 the exercise that you were performing, perhaps  
2 Mr. Gilbert. The document, just to give it its opening  
3 page, is WIT-84426. It's entitled Regional Hormone  
4 Therapy Guideline. I think the pages have 'draft'  
5 which are marked across. This was a document sent to 12:48  
6 you by Dr. Mitchell; is that right?

7 A. DR. HUGHES: Yes, I had spoken to Dr. Mitchell, who is  
8 a Urology Radiation Oncologist in the Northern Ireland  
9 Cancer Centre after speaking with Professor Joe  
10 O'Sullivan. Dr. Mitchell had previous interactions 12:49  
11 with Mr. O'Brien and was concerned about his  
12 therapeutic prescribing, and had challenged him on  
13 several occasions. Dr. Mitchell was the regional Chair  
14 of the Urology Regional Cancer Guidance group and, at  
15 that stage, he also indicated that he challenged 12:49  
16 Mr. O'Brien about his prescribing of --

17 125 Q. I am going to come to that bit in a minute. Just in  
18 terms of this document. Dr. Mitchell sent you this?

19 A. DR. HUGHES: Yes.

20 126 Q. Just in terms of the origin of the document, how did 12:49  
21 the document come to be created? were you told about  
22 that?

23 A. DR. HUGHES: Yes, Dr. Mitchell explained it was  
24 Regional Hormone Therapy guidelines and it was drafted  
25 to address concerns around Bicalutamide prescribing, 12:50  
26 and it was signed off by Mr. O'Brien when Mr. O'Brien  
27 was the Chair of the Regional Clinical Guidance group.

28 127 Q. Was the concern about Bicalutamide prescribing that was  
29 the trigger for this document?

1 A. DR. HUGHES: Yes.

2 128 Q. Were you given to understand that was a general issue,  
3 or was he saying it was a Mr. O'Brien issue that caused  
4 this to be drafted?

5 A. DR. HUGHES: He was implying it was a Mr. O'Brien 12:50  
6 issue. Professor O'Sullivan had concerns for 17 years.  
7 In the document I have shared, Dr. Mitchell had  
8 concerns for ten years.

9 129 Q. Yes. Are you clear about that, that Dr. Mitchell  
10 formulated this document in response to -- 12:51

11 A. DR. HUGHES: Yes.

12 130 Q. -- issues of Bicalutamide prescribing, specifically  
13 directed from Mr. O'Brien?

14 A. DR. HUGHES: Yes. That's covered in the minutes of our  
15 meeting. 12:51

16 131 Q. Yes. We will come to that. Just in terms of  
17 a specific feature of the document, it deals with  
18 Bicalutamide. If we can turn to WIT-84427. This is  
19 setting out information for the region in relation to  
20 prescribing in circumstances of prostate cancer in the 12:52  
21 main. If we scroll down the page, it deals with the  
22 circumstances of intermediate high risk prostate  
23 cancer:

24

25 "Men with intermediate risk prostate cancer should 12:52  
26 receive a total of six months of hormone therapy  
27 before, during and after their radiotherapy."  
28

29 It specifically provides the hormone therapy options

1 with radical radiotherapy, and he sets out the LHRH  
2 agonists.

3  
4 Scrolling down the page, it says:

5  
6 "In order to prevent testosterone flare, anti-androgen  
7 cover with Bicalutamide 50 milligrams is given for 3  
8 weeks in total with the first LHRHa given 1 week after  
9 the start of the Bicalutamide."

12:53

10  
11 It goes on to say: "Bicalutamide 150mg monotherapy can  
12 be used as neo-adjuvant hormone therapy especially in  
13 men where preservation of physical capacity or sexual  
14 function is important or in those who may not tolerate  
15 hot flushes."

12:53

16  
17 It goes on to say:

18  
19 "The cardiovascular and metabolic toxicities of LHRHA  
20 should be discussed and the patient advised to address  
21 cardiovascular risk factors with their GP."

12:53

22  
23 Mr. Gilbert, can you help us with this? For a patient  
24 who emerges from MDT with a recommendation for  
25 radiotherapy --

12:54

26 A. MR. GILBERT: Yes.

27 132 Q. -- is it conventional to provide for hormone treatment  
28 in advance of the radiotherapy?

29 A. MR. GILBERT: Yes, neo-adjuvant treatment is code for



1 treatment prior to the definitive radical therapy,  
2 which in this case would be radiotherapy and the  
3 neo-adjuvant treatment would be hormone treatment.

4 133 Q. Yes.

5 A. MR. GILBERT: The studies that were done were based on 12:54  
6 the use of an LHRH analogue in two big studies which  
7 showed that this was advantageous in terms of disease  
8 control. So all men would start hormone therapy and  
9 that would be with an LHRH analogue in most instances.

10 The use of Bicalutamide 150 milligrams is an 12:55  
11 alternative when the LHRH analogue is, for whatever  
12 reason, not tolerated or not indicated. There are some  
13 concerns around so-called metabolic syndrome which is,  
14 essentially, that these drugs may give a predisposition  
15 to some cardiac events and may contribute towards the 12:55  
16 development of diabetes, and those need to be  
17 considered as part of the holistic approach.

18 134 Q. If there was a known cardiovascular risk, it might be  
19 an option to use Bicalutamide as an anti-androgen?

20 A. MR. GILBERT: I have never done so in my own practice, 12:56  
21 even with patients with significant cardiac risk,

22 I think, the benefits of LHRH analogue over  
23 Bicalutamide I, in sticking to the protocol of the  
24 studies outweighs any risk, in my view. The use of  
25 Bicalutamide in my own practice would be limited to 12:56  
26 those men who are worried about loss of sexual  
27 function, which is not many in this age group, who  
28 might wish to preserve some sort of libido because  
29 Bicalutamide is associated with a lower risk of effects

1 on sexual function, and possibly in general energy as  
2 well.

3 135 Q. Just help us with the science. The hormone therapy  
4 prior to radiotherapy is with what objective or with  
5 what purpose in mind? 12:57

6 A. MR. GILBERT: The way I view it is what you are doing is  
7 shrinking the gland and the cancer more particularly,  
8 and the smaller the cancer the more effective the  
9 radiotherapy is going to be. That's in simplistic  
10 terms. What tends to happen is a recommendation is 12:57  
11 made from the MDT. The patient will be started on an  
12 anti-androgen which is Bicalutamide, usually at a dose  
13 of 50 milligrams and that practice, why we do it is  
14 slightly lost in the mists of time, but the rationale  
15 is said that if you start an LHRH analogue, which is 12:57  
16 the definitive hormone treatment, you may exacerbate  
17 the cancer because what happens at the initial  
18 injection of the drug is that you get a surge of  
19 testosterone, and that, in itself, may be problematic.  
20 My problem with that if it's hormone -- if it is 12:58  
21 localised disease it's not going to cause any problems,  
22 it's going to make your prostate a bit bigger. The  
23 usual practice is to use Bicalutamide 50 milligrams and  
24 that's never questioned. That blocks the flare of  
25 testosterone and the patient can safely start their 12:58  
26 LHRH analogue, and that would continue for anything  
27 between 4 and 6 months.

28 136 Q. Then you are into the radiotherapy?

29 A. MR. GILBERT: Radiotherapy.

1 137 Q. The purpose then, as you say, is to shrink the disease  
2 and the organ --

3 A. MR. GILBERT: Yes.

4 138 Q. -- and the conventional approach is LHRH?

5 A. MR. GILBERT: Yes. 12:58

6 139 Q. 150 milligrams of Bicalutamide, not as effective, in  
7 your view, and has some side effects but will achieve  
8 for you the same broad purpose as the LHRH; is that  
9 correct?

10 A. MR. GILBERT: Theoretically, yes, but we don't know 12:59  
11 that. It's an experimental fact. But yes, it's  
12 blocking the testosterone and should therefore have the  
13 same effect.

14 140 Q. The 50 milligram dose of Bicalutamide, walk us through  
15 that, if you would? You have described its function as 12:59  
16 an anti-flare agent, which is a phenomenon that would  
17 be experienced if you didn't have that intervention, or  
18 you could theoretically have it?

19 A. MR. GILBERT: Yes.

20 141 Q. Is the 50 milligram dose effective, or, put it another 13:00  
21 way, is it licensed for the task of shrinking the  
22 cancer or the --

23 A. MR. GILBERT: No. I mean if you were going to use an  
24 alternative it would be the 150 milligram dose.  
25 Bicalutamide, to my own knowledge, is licensed in two 13:00  
26 indications, the first is for the anti-flare, which we  
27 have discussed at 50 milligrams. The second is for men  
28 who have locally advanced prostate cancer which is  
29 going to need hormone therapy and who may be elderly

1 and frail as the side effects may be more tolerable on  
2 the -- on the Bicalutamide 150 milligrams, not 50  
3 milligrams, 150 milligrams, than --

4 142 Q. Just sticking at the 50, to avoid any confusion. It  
5 really only has one function, is that what you are  
6 saying, as an anti-flare agent? 13:01

7 A. MR. GILBERT: Certainly in my practice and in general  
8 practice I would suggest, yes, it is an anti-flare  
9 agent. It can be used in another scenario, which is  
10 called maximum androgen blockade. Essentially the LHRH 13:01  
11 analogue will suppress between 90 and 95% of  
12 testosterone production because it suppresses the  
13 testicular production of testosterone. Testosterone is  
14 also produced in the adrenal glands, so although  
15 conventionally we would just treat prostate cancer 13:01  
16 with an LHRH analogue getting 90 to 95% coverage, there  
17 is some evidence to suggest that once the disease has  
18 escaped that control, which on average would happen at  
19 around 15 to 18 months after the first injection, then  
20 the addition of 50 milligrams of the anti-androgen will 13:02  
21 in, I think it's 27% of patients, something like that,  
22 will actually produce a second response.

23 143 Q. Thank you for that. I know that analysis is relevant  
24 to some of the prostate management that you came across  
25 in the cases, but I think now would be a suitable time 13:02  
26 to park for lunch.

27 CHAIR: Thank you, Mr. Wolfe. We will see everyone  
28 again at 2 o'clock.

29

THE INQUIRY ADJOURNED FOR LUNCH

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

1                   THE INQUIRY CONTINUED AFTER LUNCH AS FOLLOWS:

2  
3                   CHAIR:    Good afternoon.  Are you ready, Mr. wolfe?

4                   MR. WOLFE KC:  Yes, good afternoon.  Good afternoon,  
5                   gentlemen. 14:05

6  144  Q.    I just want to check a point, Dr. Hughes.  Just before  
7                   lunch we were looking at the multidisciplinary team's  
8                   operational policy, and I can see, if you could pull up  
9                   WIT-84158, you can see that you said, top of the page:

10  
11                   "The patient pathways and outcomes were benchmarked  
12                   against the stated standards of care declared by the  
13                   Southern Trust". 14:05

14  
15                   Then you attach, for our assistance, those documents. 14:06

16                   A.    DR. HUGHES:  Yes.

17  145  Q.    Document 34, take it from me, is that multidisciplinary  
18                   team operational policy.  I want to ask you, because  
19                   I assumed knowledge on your part in the way I asked the  
20                   question just before lunch and that might have been 14:06  
21                   unfair.  Had you seen that document and used that  
22                   document as part of your work?

23                   A.    DR. HUGHES:  Yes.

24  146  Q.    Thank you.  The Review Team, Dr. Hughes, was not just  
25                   yourselves; it comprised of three other people; isn't 14:06  
26                   that right?

27                   A.    DR. HUGHES:  Yes, yes.

28  147  Q.    You set out their roles at WIT-84151.  Patricia  
29                   Kingsnorth -- let me take them in order as they appear

1 on that page. Mrs. Reddick was the Cancer Services  
2 Manager?

3 A. DR. HUGHES: Yes, Cancer Services Manager with the  
4 Southern Trust.

5 148 Q. Yes. You have recorded here that she provided local 14:07  
6 contextual information on how services were operated,  
7 supported and resourced within the Cancer Unit. You  
8 had, maybe skirmish is the wrong word but you had  
9 a number of conversations with Cancer Services,  
10 Dr. Tariq, Dr. McCaul and Mr. Conway? 14:07

11 A. DR. HUGHES: Yes.

12 149 Q. What was her relationship into that part of the  
13 Service?

14 A. DR. HUGHES: She would sit beneath them and manage the  
15 day-to-day processes within the MDTs. 14:08

16 150 Q. Okay. They were more on the Governance side?

17 A. DR. HUGHES: Dr. Sadiq was an Assistant Medical  
18 Director within his remit. Mr. McCaul was the Clinical  
19 Lead for Cancer Services. Sorry, I have forgotten the  
20 name of the other gentleman, was a manager. 14:08

21 151 Q. Mr. Conway?

22 A. DR. HUGHES: Conway.

23 152 Q. I will come back to that in a moment, just let me work  
24 through the rest of the team members. Patricia  
25 Thompson was a recently appointed Nurse Specialist; 14:08  
26 isn't that right?

27 A. DR. HUGHES: She was a recently appointed Nurse  
28 Specialist to the Southern Trust but had many years  
29 experience previously within the South-Eastern Trust,



1 so she was new to the Service and independent of the  
2 ongoing service delivery within the Southern Trust.

3 153 Q. Patricia Kingsnorth then. She is described here as  
4 Governance Lead. Was that her role within the Trust?

5 A. DR. HUGHES: She was an assistant, I think she was an 14:09  
6 Assistant Director but she was Governance Lead aligned  
7 to this review process.

8 154 Q. Yes. One can see from your meetings that, from time to  
9 time, other people appeared to join you. For example,  
10 I see a Fiona Sloan attended a meeting? 14:09

11 A. DR. HUGHES: Fiona Sloan was a family appointed liaison  
12 officer. It became very clear there were specific and  
13 extensive family engagement needs, so the Trust  
14 appointed her. I think she came from a Children's  
15 Services background. 14:10

16 155 Q. I want to ask you some questions now about the  
17 independence of the process because, as we can see from  
18 the three female members of the Review Team, they all  
19 belong to services or areas of management which were,  
20 I hope you agree with me, subject to scrutiny within 14:10  
21 the reviews. Is that a fair way of putting it?

22 A. DR. HUGHES: Yes, that's self-evident, yes.

23 156 Q. Yes. The advantage, I suppose, is that they provided  
24 the review with accessibility in terms of both  
25 knowledge of how things are done and who people are, 14:10  
26 and access to those people, I suppose, in terms of  
27 setting up meetings and that kind of thing?

28 A. DR. HUGHES: Yeah.

29 157 Q. Can you help us with that; why would they have been

1 selected and did you have any role in their selection?  
2 A. DR. HUGHES: Patricia Kingsnorth was aligned to the  
3 programme when I came. She was the Governance Lead.  
4 We were commissioned by the Southern Trust to do this  
5 work and, you are quite right, there is a potential 14:11  
6 inherent conflict of interest in that. Patricia  
7 Thompson was selected by myself because although she  
8 was employed by the Southern Trust she was new to the  
9 Southern Trust and brought experience from a Clinical  
10 Nurse Specialist working elsewhere. Fiona Reddick 14:11  
11 I felt had probably the biggest conflict of interest,  
12 and I think she was placed in an invidious position  
13 and, in retrospect, perhaps, it wasn't best. I think  
14 she was in a place where the Service that she was  
15 managing was being implicitly criticised. I think she 14:11  
16 probably found it stressful but I think that's -- yeah.  
17 158 Q. That's a learning from it?  
18 A. DR. HUGHES: Yes. Part of the problem is if you just  
19 bring a complete outside team in, how do you get  
20 ownership and buy-in and ongoing actions if the local 14:12  
21 team aren't there to own it? I think that's  
22 a reflection. I think we have to accept that it  
23 probably was tough on some of the members of the team  
24 who were invested in their own Service for a very long  
25 period of time and it was being implicitly criticised. 14:12  
26 159 Q. Lawyers tend to get very excited when somebody says  
27 that person has a conflict of interest. The next step  
28 is to ask then, does somebody act on that conflict of  
29 interest in a way that destroys the integrity of the

1 process; are you saying that?

2 A. DR. HUGHES: No.

3 160 Q. You are not?

4 A. DR. HUGHES: Her role facilitated and helped in the  
5 process, but she did not interfere with the output from 14:13  
6 the process in any form.

7 161 Q. Yes. The HSCB procedure, which we looked at earlier  
8 for other purposes, deals with the issue of  
9 independence and membership of a Review Team. Let's  
10 just look briefly at that. If we could bring up 14:13  
11 appendix 12 of that process. That's at WIT-84242.  
12 Yours was a Level 3 review?

13 A. DR. HUGHES: Mm-hmm.

14 162 Q. This is guidance on membership of a Level 3 review.  
15 And it says: 14:13  
16  
17 "The level of review shall be proportionate to the  
18 significance of the incident, the same principles shall  
19 apply as for Level 2 reviews. The degree of  
20 independence of the review team will be dependent on 14:14  
21 the scale, complexity and type of incident. Team  
22 membership for Level 3 reviews will be agreed between  
23 the reporting organisation and the HSCB, PHA and  
24 designated Review Officer prior to the Level 3 review  
25 commencing." 14:14  
26

27 Let's just look at Appendix 11, because this sends us  
28 back to Appendix 11 to look at the Level 2 review. If  
29 we go to WIT-84241. If the process has to be the same

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

as a Level 2 this is what it should be:

"The core Review Team should comprise a minimum of three people of appropriate seniority and objectivity, Review Team should be multidisciplinary or involve experts' opinion" -- well, hard to read that:

14:14

"Or involve experts/expert opinion/independent advice or specialist reviewers. The team shall have no conflicts of interest in the incident concerned and should have Independent Chair."

14:15

You were the Independent Chair. It was multidisciplinary, but your concern, looking back on it, that perhaps Mrs. Reddick was too close to the issues and was made to feel perhaps uncomfortable

14:15

A. DR. HUGHES: Yeah. I don't think she discharged her duties in anything other than a professional way, but I think the role was a role of conflict for her because, in essence, she was reviewing her own Service and reviewing, you know -- it proved difficult, I think.

14:15

163 Q. You say, just on that, at WIT-84174, at paragraph 23, that:

"The SAI Review Team had an essential external component and did include professionals from the Southern Trust who discharged their duties in an exemplary manner, despite a potential perceived

14:16

1 conflict of interest by some."

2

3 Is that where you are thinking about Mrs. Reddick?

4 A. DR. HUGHES: I was actually thinking about the  
5 Governance team from the Southern Trust who managed the 14:16  
6 family engagement to a very high standard, in my view,  
7 and their commitment to the process of doing the Root  
8 Cause analysis and developing the SAIs, and that was my  
9 objective opinion.

10 164 Q. You say at WIT-84165, that a particular issue arose and 14:17  
11 I want to ask you about that. It's the second bullet  
12 point on the page. You say there:

13

14 "I became aware that the Trust was receiving feedback  
15 through the Governance Lead within the SAI review via 14:17  
16 the Director responsible for the Urology Cancer  
17 Services."

18

19 The Trust was receiving feedback from Patricia  
20 Kingsnorth 14:18

21 A. DR. HUGHES: I just wasn't aware of it, but it was  
22 feedback about the progress of the reports and they  
23 were doing a progress report to the Board to know where  
24 they were. I believe it was in order to fully inform  
25 the oversight body within the Department of Health. 14:18

26 165 Q. But that wasn't something you had been made aware of in  
27 advance?

28 A. DR. HUGHES: No.

29 166 Q. Not something you had authorised?

1 A. I didn't authorise it but became aware of it.

2 167 Q. There shouldn't have been any particular need for that,  
3 should there, because you were regularly having  
4 meetings with senior management in the Trust? Maybe  
5 not regular but certainly occasional meetings with 14:18  
6 senior management within the Trust, including  
7 Mrs. O'Kane, the Medical Director at the time?

8 A. DR. HUGHES: Yeah, yeah. But I probably would not have  
9 been given structured progress report, and I think it  
10 was a structured progress report. 14:19

11 168 Q. Yes. One such meeting with Dr. O'Kane, if we could  
12 have up on the screen, please, TRU-161110. This is an  
13 e-mail which Mr. Stephen Wallace sends to himself,  
14 I think, for record purposes. As you can see from the  
15 subject, it's notes following a meeting with you on 14:20  
16 23rd October. If you just scroll down, it seems to be  
17 a progress update on what you'd discovered by that  
18 point. You can see reference to -- I'm not sure if  
19 I can quickly pick up on it but I believe Mrs. O'Kane  
20 was at that meeting and Mrs. McClements. What was the 14:20  
21 function of that kind of meeting?

22 A. DR. HUGHES: That was very early stages. That is what  
23 you'd call early learning, early action, and it was in  
24 the progress, was there any immediate actions needed to  
25 be taken. It's pretty standard within an SAI that if 14:20  
26 you discover some calamity that needs immediate action  
27 so that was very early feedback, and you can see from  
28 the date it's 26th --

29 169 Q. 23rd October?

1 A. DR. HUGHES: Of October. But even at that stage, we  
2 had a reasonable view of some of the issues that were  
3 arising.

4 170 Q. In terms of how you would score the independence of  
5 your process, you'd some concerns about a perception of 14:21  
6 a conflict on the part of some of your members, but  
7 overall, were you able to get on with your work without  
8 fear or favour?

9 A. DR. HUGHES: We were able to get on with our work  
10 without fear or favour in its totality, and I do not 14:21  
11 recall any amendments or the Southern Trust accepted  
12 the report in full without any amendments. The issue  
13 about feeding back at an early stage was in terms of  
14 Patient Safety, and it's about what you know and making  
15 sure that the services are safe, and they would have 14:22  
16 the requirement to do that.

17 171 Q. Yes.

18 A. DR. HUGHES: I think being aware of the potential for  
19 conflict of interest is the first step and to have that  
20 in the forefront of all the discussions. 14:22

21 172 Q. Yes. I mean the Inquiry will judge for itself. There  
22 are some criticisms of the Trust process and governance  
23 arrangements, but equally, and perhaps not intended in  
24 a learning document, but certainly Mr. O'Brien would  
25 interpret the remarks directed to his practice as being 14:22  
26 critical of his performance. Was the Trust pushing any  
27 particular agenda towards you and your team in terms of  
28 Mr. O'Brien?

29 A. DR. HUGHES: No, no. We had feedback on the basis of

1 patient concerns and Patient Safety. I don't believe  
2 they were pushing any agenda.

3 173 Q. Within your statement -- I don't need to bring this  
4 up -- you talk about how the team worked. You talk  
5 about meetings that happened weekly or perhaps  
6 bi-weekly, depending on progress. You say that the  
7 process was very much one of consensus?

14:23

8 A. DR. HUGHES: Yes.

9 174 Q. That Mr. Gilbert would provide his reports through  
10 several drafts, they would be circulated for comment  
11 and discussion, and it was an iterative process before  
12 you eventually reached a final view, bringing together  
13 both the Clinical and the Governance.

14:23

14 A. DR. HUGHES: I think that's a fair description. It  
15 would be an iterative approach benchmarked against  
16 expected best practice.

14:24

17 175 Q. You say at WIT-84159, if we can look at the second  
18 observed bullet point just further down the page. You  
19 were asked whether you recall any disagreement arising  
20 with regard to any finding and/or conclusion and what  
21 you say by way of response is:

14:24

22  
23 "The SAI process was relatively straightforward in  
24 terms of the identified clinical variation from  
25 expected best practice."

14:25

26  
27 You explain how Mr. Gilbert led that part identified  
28 variation from declared standards and you say, just  
29 going down into the second bullet point, that the



1 report has evolved. Yes, I thought there was an  
2 additional point to make there.

3  
4 Mr. Gilbert, perhaps could I have your view on it? Was  
5 this variance that's talked about here and evident from 14:25  
6 the SAI reports, was it --

7 A. MR. GILBERT: The variance.

8 176 Q. The variance?

9 A. MR. GILBERT: Do you mean the different drafts or the  
10 variation -- 14:26

11 177 Q. Sorry, the variance in the delivery of clinical care  
12 from the expected standards?

13 A. MR. GILBERT: Yes.

14 178 Q. It's recorded by, just scroll down again, please, so  
15 it's said here: 14:26

16  
17 "The process was relatively straightforward in terms of  
18 the identified clinical variation from expected best  
19 practice."

20 A. MR. GILBERT: Yes. All I did was to go through the 14:26  
21 timeline for each patient, describe the pathway, and  
22 point out any particular area which may have varied  
23 from what would be a reasonably expected standard of  
24 practice.

25 179 Q. Did the conclusions on that, the findings of variation 14:27  
26 from expected standard of practice, did that come  
27 relatively easily in most cases, or were there  
28 complications that had to be worked through?

29 A. MR. GILBERT: No, it was a straightforward process and

1 much of the reiteration was more about style rather  
2 than substance, so that there was a uniform way of  
3 presenting the information. There was also reiteration  
4 in the light of some corrections or observations by  
5 family, which I was happy to include, but the main body 14:27  
6 of each report essentially state the same, from my  
7 initial draft through to the final report.

8 180 Q. Yes. You set out in your statement, Mr. Gilbert,  
9 something of a chronology, and I don't intend to delve  
10 too deeply into each of the stages for the purposes of 14:28  
11 your evidence, but it might be just helpful to show the  
12 Inquiry that, at WIT-85887, paragraph 1(e). The  
13 initial meeting took place, and I am going to bring you  
14 to that meeting shortly, on 12th October. Then you  
15 describe the people present there, we will go to the 14:28  
16 record of that shortly, but scrolling down to  
17 paragraph 1(j), you say that you submitted your first  
18 draft of your piece to the Review on 5th November. By  
19 30th November, this is paragraph 1(l), the team was  
20 meeting to discuss the first draft reports. Then 4th 14:29  
21 January, just scrolling down, maybe not -- wrong date.  
22 Yes, paragraph 1(o), you proofread your first drafts  
23 which had been annotated by the members of the review  
24 group and return the revised documents on 4th January.  
25 This is this iterative process you have referred to, 14:29  
26 Dr. Hughes. Then the Review Group met on 24th January  
27 to consider the second drafts that emerged from that,  
28 paragraph 1(p). Some points from the discussions with  
29 the families is being fed back to you. You didn't have

1 any direct involvement with the families, Mr. Gilbert,  
2 but you responded to these points as they arose, and  
3 then, as we can see in paragraph 1(q), you submitted  
4 a third draft compliant with the format which had been  
5 agreed at the 24th January meeting. Then I think I'm 14:30  
6 right in saying that a draft report was circulated to  
7 families, patients and Trust staff members, or at least  
8 was available to Trust staff members, by 16th March.  
9 Does that ring true for you, Dr. Hughes?

10 A. DR. HUGHES: I think so, yes. 14:31

11 181 Q. Yes. Then you say at paragraph 1(s), Mr. Gilbert, that  
12 a final version submitted on 19th April 2021. Over  
13 that period of drafting and redrafting, is much  
14 changing from the starter version or is it mainly  
15 matters of formatting and sign detail? 14:31

16 A. MR. GILBERT: It's matters of grammar, clarity in that  
17 I may have pitched the explanations at a level which  
18 would not be understood by the families and so the  
19 language needed to be modified. For that I needed the  
20 Review Team to point out where I was being a little bit 14:32  
21 too technical. But, to answer your question  
22 specifically, there was no real change in the substance  
23 of the recorded events, or the events as I interpreted  
24 them from the clinical records.

25 182 Q. Yes, 14:32

26 A. MR. GILBERT: No one said you can't write that or that's  
27 not true. The final report essentially is the same as  
28 the first draft.

29 183 Q. Yes. The process of the team working together,

1 Dr. Hughes, got moving before Mr. Gilbert was on board;  
2 isn't that right?

3 A. DR. HUGHES: Yes.

4 184 Q. We will pull up a meeting on 10th September 2020,  
5 TRU-163347. As we can see from the top of the page, 14:33  
6 everyone is there. Mr. Gilbert hasn't been appointed.  
7 Just scrolling down the page slightly. At that stage  
8 it records that six cases, with one more to follow, had  
9 been identified. We will come on to how it became nine  
10 shortly, but the situation was, Dr. Hughes, that the 14:34  
11 Trust's governance arrangements were in control of  
12 screening cases for SAI purposes. Those cases that met  
13 the threshold was a decision for that process and then  
14 handed to you?

15 A. DR. HUGHES: That's correct, and these notes were 14:34  
16 summaries that were handed to us as a result of that  
17 triage or screening process.

18 185 Q. Just scrolling down through those, I think it says six  
19 but I think my note tells me that five, over the page,  
20 please, there's three, four, and it seems that five 14:34  
21 have been highlighted, I'm not sure if the note is  
22 entirely good. If we just scroll down so we can see.

23  
24 "Dr. Hughes advises that the team would conduct  
25 a systematic review of what is expected in the pathway, 14:35  
26 what has occurred in the patient's journey and might  
27 say are the variants."

28  
29 You had a clear view of how the work would be done at

1           that point?

2           A.   DR. HUGHES:  Yes.  It would have been a simple pathway  
3           timeline followed by expected timeline, followed by an  
4           assessment of variants.

5  186   Q.   There's then discussion of a draft Terms of Reference           14:35  
6           and the following were agreed.  Just scrolling down.  
7           I think I'm right in saying that those terms don't,  
8           although they are in draft, don't significantly change,  
9           albeit that they weren't agreed by the Health and  
10          Social Care Board until a process of family engagement;   14:36  
11          is that right?

12          A.   DR. HUGHES:  That's standard practice.  The first thing  
13          you should do is tell the family about the process and  
14          ask for their input into the Terms of Reference,  
15          otherwise you are presenting them with a fait accompli   14:36  
16          and it's not appropriate.

17  187   Q.   Just scrolling down the page further, just looking at  
18          that page, Patricia Kingsnorth advises that a urologist  
19          is being commissioned and they hope to be available for  
20          the next meeting.  That was obviously you,           14:37  
21          Mr. Gilbert, and you have explained the various  
22          machinations around that?

23          A.   MR. GILBERT:  Yes.

24  188   Q.   Just moving then.  The full team then got together on  
25          12th October, and you attended that meeting,           14:37  
26          Mr. Gilbert.  The reference for that meeting is  
27          TRU-162286.  We can just see, at the bottom of the  
28          screen there, that you advised that there are now eight  
29          cases?

1 A. MR. GILBERT: Mm-hmm.

2 189 Q. You emphasise the importance of everyone having the  
3 same information and that was going to be accessible  
4 via the electronic system egress. Just scrolling down  
5 the page, just stopping there. There's a reference to 14:38  
6 the principles that you would apply, Dr. Hughes. You  
7 have said:  
8  
9 "Everything that will be done will be scrutinised".  
10 You advised it's important that you take the same 14:38  
11 approach to all cases. Was that simply emphasising the  
12 importance of procedural consistency in how you went  
13 about your work?  
14 A. DR. HUGHES: I think it's advising people of having  
15 a structured approach, and an approach which is 14:39  
16 consistent, but it's also an approach which is based on  
17 evidence.  
18 190 Q. Reference to medical opinion:  
19  
20 "District general hospital consultants should be able 14:39  
21 to give peer opinion."  
22  
23 That seems obvious but what were you getting at there,  
24 assuming it was you?  
25 A. DR. HUGHES: Yeah, I think we have to benchmark like 14:39  
26 with like, so if the practice that we were looking at  
27 is equivalent to an English district general  
28 hospital, that's where we would seek our expert from.  
29 191 Q. At the bottom of this page you talk about family

1 expectation and the need to involve them with the Terms  
2 of Reference, a point we have already made. Then the  
3 top of the next page, please. Here Mr. Gilbert advised  
4 that if it's to be a multidisciplinary review, I think  
5 it says, that's maybe a question, should there be an 14:40  
6 oncologist on the Review Panel? And Patricia  
7 Kingsnorth advised there's two ways of doing this,  
8 having somebody on the Panel or ask for an Oncology  
9 opinion which wouldn't delay the process. Mr. Gilbert  
10 adds his view that you need to have an Oncologist for 14:41  
11 reviewing a case. Mr. Gilbert would do the primary  
12 case review, what a Urologist or Oncologist would do  
13 better". Maybe that's a bit of a difficult note, but  
14 you seem to be emphasising, Mr. Gilbert, the importance  
15 of having support from an Oncologist in the process? 14:41

16 A. MR. GILBERT: My view was that this was a review of  
17 a multidisciplinary team and, therefore, the body doing  
18 the review should reflect an MDT.

19 192 Q. Yes.

20 A. MR. GILBERT: There were some of the skills that we 14:41  
21 would expect to see, Cancer Nurse Specialist, for  
22 example, but I felt that an Oncologist would be  
23 reasonable. However, timelines overtook, and what  
24 I did was I essentially went through each case and, to  
25 be frank, I think it's fairly clear that an Oncologist 14:41  
26 won't add anything to what I've written already.

27 193 Q. It appears that the option was being made available to  
28 you, to perhaps seek an opinion if that was, in your  
29 view, necessary?

1 A. MR. GILBERT: Yes. I mean, I didn't find a need to  
2 actually clarify any of the points around the  
3 management, and I think that's obvious because the  
4 concentration on this was around the decisions being  
5 made by a Urologist and not necessarily within the MDT 14:42  
6 itself, so I simply put myself in the position of  
7 saying what I would have done, not what an oncologist  
8 would have done.

9 194 Q. Yes. You go on to say, just a little bit further down  
10 the page, that you had gone through the cases. Do you 14:42  
11 see that? It's sort of the penultimate paragraph on  
12 the screen.

13  
14 "Q has advised he has gone through cases and knows what  
15 they are about. Not entirely black and white, happy to 14:43  
16 provide questions for oncologist to consider."

17  
18 Just on that, you've explained that when you went  
19 through the timeline perhaps in more detail, you ruled  
20 out the need for an oncologist. Can you recall what it 14:43  
21 was about Mr. O'Brien's work that wasn't, at least at  
22 first blush, black and white for you?

23 A. MR. GILBERT: I think I hadn't been given enough time to  
24 come to a definitive review so I was maintaining  
25 a position of open-mindedness. As I went through in 14:43  
26 more detail matters clarified and, in fact, I didn't  
27 really need the opinion of an oncologist because,  
28 within this gentleman's practice, there didn't seem to  
29 be a need for an oncologist, so I was really just



1 commenting on what he had done. If he had consulted  
2 with an oncologist and there had been some sort of  
3 discussion, then I would have said what would that  
4 discussion look like for me and an oncologist but, in  
5 fact, Mr. O'Brien rarely, if at all, spoke to  
6 oncologists so there was no point in making any  
7 consideration of that.

14:44

8 195 Q. One way of viewing the descriptor black and white is to  
9 say, I was looking at some of these cases and I was  
10 unsure whether that was good practice or practice that  
11 wasn't possibly so good or varied from the guidelines.  
12 Is that what you are getting at there at all?

14:44

13 A. MR. GILBERT: what I'm getting at is that Mr. O'Brien  
14 seemed to be practising in an isolated way with very  
15 little interaction with other people. Therefore, the  
16 decisions are those specifically of a urologist, and my  
17 judgments became more concrete, that the more I read,  
18 then the more I reflected on what I might have done  
19 under those circumstances.

14:45

20 196 Q. Scrolling on down, one can see that you have said that  
21 you have been given huge files and have gone through  
22 them, all apart from, and we have the initials for  
23 a patient there who appears to be Patient 5, or Patient  
24 C in your language. We needn't go into the detail of  
25 your summaries there, but it seems that within a short  
26 few weeks of your appointment, you were able to make  
27 some clear view about the cases?

14:46

28 A. MR. GILBERT: I think that's testament to the manage  
29 the of the information given to me by Southern Trust.

1 I mean, the records were complete, legible, properly  
2 redacted and relatively easy to go through. It was as  
3 if I had the volume in front of me.

4 197 Q. Yes.

5 A. MR. GILBERT: It was a straightforward process.

14:46

6 198 Q. Yes. I think, Dr. Hughes, I didn't pick it up on the  
7 screen for you, but there was maybe something of  
8 a complaint from you in the notes that, at this stage,  
9 you had been involved since August, I think you said,  
10 possibly September, and yet the number of cases coming  
11 in the direction of this process hadn't been settled.  
12 Maybe that doesn't ring a bell. I can bring you to the  
13 record if you wish.

14:47

14 A. DR. HUGHES: I can't actually recall that but it may be  
15 something I might have said.

14:47

16 199 Q. We can pass over that. I suppose the question I wanted  
17 to ask you was, you've explained that the process of  
18 identifying cases for SAI purposes, or screening them  
19 in, was none of your business; it was done by the  
20 screening governance process. The cases that did come  
21 your way, were you satisfied that they all met the  
22 threshold for SAI or was that something you didn't give  
23 any consideration to?

14:47

24 A. DR. HUGHES: No, it was something I gave consideration  
25 to. I think they all met the threshold for  
26 consideration for an SAI. I don't think they all met  
27 the consideration for a Level 3 SAI. Patient 8 was  
28 a TURP where the diagnosis of cancer was missed due to  
29 a late notification or a late awareness of a pathology

14:48

1 report and that might be a level 1, but as it was part  
2 of a combined group, I didn't have any problem with the  
3 range of SAIs. The reason I didn't really want to get  
4 into the triage process was because I knew there would  
5 be ongoing further cases coming on and possibly going 14:49  
6 into another process, and I didn't really want to --  
7 I wanted to put a Chinese wall between that work and  
8 the work we were doing with the SAIs.

9 200 Q. You make that point in your statement. Maybe we will  
10 just bring it up and explore it a little. WIT-84153. 14:49  
11 You say at (iv) that you were:

12  
13 "... aware of an ongoing process to perform a lookback  
14 exercise and ongoing triage of cases as potential  
15 SAIs". 14:49

16  
17 You go on to say: "As chair of the SAI process I did  
18 not seek nor was I given any further details regarding  
19 outcomes of triage to SAI thresholds where subject  
20 [quotes] believing this would be inappropriate." 14:49

21  
22 You wanted to maintain the independence of your SAI  
23 process.

24  
25 You were aware in the background that there was this 14:50  
26 other process, but you wanted to keep out of it?

27 A. DR. HUGHES: Yes, that's correct.

28 201 Q. You may now know, and we have asked you a question  
29 about this, that because of an agreement reached at

1 what has become known as the Urology Assurance Group,  
2 which is an amalgam of officials from the Trust, the  
3 Department, PHA and HSCB, there would have been no more  
4 SAIs brought through as a result of Mr. O'Brien's  
5 practice, that other cases were going to go this SCRR 14:50  
6 route. I just want to ask you some questions about  
7 that. If we go to your witness statement at WIT-84174.  
8 Just scroll up to the bottom of 173, if you would,  
9 please. The question was:

10  
11 "What, if any, view did you express to the Trust in  
12 writing or orally on the merits of this decision?"  
13 The decision being that there would be an SCRR process.  
14 And you say, politely, not answering the question  
15 directly, you say that: 14:51

16  
17 "I believe that this approach would be constructive  
18 provided patient and family engagement was adequately  
19 addressed".

20  
21 You say you have experience of this. I think it was  
22 called structured judgment review, which has been  
23 variously described and the Trust ultimately calls it  
24 an SCRR. Back to the question you were asked, you were  
25 asked did you advise the Trust in relation to the SCRR 14:52  
26 process?

27 A. DR. HUGHES: I discussed the process with Dr. Miriam  
28 O'Kane and I had said that I had some experience of it  
29 and that it could work to deal with high volume in

1 a constructive, timely way. I did made the point that  
2 irrespective of what you do you have to do the same  
3 family engagement because you can't produce a result  
4 without engagement because that doesn't meet need. So  
5 my experience is that it can be timely but it often 14:52  
6 isn't, and it depends how it is structured, if it's  
7 multiple professionals reviewing a case twice and with  
8 or without family stories. If you do the family  
9 engagement before and after, it can be almost as --  
10 I don't like to use the word time-consuming -- it can 14:53  
11 take as much time as an SAI process. But, you have to  
12 find a meaningful way to address the clinical deficit  
13 and address concerns and assure you have got  
14 appropriate information, and also address family and  
15 patient need. 14:53

16 202 Q. Yes. Your view about the need for family engagement  
17 chimes with the recommendations contained in a recent  
18 RQIA, manage the assurance exercise, which has focused  
19 on the Trust's SCRR, and indeed its lookback process?

20 A. DR. HUGHES: Yeah. 14:54

21 203 Q. They make exactly that point, that the deficit, or one  
22 of the deficits, in the Trust's SCRR process, which is  
23 still ongoing, is that there's only family engagement  
24 at the back end, as the report is finished and signed  
25 off; there isn't family engagement at the commencement. 14:54  
26 That seems to be what you saying here?

27 A. DR. HUGHES: Yeah, it's likely that the SCRR -- I will  
28 get the words right -- structured judgment reviews will  
29 have the same underlying background of absent Clinical

1 Nurse Specialists, and it's likely that the  
2 communication and the understanding is similar to what  
3 we found in the nine SAIs. So I think you have to  
4 address that deficit in any structure judgment review  
5 because it will be the same as what we found in the 14:54  
6 nine. If the care isn't supported by Clinical Nurse  
7 Specialists it's invariably less informed and patients  
8 are often not fully knowledgeable of the pathways and  
9 of various illness.

10 204 Q. Yes. As I understand it, the structured judgment 14:55  
11 review derives from a model formulated by the Royal  
12 College of Physicians. Just to take your observations  
13 and perhaps, Mr. Gilbert's observations on this. The  
14 RQIA has said of the Trust's process, SCRR process,  
15 that another deficit is that it's not gathering 14:55  
16 information on governance issues, whereas the Royal  
17 College's model would be more geared towards that.  
18 Again, is that something that you think ought to form  
19 part of an SCRR arrangement?

20 A. DR. HUGHES: I'm not sure I agree with the RQIA on 14:56  
21 that. I think if you do a proper structured judgment  
22 review, you will pick out the same variance in care and  
23 you will be able to make the same inferences. I think  
24 the thing that probably is missing from the Southern  
25 Trust process is coming to families afterwards and 14:56  
26 saying this is what we found, without asking them in  
27 advance  
28 what do you know?

29 205 Q. Yes. Mr. Gilbert, have you experience -- well, you

1 clearly have experience of this structured judgment.

2 A. MR. GILBERT: Yes. I mean, this structured judgment  
3 review was introduced around about 2019, I think, and  
4 is now used across surgical departments in order to  
5 look at adverse incidents. My experience with it has 14:56  
6 been that we allocate a Registrar to go through the  
7 case and then present it so that the group, as a whole,  
8 can identify learning points and any gaps in governance  
9 issues. To me there are an awful lot of algorithms  
10 about this, but essentially the same process applies 14:57  
11 across, which is, you want to know what happened and  
12 why it happened, and from that you can learn. It  
13 doesn't matter what you label it as. The importance of  
14 family involvement is essentially to allow them to  
15 understand the processes that we go through. I'm not 14:57  
16 entirely certain they contribute other than to give us  
17 an important perspective on what we are doing to our  
18 patients.

19 206 Q. Yes. I want to move now, for the next while, to look  
20 at while Mr. Gilbert was completing his thoughts 14:58  
21 leading to draft 1 and then draft 2, you were beginning  
22 the process, Dr. Hughes, having learned what had gone  
23 wrong here in terms of departures from or variations  
24 from the standard guidelines. You were wanting to go  
25 out to speak to staff to understand the why has that 14:58  
26 happened, and something of the governance arrangements.  
27 You refer in your statement, if we can bring up 814455,  
28 your initial meetings were with core members of the MDT  
29 to understand the context of care. Then, after

1 identifying the care deficits, you had -- it doesn't  
2 look like the reference I want. 84154. I think we can  
3 get by without the reference. The context is this:  
4 That you initially wanted to speak with some of the  
5 core members of the MDT, and I think for that reason, 14:59  
6 perhaps, you started your series of meetings, so far as  
7 I can work out from the documents available, with  
8 Mr. Glackin?

9 A. DR. HUGHES: Yes.

10 207 Q. Who was the then Clinical Lead. You have reflected, 15:00  
11 I think, that, just as a general point, not  
12 specifically Mr. Glackin, but you have reflected that  
13 the conversations with staff were difficult, but you  
14 obtained significant learning for your purposes. What  
15 was difficult about the meetings from staff 15:00  
16 perspective?

17 A. DR. HUGHES: I think there was a concern that the  
18 question had moved from what happened to how it  
19 happened, and I think they were probably reflecting on  
20 what role they had in this and what were their 15:00  
21 responsibilities. I think the meetings, when I say  
22 difficult, I think it was difficult for the staff, it  
23 was stressful. I think particularly for the Clinical  
24 Nurse Specialists who felt this deficit would be seen  
25 to be their deficit, and I think they are incredibly 15:01  
26 anxious about that. Part of the process was to  
27 reassure them that this was a learning tool and an  
28 improvement tool, but they were very anxious about  
29 oncoming and upcoming Urology Services Inquiry.



1 Perhaps some of the findings, I found almost  
2 inexplicable. When you have the resource for  
3 a Clinical Nurse Specialist and everybody understands  
4 the benefit of it, I couldn't understand why patients  
5 didn't receive that care. The other thing I was very 15:01  
6 aware of, because it was an independent review, the  
7 staff weren't actually engaging with the families and  
8 the experience and so myself and Patricia Kingsnorth  
9 and Carly from - we would meet with the families and  
10 hear these stories of people being unable to access 15:02  
11 basic care, continence care, trying to access GPs at  
12 time of Covid, having to go to ED when you are  
13 suffering from cancer because there was nowhere else to  
14 go, and I think these were difficult conversations.

15 208 Q. Did it come across, and we will look at the specifics 15:02  
16 in a moment, I'm just trying to put some of the  
17 headlines out on to the table. There was this sense of  
18 difficulty. Did it come across as defensiveness on the  
19 part of some staff?

20 A. DR. HUGHES: Some staff. Others were quite shocked and 15:02  
21 because cases were not being brought back to the MDT,  
22 nobody had full knowledge of the deficits patients  
23 suffered. If a patient was being dealt with in  
24 isolation without the supporting environment and didn't  
25 have a holistic baseline assessment or was not being 15:02  
26 brought back to the MDT, the other team members would  
27 not know about it.

28 209 Q. But some of the things, just again unpacking some of  
29 this, the headlines. What was clearly known, I think

1 you were able to establish, and we will go to the  
2 evidence for this in a moment, it was clearly known  
3 that nurses, specialist nurses weren't involved with  
4 these patients?

5 A. DR. HUGHES: Yes.

15:03

6 210 Q. Not just these patients, but it had gone back some  
7 time. The second thing that seemed to be known was  
8 that Mr. O'Brien had a particular practice in respect  
9 of the use of Bicalutamide?

10 A. DR. HUGHES: Yes.

15:03

11 211 Q. Which, in the opinion of some, to put it neutrally, was  
12 at variance with the guidelines. Those two factors  
13 were known?

14 A. DR. HUGHES: Those two factors and Mr. Glackin referred  
15 to that. The Nurse Specialist bit was known but was  
16 seen to be like a long term problem that nobody could  
17 address, and it was just there but not dealt with.  
18 I think variance from MDT recommendations was not  
19 known.

15:04

20 212 Q. One of the others, and we will look at that and how  
21 that could have happened and what that said to you in  
22 terms of culture and governance in a moment but another  
23 sort of looking at this at a high level, another  
24 feature of what you discovered through these meetings  
25 was, not to put too fine a point on it, the disconnect  
26 between Cancer Services on the one part, MDT on the  
27 other, so that the former seemed to exist in a bit of  
28 a vacuum from the latter?

15:04

15:04

29 A. DR. HUGHES: Yes. The senior cancer management team



1 resources. His explanation is about the resource to  
2 provide Nurse Specialists in this context. He didn't  
3 seem to indicate at this meeting that this was an issue  
4 which was other than resources?

5 A. DR. HUGHES: Yeah. At that stage I was unsure if it 15:08  
6 was a funding issue, was it a locality issue, because  
7 they'd expanded their areas, and Mr. Glackin reflected  
8 that, I think. It was only later when I found out  
9 that, you know, even if you didn't have a nurse at the  
10 clinic did you give the number, and it turned out that 15:09  
11 all other Consultants did use Nurse Clinical  
12 Specialists. It was just the exception of Mr. O'Brien  
13 who didn't.

14 216 Q. Yes. Mr. Glackin, of course, signed off on the 2017  
15 Peer Review document, which I opened earlier. His 15:09  
16 contribution to that was to recognise that, in  
17 2016/'17, this service had been granted additional  
18 resources to bring further nurse specialists into the  
19 system?

20 A. DR. HUGHES: Yes. They had increased their number of 15:10  
21 nurse specialists to five, and they had stated that all  
22 patients had access to a Clinical Nurse Specialist,  
23 which wasn't factually correct.

24 217 Q. In light of what you were to hear subsequently about  
25 Mr. O'Brien's exclusion of Cancer Nurse Specialists, 15:10  
26 this can't have been a candid answer that you were  
27 receiving from Mr. Glackin?

28 A. DR. HUGHES: My views at that time were forming.  
29 I didn't know for a fact, and it was only later that

1 I fully understood that (a) was there the resource, and  
2 (b), that selectively, one professional did not use  
3 that resource, and certainly Mr. Glackin didn't put it  
4 in those terms.

5 218 Q. I know that you'll recall, and we will come to this 15:10  
6 later, that the three employees from the Cancer Service  
7 wrote when your draft report was ready and put changes  
8 into the report?

9 A. DR. HUGHES: Yes.

10 219 Q. They raised the issue about, we would like you to 15:11  
11 specify in your report who knew and who didn't know  
12 about this nursing issue. Your response to that, I can  
13 bring it up later, if necessary, was that you were  
14 appreciative of those who were candid with you in the  
15 process of investigating how this had come to be. Did 15:11  
16 that reflect the view that there were some staff who  
17 weren't entirely candid with you?

18 A. DR. HUGHES: Yes. I think I respond that way because  
19 I regarded the comment as verging on bullying in trying  
20 to seek out who knew and who didn't know. It was very 15:12  
21 clear that the nurses and the Urology Services Manager  
22 was very clear and honest and open about not being able  
23 to assure that all patients got access. It was SAI  
24 learning outcome and I thought it was verging on blame  
25 culture, I thought that was unhelpful. 15:12

26 220 Q. Yes, yes. We will come to that piece in a moment or  
27 later, perhaps. Moving just down to this now to the  
28 Bicalutamide issue, if we can just find that. You DH  
29 advised that AOB prescribed off guidance which didn't

1 adhere to NCCN guidelines. He appeared to ignore the  
2 recommendations from MDT in relation to the  
3 prescription of Bicalutamide without patient informed  
4 consent. Then Mr. Glackin indicated that he was aware  
5 of this.

15:13

6 A. DR. HUGHES: Yes.

7 221 Q. He advised you that this would have been challenged at  
8 MDT. He advised the practice for prescribing to MDT  
9 had changed in the last six years, the cases are  
10 discussed, each case reviewed in advance by  
11 a Consultant Urologist, the chairing is rotated, this  
12 was done to share the workloads as opposed to monitor  
13 the practice of colleagues. The question around  
14 Bicalutamide 50 milligrams use would have been  
15 challenged but not minuted.

15:13

15:13

16  
17 You went on to say:

18  
19 "Once a patient's care was discussed in MDT this was  
20 named to the named Consultant to continue the patient's  
21 care. No one was looking over the shoulders of others  
22 to check that the work was done".

15:13

23  
24 Mr. Gilbert, in light of what you said this morning  
25 about the usage of 50 milligrams, if that was known to  
26 Consultant Urologists, and indeed if Oncologists were  
27 there, which appears to be rarely, that is something  
28 that an MDT would be expected to challenge?

15:14

29 A. MR. GILBERT: Yes.

1 222 Q. Because if somebody is using 50 milligrams outside of  
2 the anti-flare scenario, I think you pointed to one  
3 other potential use for it, if it was being used in the  
4 way that is being suggested here, that would, in your  
5 opinion, I know Mr. O'Brien wishes to have me explore 15:14  
6 with you some issues around that, but, in your opinion,  
7 that is something that an MDT would challenge, should  
8 challenge?

9 A. MR. GILBERT: would and should challenge, yes.

10 223 Q. Yes. 15:15

11 A. MR. GILBERT: The indications we have already discussed.

12 224 Q. Yes.

13 A. MR. GILBERT: Licensing we have already discussed. The  
14 rationale for giving 50 milligrams on one level is not  
15 made clear, and the decision is to modify the MDT 15:15  
16 decisions or the MDT recommendation is not annotated in  
17 the notes, or not alluded to in the notes, and  
18 certainly doesn't include the MDT either.

19 225 Q. Is it surprising, in your view, that if this is  
20 challenged, and perhaps challenged on a number of 15:15  
21 occasions, that it (a) isn't minuted, and (b), not  
22 escalated?

23 A. MR. GILBERT: It's difficult to comment because it's  
24 a very unusual series of events. There aren't many  
25 MDTs up and down the country in which someone insists 15:16  
26 on giving a particular type of treatment out with the  
27 guidelines and recommendations. It's a rare event.  
28 I can only think of one instance where one of the  
29 senior oncologists was quite keen on giving a very

1 large dose of Bicalutamide and for pharmacological  
2 reasons he said, but we all rounded on him and he  
3 immediately stopped doing it. That was just  
4 a misunderstanding. It wasn't done in an aggressive  
5 manner. It was done in a collegiate manner, and that's 15:16  
6 what the MDT should be about; everybody informing each  
7 other and supporting each other, and being open and  
8 honest about what they are doing and why they want to  
9 do it.

10 226 Q. For the record, Mr. O'Brien says he had never been 15:17  
11 challenged and it's never been escalated because he has  
12 never been challenged and, therefore, not at all  
13 surprising that it's not minuted if it hasn't been  
14 challenged. Assuming Mr. Glackin is right, Dr. Hughes,  
15 that he was challenged but not minuted, and he says he 15:17  
16 was just allowed to get on it, nobody was looking over  
17 his shoulder, what does that say in plain Governance  
18 terms for you?

19 A. DR. HUGHES: well, it's a laissez-faire attitude to  
20 Governance. Governance only works if everybody takes 15:18  
21 their role and responsibility seriously and that means,  
22 as it says in the guidance that you read from this  
23 morning, everybody has a responsibility for patient  
24 care. If you are a member of a team, you have to act  
25 upon issues. I think an MDT would have been an ideal 15:18  
26 situation to do it by getting a collegiate group to do  
27 this, that was difficult thing to do. I also think  
28 they should escalate it to line management above them,  
29 their clinical leads, their Associate Medical Director



1 because it is very difficult sometimes to manage within  
2 a dysfunctional group of professionals and we have to  
3 recognise that. But there were options to address  
4 this. You could either address it as a collegiate  
5 group or they could escalate it to those with line  
6 management responsibilities. 15:18

7 227 Q. One of the difficulties, I suppose, was the Associate  
8 Medical Director, certainly from 2017, Mr. Haynes was  
9 a member of the MDT. I think perhaps it's what you  
10 have alluded to, Mr. Gilbert. It is perhaps difficult 15:19  
11 and colleagues have to be, I suppose, brave and step  
12 outside the zone to raise complaints, escalate  
13 complaints about colleagues?

14 A. MR. GILBERT: It's absolutely necessary. It's a duty.  
15 We are very privileged to practice, but that comes with 15:19  
16 a series of roles and responsibilities, and one  
17 responsibility is to ensure Patient Safety, not just  
18 for your own patients but those around you. If you see  
19 anything that isn't as it should be, or you think it  
20 isn't as it should be, then if your peers don't take 15:19  
21 notice, then you escalate, and you escalate until you  
22 get a satisfactory answer. That has to be the truth,  
23 the rule that you adhere to.

24 228 Q. Sometimes, a note, Dr. Hughes, doesn't do justice to  
25 the nuances of a conversation. Obviously this is 15:19  
26 conversations down the phone. In light of your  
27 expectations from a Governance perspective about how  
28 this laissez-faire approach was allowed to predominate,  
29 did you respond saying are you serious, it wasn't even

1 recorded, let alone escalated or was your role not to  
2 be, I suppose, judgmental in that context?

3 A. DR. HUGHES: Yeah. I try to make sure I'm not  
4 judgmental, because I want to get as much information  
5 as possible and to address it. I'm sure he understood 15:20  
6 that I couldn't understand the actions, but  
7 unfortunately, there were similar actions out with the  
8 Trust from Oncologists, which you will probably come  
9 to, who also knew of the practice, wrote directly, but  
10 didn't escalate. So it's not unique to the Southern 15:21  
11 Trust, I have to say.

12 229 Q. The next issue you cover just below this, before we  
13 have a short break, just to finish this, you talk about  
14 disease progression with him. You ask -- sorry, you  
15 say, just at the top of the screen, halfway down now: 15:21  
16

17 "Advised that often the patients involved in the review  
18 were not represented to MDT when their conditions  
19 deteriorated."  
20 15:21

21 I'm not sure what particular patients you might have  
22 had in mind. I know from the facts, for example, of  
23 patient A or Patient 1, that he went into retention in  
24 March 2020, having been before the MDT at the end of  
25 October. The recommendation was to start ADT and to 15:22  
26 refer to Oncology for EBRT, none of which had happened,  
27 according to your report. Seemingly a deterioration in  
28 March with retention. We are in the middle of Covid at  
29 that time, March 2020. Was that the kind of case that

1 should come back?

2 A. DR. HUGHES: Yeah. I mean, I think we are focusing on  
3 Bicalutamide here, but we must remember the three  
4 patients who were referred in and ended up on  
5 Bicalutamide also didn't have referral to Oncology, 15:23  
6 which is probably a much more major issue, and  
7 certainly not referral to Oncology in a timely fashion.  
8 Patient 1 developed complications because he hadn't  
9 been referred to Oncology in a timely fashion. I just  
10 want to get the numbers right here. Patient 6 wasn't 15:23  
11 referred to Oncology at all. Patient 9 had a very  
12 delayed diagnostic pathway and presented as a quite  
13 complex, unfortunate complication, and the MDT  
14 recommendation wasn't acted upon. He wasn't referred  
15 to Oncology and he didn't get a Clinical Nurse 15:23  
16 Specialist, despite having particularly complex  
17 personal needs.

18

19 One of the first things we did when we did the family  
20 engagement, we met that gentleman and Patricia 15:24  
21 Kingsnorth organised --

22 230 Q. Which particular patient?

23 A. DR. HUGHES: Patient 9. Patricia Kingsnorth organised  
24 clinical care, community nursing to support this  
25 gentleman. So we went out to an engagement piece, 15:24  
26 where we did end up doing direct care.

27 231 Q. Yes. I suppose when you look at the two issues that we  
28 have just touched on, the Bicalutamide and then the  
29 issue of not bringing patients back for review,

1 Mr. Glackin is saying, we simply wouldn't know whether  
2 a patient has disease progression or whether he has  
3 been brought back to fit or whatever. What is the  
4 solution for that? Is the solution different types of  
5 tracking or different types of monitoring in Governance 15:25  
6 terms?

7 A. DR. HUGHES: The first solution would be to have  
8 a Clinical Nurse Specialist who does a holistic  
9 baseline assessment and does another assessment as your  
10 needs change. There is little point in having 15:25  
11 a palliative care team sitting at an MDT if you can  
12 only access the first presentation. It makes no sense.  
13 The reason you bring more complex patients back to an  
14 MDT is to get the benefit for all these  
15 multi-professionals and that's about doing the right 15:25  
16 thing for the patient at the right time, and that's  
17 about having the right support. Unfortunately, this  
18 cohort of patients didn't have that right support in  
19 terms of Clinical Nurse Specialists, but that would not  
20 stop anybody else re-referring them to get access to 15:25  
21 this care.

22 232 Q. Just finally, just going to the bottom of the page,  
23 Mr. Glackin comes back to deal with the nursing issue.  
24 It says that his patients have access to the CNS and  
25 are referred to palliative colleagues for support. He 15:26  
26 described Mr. O'Brien as a holistic physician  
27 clinician. Can you contextualise that for us? Was  
28 that by way of an excuse or explanation or is that  
29 a compliment?

1 A. DR. HUGHES: I think Mr. Glackin has a misplaced  
2 collegiate friendship with Mr. O'Brien and I think is  
3 misjudged. In this day and age, to describe somebody  
4 as a holistic clinician is really suggesting somebody  
5 is working outside their fields of competence. You 15:26  
6 can't deliver the roles of Clinical Nurse Specialist,  
7 you can't deliver the roles of a Palliative Care  
8 Physician, you can't meet patient need working in  
9 isolation, and that's something that people need to be  
10 protected from. I think the theme we are seeing here 15:27  
11 is a professional, and maybe in his own best will, but  
12 working in isolation from all other resources, and  
13 patients not being able to access the resources that  
14 others could, and resources that they should have.

15 233 Q. Just on the top of the next page, he goes on to 15:27  
16 describe Mr. O'Brien's work at one of the satellite  
17 facilities at Enniskillen where there's no nurse  
18 available. You, as the conversation continues, talk  
19 about the absence or the limited audit reports.  
20 Mr. Glackin responds that he and Mr. Haynes were 15:28  
21 involved in National Audit.

22  
23 Scrolling down. You advised that you appear to accept  
24 that the MDT was under-resourced and under-provided  
25 within Oncology. You asked a specific question was 15:28  
26 there any oncology concern about Mr. O'Brien,  
27 Mr. Glackin wasn't aware. He is of the view that it  
28 was a functional MDT. That's something you agreed  
29 with?

1 A. DR. HUGHES: If you look at the quorate levels, 11% to  
2 very, very low levels, and it could not have been  
3 functional. There was particularly poor representation  
4 of medical oncology, and especially clinical oncology.  
5 Radiology didn't have double reading. People weren't 15:29  
6 referring cases back to the MDT. There's lots of known  
7 and there's lots of unknown unknowns, but the reason  
8 they were unknown is because there wasn't process  
9 audit, there wasn't manage the assurance, there wasn't  
10 checks and balances in place. 15:29

11 234 Q. Just scroll down. There's discussion about  
12 Mr. O'Brien's return to work after sick leave, and  
13 about relationships and how they were strained for some  
14 time, which may relate back to the MHPS. But in terms  
15 of Mr. Glackin, he says: 15:30

16  
17 "I have known him since before I was a medical student.  
18 It's fair to say Mr. O'Brien is very helpful and  
19 supportive of me in my role as Consultant. The current  
20 investigation should be evenhanded and proportionate in 15:30  
21 manner. You should be aware of the good things he has  
22 done."

23  
24 Is that really where Mr. Glackin was coming from; he  
25 saw the good in Mr. O'Brien as a human being and as 15:30  
26 a person, and he had been kindly to him, but he was  
27 allowing that, to some extent, to cloud his proper  
28 judgment of important clinical and governance issues?

29 A. DR. HUGHES: I would believe so. I think Mr. Glackin

1 was in his remit as a student, under Mr. O'Brien and  
2 that's why he became a doctor, so I'd say he has a lot  
3 of personal investment in Mr. O'Brien as a person,  
4 totally understandable but as a doctor he has to take  
5 a step back, as somebody who is the lead for the MDT 15:31  
6 has to step back and maybe would have been in a good  
7 position to have discussions with Mr. O'Brien but  
8 I think the power of differential was such that those  
9 discussions weren't happening.

10 235 Q. I am struggling to find the reference on the screen. 15:31  
11 If we could go to the middle paragraph, there's just  
12 a point I want to raise with you, Mr. Hughes. That's  
13 the very paragraph, thank you. Mr. Gilbert,  
14 Mr. Glackin explains that one of the flaws of the MDM  
15 process is that clinicians who are present may be 15:32  
16 making a decision on patient care with incomplete  
17 information, a decision is reached indicating a course  
18 of action, but until you meet the patient in clinic and  
19 then have to revise the management. Is that something  
20 that's familiar to you, Mr. Gilbert? 15:32

21 A. MR. GILBERT: Yes, indeed. As I think I alluded to it  
22 before, which is that these decisions in the MDT are  
23 slightly made in isolation. It would be great if the  
24 patient could be there as well but they are not. When  
25 the decision is taken back to discuss with the patient 15:32  
26 sometimes they may add some input, which means the MDT  
27 decision is untenable or unworkable. Under those  
28 circumstances, that discussion needs to be recorded in  
29 the notes and it's perfectly reasonable to come to

1 a decision then but that decision needs to be relayed  
2 back to the MDT so that it can be understood as  
3 a learning point, but also as a definitive record of  
4 that patient's care, so that the whole of the team can  
5 be involved rather than it just being a decision 15:33  
6 between an individual and the patient themselves.

7 236 Q. So absolutely no difficulty in carrying  
8 a recommendation back to the patient and being unable  
9 to implement it, for whatever reason, as long as it's  
10 done in a procedurally proper way that you describe? 15:33

11 A. MR. GILBERT: Precisely, yes. There's no restriction.  
12 One of the big problems for the Urology MDT, to be  
13 frank, is that we deal with five cancer sites. Most  
14 other only deal with one. The pathways are all  
15 complex, sometimes they are intertwined. We deal with 15:34  
16 a large number of patients within those contexts, the  
17 Urology MDT probably sees as many as the Breast Cancer  
18 MDT does, for example, so busy, busy time.

19 237 Q. Yes.

20 A. MR. GILBERT: Nevertheless, the important cases for 15:34  
21 discussions are those that vary from what might be  
22 called standard practice. Very often what happens in  
23 a meeting is you get a description of a patient and the  
24 options are clear. Say, for example, a man with  
25 localised prostate cancer, he can either go on to 15:34  
26 active surveillance or consider radiotherapy and he  
27 needs to go and have those options explained to him.

28 238 Q. Yes.

29 A. MR. GILBERT: Very often by a Cancer Nurse Specialist



1 because they are well-placed. There is a reluctance to  
2 bring cases back because of the busyness, but it's  
3 those very cases which illustrates how we need to  
4 modify our practice within the context of dealing with  
5 real people rather than the almost theoretical aspects 15:35  
6 of the MDT, and that's an important discussion and an  
7 important learning point for people, and it's an  
8 incredibly important process to make sure that the  
9 patient is, in fact, getting the right treatment.

10 239 Q. Just finally on this document, if we can go to the top 15:35  
11 of the next page. There's a further indication perhaps  
12 of Mr. Glackin's defensiveness. He felt that the  
13 Minister had taken a disproportionate view, and this  
14 was prejudicial, appears to be a reference to the  
15 ordering of this Inquiry. 15:36

16 A. DR. HUGHES: Yes, yes.

17 240 Q. Leaving that meeting or that telephone discussion, what  
18 was your overall impression then of the culture? Here  
19 you have a significant figure in Urology Services,  
20 Mr. Glackin, Clinical Lead, quite an experienced 15:36  
21 Consultant Urologist within the Service, and he's  
22 standing over an MDT which he thinks is functioning  
23 well but rarely achieves a quorate, and he has a key  
24 member within it who he knows, it's his view,  
25 Mr. O'Brien might have a different view. He, that is 15:37  
26 Mr. Glackin, knows that a key prescribing issue isn't  
27 being handled well?

28 A. DR. HUGHES: Yes, I think it's something he has  
29 a personal connection with Mr. O'Brien for a very long

1 period of time and has allowed that to cloud his  
2 judgment. That said, his judgment is based on opinion  
3 and not facts and figures, because you could not be  
4 happy with an MDT with a quorate levels, they certainly  
5 kept those facts and figures and that will alone will 15:37  
6 tell you (a) we are not supported. They had very few  
7 attendances from Oncology, so that alone you would say  
8 it's not a functional MDT and would not pass any sort  
9 of Peer Review process. I think there's a culture of  
10 acceptance, I think, you know, you take one step by one 15:38  
11 step over a period of years and you end up in a bad  
12 place. I don't think this was a deliberate attempt to  
13 hide over things. I just think they slid down to a bad  
14 place and had not really addressed the issues.

15 241 Q. I suppose the wider context, in fairness to 15:38  
16 Mr. Glackin, is that they are running to stand still  
17 wan Service that's under-resourced and doesn't appear,  
18 and we will look at this in some detail, doesn't appear  
19 to have the resources for proper tracking, proper  
20 audit, proper monitoring? 15:38

21 A. DR. HUGHES: Yes, but they didn't seek them in terms,  
22 and when this was pointed out their tracking was  
23 insufficient they were quite defensive about it and  
24 said that's what we are paid for it. You are paid to  
25 keep patients safe, not to keep Minister's numbers 15:39  
26 right. I think I suppose I have to be tempered in  
27 this because people probably were genuinely trying to  
28 do their best but very often made wrong judgments and  
29 did wrong things. I think that's why we are here.

1 242 Q. Yes.

2

3

Chair, I have over shot by probably ten minutes in terms of when I wanted to take a break. Do people need a break?

15:39

6

CHAIR: Let me check if our witnesses are willing to sit on until half past four today? Okay. If we take five minutes and get back and finish at half past four.

7

8

9

10 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS:

15:39

11

12

CHAIR: Thank you.

13

243 Q. Dr. Hughes, after your meeting with Mr. Glackin about a month later, you sat down with the three managers, both Clinical and Operational, in Cancer Services?

15:47

16

A. DR. HUGHES: Yes.

17

244 Q. You met with Barry Conway, who is the Assistant Director of Cancer Services, on 29th December, Dr. Tariq -- I think I may have been calling him Sadiq earlier and apologies for that, and we will correct the record if I have -- who was the Associate Medical Director for Cancer Services and Dr. McCaul, who is the Clinical Director for Cancer Services, meeting with Tariq on 29th December and McCaul on 4th January. Just before we explore what happened in those meetings, can you help us in terms of the, I suppose the relationship between Urology Services Cancer multidisciplinary meeting or team, which is staffed with a number of Consultant Urologists, albeit multidisciplinary

15:47

15:47

29

1 obviously by definition; how does that relate to Cancer  
2 Services?

3 A. DR. HUGHES: Yeah. The Urology Services was part of  
4 a different Directorate and their Governance went up  
5 that pathway. Cancer Services was an overarching 15:48  
6 structure which linked into all the Cancer Services,  
7 but did not necessarily have governance responsibility  
8 for that, and I think that was a critical weakness  
9 because while the problems are in a cancer structure,  
10 they didn't really have a good escalation structure to 15:48  
11 get help, get support, and the Cancer Lead, I think was  
12 probably reasonably new into post, had no understanding  
13 of the issues within the MDT and Urology, and Dr. Tariq  
14 had limited knowledge of the issues within the Urology  
15 Service, because it was really very much seen as 15:49  
16 a Service within a Service, and the collegiate benefit  
17 you get from bringing all MDT leads together and having  
18 a commonality of purpose, hadn't been put in place.  
19 I think they might have had one meeting of such  
20 a structure at that time. This is quite a long way 15:49  
21 into the development of Cancer Service. You would have  
22 expected at least a Cancer Services nominal Directorate  
23 with the Leads meeting all the time, the equivalents in  
24 the MDT sort of admin leads meeting so they can share  
25 best practice so that you learn from where it's working 15:49  
26 well and understanding that maybe your normal is not  
27 normal, and that there may be better ways of doing  
28 things and actually seeking collegiate support. It  
29 seemed to be a very just dysfunctional and discrete

1 process.

2 245 Q. Yes. I'm not going to open each of the three meetings;  
3 I am going to give the Inquiry the reference. Barry  
4 Conway's meeting with you was 29th December and it's  
5 referred to at WIT-84413. Dr. McCaul, the reference is 15:50  
6 WIT-84420. I'm going to focus on Dr. Tariq, but before  
7 I do so, is it fair to say that, broadly speaking, the  
8 same themes emerge from speaking to the three of these  
9 employees? Essentially you seem to reflect  
10 a disconnect between that Service and the Urology MDT 15:50  
11 so that, by and large, they did not know about the  
12 issues impacting on that MDT in terms of clinician  
13 performance. They didn't know about the nursing issue,  
14 that's what they have told you. They didn't know about  
15 the Bicalutamide issue. They didn't know about any of 15:51  
16 those issues. The one issue that emerged I think was  
17 their awareness of the oncological -- sorry,  
18 a Radiology issue had been raised, I think, with  
19 Dr. McCaul, for him to address the question of  
20 attendance of Radiology. In terms of issues pertaining 15:51  
21 to the MDT, they weren't engaged?

22 A. DR. HUGHES: No, they weren't engaged and they weren't  
23 actually even over the Peer Review reports which, while  
24 there would be matrices of information to be passed on  
25 and shared externally by a manage the assurance 15:52  
26 process, the Associate Medical Director was not aware  
27 of any of the ongoing processes for Mr. O'Brien,  
28 although he may have had need to know, seeing as  
29 Mr. O'Brien was working in the Service that he was

1 professionally responsible for but that had not been  
2 shared with him and I suppose maybe there's a judgment  
3 on that.

4 246 Q. Let's pull up Dr. Tariq's meeting with you. Just in  
5 the interests of time and because the issues are 15:52  
6 relatively common between the three of them, we will  
7 use his as a vehicle to explore that. It's WIT-84418.  
8 Scrolling down, please. You introduce yourself  
9 obviously, and the issues that you are exploring. You  
10 mention the access to the nurse, and that that is an 15:53  
11 issue. ST, just at the bottom, says to you he was  
12 not:

13  
14 "... aware of any concerns mentioned, any clinical  
15 concerns would go through the speciality management 15:53  
16 structure route."

17  
18 Can I suggest that the routing of any issues through  
19 the service, through the urology services, is probably  
20 as good a structure as any, but should there not be 15:53  
21 some form of system to enable the overarching Cancer  
22 service to be aware of issues, whether professional or  
23 operational, affecting that MDT?

24 A. DR. HUGHES: Yes. Irrespective of the fact he may not  
25 have had professional line management or staff within 15:54  
26 that area, he would have been responsible for the  
27 safety and manage the of patients within that area.  
28 You can't deliver on that unless you have information  
29 and knowledge about the manage the of service. I was

1 underwhelmed by the meeting and felt that while he had  
2 a very significant role in the Trust, I don't think it  
3 was being delivered in any meaningful way. Whether  
4 that's because Urology MDT was a hot potato and  
5 a difficult thing to deal with, I'm not sure. I didn't 15:54  
6 see any collegiate approach where they would be  
7 grouping together all the MDT processes, sharing best  
8 practice, working together and, if there are  
9 difficulties, you know, reflecting how other MDTs have  
10 dealt with their resourcing difficulties. 15:55

11 247 Q. Yes. If we go over the page to 84419. It talks about  
12 the question of PA for the MDT lead. That's a matter  
13 for Urology. He says:

14  
15 "The Cancer Services responsible for performance 15:55  
16 targets, tracking of patients on cancer pathways and to  
17 provide help and operational support to the tumour site  
18 teams if it is needed."

19  
20 Just on that, one of your concerns reflected in your 15:55  
21 statement was that the tracking was limited to the 31,  
22 62 day targets, and simply limited to that?

23 A. DR. HUGHES: Yeah. Tracking is a great resource if  
24 it's used to its full extent. If you empower the  
25 tracking team they will be able to expedite scans, 15:56  
26 tests, they will act as a safety net, they will ensure  
27 patients get timely care and also meet their targets.  
28 But if you start from the point of counting the targets  
29 and forgetting the other aspects of patient pathways

1 and patient care, you are putting the cart before the  
2 horse. Your primary responsibility is to the safety  
3 and manage the of care and good tracking does that, but  
4 tracking focused only on targets forgets the vast  
5 enormity of the things they could be doing, and that 15:56  
6 may be a resource issue, and that's something the Trust  
7 may have to reflect on. The culture was very focused  
8 on 31 and 62 days as opposed to ensuring nobody was  
9 missed out, people were re-referred, people got scans  
10 at the right time and you can see from a lot of the 15:57  
11 patients that we have looked at, the time limits of  
12 their care was quite poor.

13 248 Q. Yes. He says here that his service, the service that  
14 he has a responsibility for, encompasses  
15 a responsibility for tracking of patients. But then 15:57  
16 presumably you would agree with me that the tracking of  
17 patients is a function of Governance?

18 A. DR. HUGHES: Yes.

19 249 Q. It's a tool of Governance, perhaps?

20 A. DR. HUGHES: Yes. 15:57

21 250 Q. Is there an inconsistency here because he says  
22 "governance arrangements", and perhaps he means the  
23 management of practitioners lay with the primary team  
24 management structure. In other words, the Clinical  
25 Director and the Associate Medical Director? 15:58

26 A. DR. HUGHES: Tracking itself can be a useful governance  
27 tool if you do an exception report and review the  
28 things that would have missed it, and you would have  
29 picked up lots of cases had very long periods of time



1 and examined why that happened. That analysis was not  
2 being done. It was did they achieve a target or not.  
3 Although 31 and 62 day targets can be a blunt  
4 instrument they are sort of something patients  
5 understand, one month, two months, they can't be used 15:58  
6 as a tool to see why did that patient take so long, and  
7 I think you would have learned a lot from doing that  
8 quite simple piece of work.

9 251 Q. Yes. As this develops, you say in the two line  
10 paragraphs that sits by itself in the middle there: 15:58

11  
12 "People didn't realise the deficits of care was the  
13 absence of a key worker impacted on the patient's  
14 care."

15 15:58  
16 Dr. Tariq comes back and says, they, that is his  
17 Service "were removed from that process because the  
18 primary team' leadership is responsible for governance  
19 arrangements."

20 15:59  
21 Is that what left you with a sense that this is not  
22 satisfactory, that although it's his Service and, as  
23 you say, he has responsibility for the patients coming  
24 through this Service, he doesn't seem, on the basis of  
25 this, to be embracing any particular governance 15:59  
26 responsibility?

27 A. DR. HUGHES: I think when people start telling you what  
28 their responsibility is in a response, that's not  
29 a good place to be because they are actually saying

1 what they are not responsible for. Irrespective of  
2 a role in the Health Service, everybody is responsible  
3 for the care and safety of patients, and these were  
4 major deficits. I didn't get the understanding that he  
5 really understood some of the deficits and the absence 15:59  
6 of a key worker, absence of what they actually did, and  
7 the fact that, as long as the governance lay elsewhere,  
8 I think when you have got services split across  
9 different line management, and this is not unusual, you  
10 need to have good collegiate ways of working, good 16:00  
11 communication, good organisation, or else you will have  
12 patients fall between gaps and stools, and I think  
13 that's what happened.

14 252 Q. Yes. The three employees who are dealing with it just  
15 in this scenes of the evidence, they were the three 16:00  
16 employees who were to write to track changes into your  
17 report?

18 A. DR. HUGHES: Yes.

19 253 Q. We will look at the circumstances in which that  
20 occurred. It may be that they thought that this was at 16:00  
21 the invitation of Patricia Kingsnorth, who invited them  
22 to comment on the factual accuracy of the report, but  
23 we will look at that in the round. Is it fair to say,  
24 and I think it's reflected in your statement, and we  
25 will look at that tomorrow, that the response from the 16:01  
26 three of these employees left you feeling that there  
27 was a lack of insight into the importance of strong  
28 clinical and social care governance in this area of  
29 delivery?

1 A. DR. HUGHES: Yes.

2 254 Q. The next meeting you conducted was with Ronan Carroll,  
3 and you met with him on 18th January. The reference  
4 for the meeting is WIT-84342. Again, the usual format,  
5 you explain your role, Dr. Hughes. Just scrolling 16:02  
6 down. You ask a question of Mr. Carroll about the way  
7 in which Mr. O'Brien practices. Mr. Carroll, we know,  
8 has worked in the Trust for some years and has worked  
9 closely with Mr. O'Brien over those years, and he  
10 provides quite a personalised response to it. He says 16:02  
11 that he "believed that everyone made excuses for  
12 Mr. O'Brien, the consensus was that he was a very  
13 strong personality who could be spiteful and even  
14 vindictive, many of the Cancer Nurse Specialists were  
15 afraid of him, but Ronan Carroll was unaware that the 16:03  
16 Cancer Nurse Specialists were excluded from seeing  
17 Mr. O'Brien's patients."  
18  
19 was that credible, in your view, the latter part?

20 A. DR. HUGHES: Yeah. I struggle with it, and it's 16:03  
21 something that I think, if that was my environment,  
22 would I know, would I hear? Yes.

23 255 Q. He was Assistant Director within -- I will have to just  
24 get this.

25 A. DR. HUGHES: Surgery, I think. 16:03

26 256 Q. I am minded to say Surgery and Elective Care, but  
27 I will have that checked. Certainly in a subsequent  
28 meeting with the Head of Service for Urology,  
29 Mrs. Corrigan, she was very plain in admitting or

1 accepting her knowledge of this situation vis-à-vis the  
2 nurses?

3 A. DR. HUGHES: Yes, I think it's really hard to get into  
4 conjecture thinking what people know because that's not  
5 really a good place to be. I think it's appropriate to 16:04  
6 say they should have mechanisms in place to know, and  
7 understand what the deficits for patients were, and if  
8 they didn't know, people at that level should have  
9 known.

10 257 Q. That, perhaps, says something about communication, 16:04  
11 firstly, and the culture of failing to escalate?

12 A. DR. HUGHES: Yeah. I think that is a theme you will  
13 see, where there's issues that some knew but it wasn't  
14 escalated, not restricted to the Southern Trust, but  
15 everybody, maybe assuming the small piece of 16:05  
16 information they have was of not great significance,  
17 possibly because they don't understand the patient  
18 deficits.

19 258 Q. Scrolling down the page again. More reflections,  
20 I suppose, on his perception of Mr. O'Brien? 16:05

21 A. DR. HUGHES: Yes.

22 259 Q. To what extent was that helpful to you, or was it  
23 unhelpful?

24 A. DR. HUGHES: I thought it was totally unhelpful  
25 because, again, it brings the Governance round to the 16:05  
26 named person as opposed to what actually was going on  
27 with the patients. What was the care they were  
28 receiving? What were the deficits? How do we address  
29 it? If it becomes focused on one person, you don't see

1 the problems for patients and I believe that's what  
2 happened.

3 260 Q. From your perspective, perhaps the focus was also on  
4 the management, such as Mr. Carroll, who had presumably  
5 duties to get the governance arrangements right. If he 16:06  
6 is telling you, as he says, that he wasn't aware of the  
7 issues identified by the SAI review and was quite  
8 shocked when the issues were identified during the  
9 update of early learning provided by Mrs. Kingsnorth,  
10 then that is telling you something about the health of 16:06  
11 the governance arrangements?

12 A. DR. HUGHES: Yeah. I think you should have a culture  
13 that allows people to identify things at an early  
14 stage. Identifying things at an SAI is far, far too  
15 late in the game. This should have been identified as 16:07  
16 a non-conformity or patient experience audit to note  
17 that 10 or 15% of our patients are not receiving the  
18 care everybody else does. It needs to be escalated.  
19 It needs to have a process that allows people to do  
20 that without fear or favour. 16:07

21 261 Q. If we go to the top of the next page, please. He talks  
22 about an SAI of a man who had a bladder tumour who was  
23 a red-flag referral. I think that's slightly garbled.  
24 Perhaps that should have been a routine referral that  
25 ought to have been red-flagged. Passing over the fine 16:07  
26 detail of that, he talks about the perception of  
27 Mr. O'Brien being clinically sound so that any issues  
28 that were raised were regarding system and  
29 administration processes.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

This analysis that Mr. O'Brien, good surgeon, but Mr. O'Brien poor administrator, is a theme that I suspect the Inquiry will grow wearily familiar with. In your experience, where a doctor is exhibiting shortcomings in an aspect of his care, and let's call it the administration of clinical decision-making. He should be dictating letters, he should be actioning reports that he has initiated through Radiology or Histopathology or whatever. That was the kind of information that was in the system following MHPS and formally through other SAIs, but there was a failure to get to grips with the stuff that you were asked to get to grips with through the SAI process; these issues that were going on in MDM. Is there an area of reflection here for the Trust in terms of, if they know that some things are going poorly, they should be looking beyond that?

A. DR. HUGHES: Yeah.

262 Q. Investigating beyond that?

A. DR. HUGHES: Yeah. Well, a couple of points. If somebody has deficits in their clinical administration up to and including the level of an SAI, that's quite a serious issue. Also if somebody, and I don't know the details of it, ends in an MHPS process, you are required to give assurance to the GMC, you are required to assess that that person is safe in every other way. In the MHPH framework clearly says the list of places where things can arise, so you have to go down that

1 list and get assurances. You cannot just assume. We  
2 have a history of this. I mean, poor clinical  
3 administration may be a function of somebody struggling  
4 in many ways; somebody who needs support, somebody who  
5 needs to be mentored, supported. You can't just assume 16:11  
6 that the problem lies within perceived sort of clinical  
7 administration. It can be a symptom.

8 263 Q. Yes. Mr. Carroll is asked about the issue of the need  
9 for assurances -- just four or five lines from the  
10 bottom -- through regular audits for all clinicians. 16:11  
11 His answer to that is:  
12  
13 "The system is not resourced for re-referral to MDT."  
14  
15 Does that read like an accurate note? You are asking 16:12  
16 him, it seems, about audits, and he is answering by  
17 talking about re-referral. Is that the same issue?

18 A. DR. HUGHES: Yeah, well it would be one of the critical  
19 issues that you'd like to audit, you would like to  
20 ensure that re-referrals to MDT for somebody whose care 16:12  
21 has moved on or because MDT guidance has been changed  
22 is reviewed, but the stock answer was we are not  
23 resourced for that.

24 264 Q. Yes. Just so I'm clear, is he telling you that they  
25 are not resourced for any rereferral to MDT? 16:12

26 A. DR. HUGHES: No, I think he is not resourced to do the  
27 audit.

28 265 Q. The audit. Okay. I beg your pardon. Right, okay.  
29 Again, that's, as we see from your statement, where you

1 see a fairly fundamental shortcoming of the governance  
2 process. If they are not in a position to track,  
3 audit, monitor, then they can't assure themselves that  
4 care is being provided safely?

5 A. DR. HUGHES: Yeah. Quite perplexing because most 16:13  
6 functioning MDTs that I know would do this work  
7 automatically, because they want to capture all the  
8 complexity they are dealing with. They want to share  
9 so their line managers know the volumes of work and  
10 understand the pressures they are under and look for 16:13  
11 additional resource whereas what was said, we can't do  
12 that. So there was lots of unknown unknowns sitting  
13 out there, both clinical service pressures, and it was  
14 a culture that I didn't recognise.

15 266 Q. The next person you saw was Martina Corrigan. You saw 16:13  
16 Martina Corrigan and Mr. Haynes and Urology MDT all on  
17 the same day. If we start with Martina Corrigan. She  
18 was the Head of Urology Service and had been for some  
19 time by that date. Could we go to WIT-84355. Just  
20 scrolling down. She explains that she had worked in 16:14  
21 the Trust for 11 years and confirmed during that time  
22 Mr. O'Brien never recognised the role of Clinical Nurse  
23 Specialists. She confirmed that he never involved them  
24 in his Oncology clinics. He is aware that some of the  
25 Clinical Nurse Specialists would have asked to be at 16:15  
26 the clinics but Mr. O'Brien never included them.

27  
28 we know from some of the evidence that you gathered  
29 that Mr. O'Brien worked mostly with nurses in other



1 fields, the management of benign disease, because you  
2 described this morning other operational and  
3 administrative duties, but was this the -- is this the  
4 clearest account that you were receiving in terms of  
5 a manager plainly telling you that nurses weren't 16:15  
6 involved in his cancer management?

7 A. DR. HUGHES: Yeah, this was the direct line manager of  
8 Urology Services saying the nurses weren't involved in  
9 cancer specialist care.

10 267 Q. Mm-hmm. And, for you, that appears to corroborate, 16:16  
11 does it, the accounts that you were receiving from  
12 patients and families?

13 A. DR. HUGHES: Yeah.

14 268 Q. I mean, no doubt you appreciated her candour, but it  
15 doesn't say much, does it, for the management of the 16:16  
16 issue?

17 A. DR. HUGHES: No, I think -- I'm not quite sure what  
18 people think. They certainly didn't have an  
19 understanding of the role of a Clinical Nurse  
20 Specialist and what it brings to a patient and a 16:16  
21 patient's experience of their care and understanding of  
22 their care. I think Ms. Corrigan was pretty frustrated  
23 by the processes and maybe had been unable to change  
24 things, and certainly that probably comes out in her  
25 language. Whether there should have been a way of 16:17  
26 escalating this and having it dealt with, I think is  
27 probably -- I should have explored that more, but it  
28 certainly wasn't addressed.

29 269 Q. She refers, I think, on down the page, to two nurses.

1 Yes.

2

3 "The two Clinical Nurse Specialists did report that

4 they did regularly challenge Mr. O'Brien and asked him

5 if he needed them to be in the clinic to assist with 16:17

6 the follow-up of the patients, but it got to the stage

7 where staff were getting worn down by no action and

8 they gave up asking as they knew that he wouldn't

9 change."

10 16:18

11 Did you take a note of who she was referring to or did

12 you ask her to name them?

13 A. DR. HUGHES: No, I didn't, I didn't.

14 270 Q. And I think there were two nurses, possibly a third, in

15 place for quite a long time before the recent recruits 16:18

16 of, I think, 2017?

17 A. DR. HUGHES: Yes.

18 271 Q. It could be 2016 --

19 A. DR. HUGHES: 2017, and the quorate went up to five.

20 272 Q. Was it your impression that she was perhaps talking 16:18

21 about the nurses who had been there for some time or

22 can you simply not say?

23 A. DR. HUGHES: It could only have been, it could only

24 have been.

25 273 Q. Right. Okay. Did you perhaps inform her that nurses 16:18

26 are so important to the patients' journey -- do you

27 suspect that sense of importance and value that

28 attaches to the CNS role wasn't appreciated by

29 management and that may be a factor in terms of why it

1           wasn't escalated?

2           A.   DR. HUGHES:  I think that's correct.  I certainly --

3           they didn't have the understanding that I would have of

4           a Clinical Nurse Specialist, but I suspect the

5           consultants would have been aware of the role and value  16:19

6           and probably some of them did speak about it.  The

7           question is absence of a Clinical Nurse Specialist,

8           apart from the right of patient supporting and holistic

9           basis, there is the information piece and supporting

10          informed decision-making, especially in a situation  16:20

11          where MDT recommendations are being changed, and this

12          -- this is the major concern.

13  274   Q.   You go on, I think, towards the bottom of this page, to

14          say that - just over the page, perhaps - that the

15          Associate Medical Director and the --  16:20

16

17          "... Mrs. Corrihan advised that, during MDT, on

18          occasions there were issues raised about Mr. O'Brien

19          and, at times, these were escalated to the AD and AMD,

20          but as with other concerns regarding Mr. O'Brien, these  16:21

21          never got anywhere as he either promised that he would

22          sort or else he gave a reason why he couldn't follow

23          through and the ethos among many other staff was 'well,

24          sure, that's just Aidan'," a sense of resignedness that

25          they couldn't challenge or escalate.  Did she elaborate  16:21

26          on what those issues might have been if they were

27          emerging from MDT, can you remember?

28          A.   DR. HUGHES:  No, no.

29  275   Q.   You can't.

1 A. DR. HUGHES: But again, it's this process of naming the  
2 individual instead of naming the deficit the patients  
3 were suffering, and I genuinely don't think people  
4 fully understood.

5 276 Q. You saw Mr. Haynes on that day as well, and his meeting 16:21  
6 with you is recorded at WIT-84353, and you ask  
7 Mr. Haynes:  
8  
9 "Were there concerns raised about Mr. O'Brien's  
10 practice?" 16:22  
11  
12 And he explains that he was the person who raised the  
13 concerns, and he describes, I suppose, the distinction,  
14 as he sees it, between his practice and Mr. O'Brien's  
15 practice: 16:22  
16  
17 "He" -- that is Mr. Haynes -- "works in a more  
18 team-based approach with three Consultants and five  
19 Specialist Nurses, whereas Mr. O'Brien worked as more  
20 an individual and non-involvement with any others 16:22  
21 members of the team, which meant that his practice was  
22 not scrutinised."  
23  
24 So that's, I suppose, the set-up of -- or the culture,  
25 to some extent, that he is explaining. 16:23  
26 A. DR. HUGHES: Mm-hmm.

27 277 Q. In terms of what he knew specifically, he told you that  
28 he was not -- let's see if I can see it here:  
29

1 "He was not acutely aware of his failure to comply with  
2 standard treatments."

3  
4 Just at the bottom of the page:

5  
6 "He advised there are a number of concerns about how  
7 Mr. O'Brien practised, but he was not acutely aware  
8 about his lack of conformities to standard treatments."  
9

10 But he goes on to say that, if you go further down the  
11 page, please:

12  
13 "Mr. Haynes advised that the MDT did disagree with  
14 Mr. O'Brien's decision-making regarding ADT."

15  
16 That strikes me -- I ask for your comments; is that  
17 inconsistent?

18 A. DR. HUGHES: Yeah --

19 278 Q. He said, on the one part, he's not aware of  
20 Mr. O'Brien's failure to comply with standard  
21 treatments, and, by the next sentence, almost, he is  
22 explaining that:

23  
24 "The MDT had knowledge of Mr. O'Brien's decision-making  
25 around ADT. There was disagreement in relation to his  
26 use of ADT for a patient, but Mr. O'Brien became  
27 entrenched in his decision-making and he never accepted  
28 the challenges".  
29

1 Is that the issue of Bicalutamide that's being raised  
2 here?

3 A. DR. HUGHES: Yes, I think so.

4 279 Q. You met the Urology MDT then at some point on that day,  
5 the 18th February. We will just finish with that. 16:25  
6 WIT-84347. And the first issue discussed -- well,  
7 first of all, let's just orientate ourselves to who is  
8 there. So the whole of the MDT, certainly the  
9 urologists and the nurses are present?

10 A. DR. HUGHES: Mm-hmm. 16:25

11 280 Q. Kate O'Neill and Jenny McMahon, being the nurses. And  
12 the Senior Urological Clinicians, including Mr. Young,  
13 Mr. Glackin, Mr. Haynes. Mr. O'Meara was he a  
14 radiologist?

15 A. DR. HUGHES: He was a locum. 16:26

16 281 Q. Locum. And scrolling down, the first issue you touch  
17 upon is the Nurse Specialist. Just scrolling down a  
18 little further. And he confirms that "Nurses were  
19 excluded from Mr. O'Brien's practice". He doesn't  
20 believe there is an issue with other doctors. So is 16:26  
21 that Mr. Glackin's language, the use of the word  
22 "excluded", or can you not be so specific?

23 A. DR. HUGHES: I'm not sure, I'm not sure.

24 282 Q. But he's clearly telling you that Mr. O'Brien doesn't  
25 use the nurses in -- 16:27

26 A. DR. HUGHES: Yeah, I think it is Mr. Glackin because he  
27 is giving assurance that that's not an issue with other  
28 doctors.

29 283 Q. Yes, yes.

1 A. DR. HUGHES: Yeah.

2 284 Q. And we will have to ask him about this, but you will  
3 recall when you spoke to him in November, he seemed to  
4 be putting the blame on, if you like, on a lack of  
5 resources? 16:27

6 A. DR. HUGHES: Yeah.

7 285 Q. Whereas now there appears, at least on the face of this  
8 note, to refer to his knowledge of an exclusion?

9 A. DR. HUGHES: That may be -- and in response to -- at  
10 that stage, I presumed it was because of geographical 16:27  
11 reasons or resource reasons that nurses weren't made  
12 available, and he may have responded in that way, but  
13 I later became aware that it was because they weren't  
14 included in the care.

15 286 Q. And just scrolling down a little bit, please, on down 16:28  
16 to the next page, please. Again, he is talking about  
17 the improvement of nurses, in terms of resources, in  
18 the past couple of years. I think at some point he  
19 goes on to say that management were aware of the issue,  
20 but nurses weren't deployed by Mr. O'Brien. We will 16:28  
21 maybe come across that reference. Yeah, I think it's  
22 a couple of pages down, but we will come to it  
23 eventually.

24 A. DR. HUGHES: Yeah, I think it's the third line down.

25 287 Q. Yes, thank you. And you -- going back to the previous 16:29  
26 page, you discuss, in the middle of the page, the issue  
27 of tracking:  
28  
29 "Mr. Glackin recalled his time in the West Midlands

1 when the MDM was better resourced, follow-up and  
2 tracking was more robust, more a priority and had admin  
3 support."

4  
5 And you agreed with him, but questions if the issue was 16:29  
6 systematic and a problem for more than nine cases and,  
7 if so, this would need to be addressed, but Mr. Glackin  
8 referred back to the audits, and his view, again, is no  
9 time and no resources, a theme that seems to come  
10 through. 16:30

11 A. DR. HUGHES: Yeah.

12 288 Q. And what's your reflections on that? It may well be  
13 the case that resources were tight or were not  
14 forthcoming, but as a Clinical Lead in his case or  
15 looking across the way at Cancer Services, who are 16:30  
16 saying things aren't resourced, what is to be the  
17 approach here for people working in the system; do they  
18 have to ask or should they be provided with the  
19 resource without having to ask?

20 A. DR. HUGHES: well -- 16:31

21 289 Q. It's a complex issue, presumably?

22 A. DR. HUGHES: well, Cancer Services are organised in  
23 quite a structured way, in that you are supposed to  
24 have two business meetings each year and that you  
25 reflect on areas of problems, so you have to have some 16:31  
26 sort of mechanism to collect data, be it trainees doing  
27 it under supervision from a Consultant, but to focus on  
28 areas of concern or deficit. And if you take the role  
29 as a Clinical Lead, you have to make sure that you get



1 the resource, and that might be a difficult question,  
2 but I think it would be interesting to see if this  
3 issue is replicated across their MDMS and -- or if it's  
4 just a Urology issue. I'm not saying they are not  
5 busy, they had obviously expanded their Service, but 16:32  
6 you can't expand a Service at the consequences of  
7 safety and governance.

8 290 Q. There is then at the bottom of the page a discussion  
9 about Bicalutamide-prescribing and Mr. Glackin  
10 specifically focuses on the dose of 150 milligrams. If 16:32  
11 you can maybe look at that as well, Mr. Gilbert. And  
12 I'm not sure how this was introduced to the  
13 conversation, but he referred to a specific dose of 150  
14 milligrams and suggested that the evidence was weak in  
15 the criticism of the use of this treatment and said the 16:32  
16 scientific evidence was not so robust.  
17 I think we heard this morning, Mr. Gilbert, that  
18 150 milligrams of Bicalutamide, in some circumstances,  
19 for some classes of patients, would be the appropriate  
20 hormonal approach, not something you have particularly 16:33  
21 used --

22 A. MR. GILBERT: I would regard it as an alternative in  
23 particular circumstances when hormones should or must  
24 be given in locally advanced disease. If, for example,  
25 the disease is clearly becoming very active, PSA is 16:33  
26 rising rapidly or the presenting PSA is particularly  
27 high, and that's the blood test which gives the risk of  
28 the presence of prostate cancer, under those  
29 circumstances it might be reasonable to try and control

1 the disease using Bicalutamide 150.

2 291 Q. Mm-hmm.

3 A. MR. GILBERT: An alternative, it is also an alternative  
4 to patients who don't particularly want to be on the  
5 LHRH analogue and particularly concerned about 16:34  
6 maintaining sexual function --

7 292 Q. Yes.

8 A. MR. GILBERT: It doesn't particularly do that. And the  
9 third instance would be if a patient had intolerable  
10 side effects from the LHRH, needed hormones and it was 16:34  
11 used as an alternative. So it needs to be regarded as  
12 an alternative. The only licensed indication for 150  
13 is for locally advanced disease where hormone treatment  
14 is appropriate.

15 293 Q. Yes. And so, Dr. Hughes, do you know why this issue 16:34  
16 came in at this point? I mean, assumedly, Mr. Glackin  
17 didn't -- you hadn't given Mr. Glackin a read-out of  
18 the prostate Bicalutamide cases that you were looking  
19 at, in any great detail anyway?

20 A. DR. HUGHES: No, we were given a feedback just to what 16:35  
21 the problems were, and there's a line about -- what is  
22 a misspell, and it says "calutamide", and it should be  
23 "Bicalutamide", and then Mr. Glackin came out with this  
24 comment, and I was a bit concerned about it and I just  
25 said I will -- am just taking advice from Mr. Gilbert. 16:35  
26 I didn't want to close it down.

27 294 Q. Yes, because the clear message you were getting from  
28 Mr. Haynes, Mr. Glackin during your one-to-one with him  
29 the year before, there was an understanding of a clear

1 problem, an understanding within the MDT of a clear  
2 problem with Mr. O'Brien's use of Bicalutamide at a low  
3 dosage?

4 A. DR. HUGHES: Yeah.

5 295 Q. And just finishing with this, going over the page, 16:35  
6 there is discussion of the enormous disconnection --  
7 just going down to Mr. Haynes' entry at the very  
8 bottom:

9  
10 "An enormous disconnection between services and feels 16:36  
11 Consultants are blamed when they fail, but, at the  
12 same, time --"

13  
14 Is that "Clinical Cancer Services"? What's the "C"?

15 A. DR. HUGHES: Yes. 16:36

16 296 Q. "... will take credit when they succeed."  
17 So is that the disconnect that you sensed when speaking  
18 to Dr. Tariq, Mr. McCaul and Mr. Conway?

19 A. DR. HUGHES: I mean, very much so. I think Cancer  
20 Services tend to be quite collegiate and quite 16:36  
21 cohesive, and I was quite taken aback by the disconnect  
22 between those responsible at the highest level and  
23 those delivering at the MDT level, and clearly, as well  
24 as the problems we are talking about today, they were  
25 struggling with a range of other major issues in terms 16:37  
26 of getting the meetings to be quorate and having  
27 appropriate Radiology support and just actually having  
28 enough infrastructure to deliver what they would regard  
29 as a good service. Mr. Haynes, Mr. Glackin, maybe

1 another Consultant, had come from practices in the UK  
2 and had known different methods of working and better  
3 methods of working and there was a sense of  
4 frustration.

5 297 Q. Yes. And just if we can go to the last page of the 16:37  
6 meeting, no doubt skipping over some other issues, but  
7 I just want to get to this one, WIT-84351. Just  
8 further down the page, please -- over the page. I have  
9 missed the reference. I will find it and start with it  
10 tomorrow. There was a suggestion in your statement 16:38  
11 that the professionals within this meeting were  
12 somewhat defensive in their approach with you, in the  
13 sense that they thought that the focus should be on  
14 the -- I suppose the shortcomings of one individual  
15 professional and that the teams shouldn't be getting 16:39  
16 dragged into it, and does -- you recall that?

17 A. DR. HUGHES: Yes. Yeah, I mean --

18 MR. WOLFE KC: It's something maybe we will take up  
19 first thing in the morning.

20 CHAIR: Very good. 16:39

21 MR. WOLFE KC: Thank you.

22 CHAIR: 10 o'clock tomorrow, Mr. wolfe?

23 MR. WOLFE KC: Yes, thank you.

24 THE INQUIRY WAS THEN ADJOURNED TO WEDNESDAY,  
25 30TH NOVEMBER 2022 AT 10 A.M. 16:39

26  
27  
28  
29