



Urology Services Inquiry

Oral Hearing

Day 19 – Wednesday, 25th January 2023

**Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)**

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

1 THE INQUIRY RESUMED AT 10.15 A.M. ON WEDNESDAY, 25TH
2 JANUARY 2023, AS FOLLOWS:

3
4 CHAIR: Good morning, everyone. Mr. Hughes,
5 Mr. Gilbert, welcome back. 10:15

6 MR. WOLFE KC: Good morning. As you can see, we have
7 back before us this morning Dr. Hughes and Mr. Gilbert.
8 We last heard from them on 29th November; that was Day
9 13 of the Inquiry. There is obviously a full
10 transcript of their evidence for Days 12 and 13 of 10:16
11 their evidence available on the Inquiry website.

12
13 You may recall that when we finished - and this is for
14 you as well, Dr. Hughes - when we finished on
15 29th November, we were examining what Dr. Hughes had 10:16
16 described in his Section 21 statement as the key themes
17 which had emerged from his, Dr. Gilbert's and the SAI
18 team's consideration of the nine cases. Amongst the
19 key themes that we had looked at on the afternoon
20 Of Day 13 were the issue of a professional delivering 10:17
21 care without multi-disciplinary input; the failure of
22 onward referral to oncology or palliative care, and in
23 one particular case we looked at failure to refer to
24 a specialist oncology setting in the case of a penile
25 cancer. We also looked at the issue of prolonged 10:17
26 treatment pathways, and we looked at care which varied
27 from regional and national best practice.
28 We ended the evidence on Day 13 by commencing with an
29 examination of the theme that care varied from the

1 recommendations set out in the decisions of the urology
2 MDT. We will now conclude on that theme this morning
3 before examining some of the other key themes, which
4 include a lack of resource to adequately track cancer
5 patients; a lack of a quorum in MDT; lack of assurance 10:18
6 audits, and the lack of a coherent escalation
7 structure. So, that's our task for today.

8
9 Dr. Hughes and Mr. Gilbert, when we were looking at the
10 theme of care varying from the recommendations set out 10:18
11 in the decisions of the MDT, I was asking you,
12 Dr. Hughes, whether a clinician was locked into
13 implementing the MDM recommendation for his patients in
14 the sense of it being a contract, and you may remember
15 that. I was asking you whether there was any 10:19
16 entitlement to deviate from that recommendation. You
17 were saying, you may recall, that your language of the
18 contract, which you had mentioned, I think in a meeting
19 with the family of Patient 1, your language of
20 a contract was merely intending to emphasise that the 10:19
21 MDT recommendation is what should be offered to
22 a patient if the circumstances continued to justify
23 that, and that any deviation from the recommendation -
24 and there may be good reasons for a deviation, and
25 I think you accepted that - they should be rediscussed 10:19
26 as part of a multi-disciplinary process. You have said
27 that the change should be described, noted and
28 explained, and you said it can't be explained very well
29 without input from, for example, a cancer specialist

1 nurse as a supporting mechanism.

2
3 Mr. Gilbert, I think you agreed with that analysis.
4 You commented that even in an emergency situation where
5 a decision has to be taken quickly, there are 10:20
6 structures and processes available to avoid unilateral
7 decision-making.

8
9 I want to pick up, then, this morning with some of the
10 views expressed around this by Mr. O'Brien. If we can 10:20
11 open, if we could and have up on the screen, some
12 extracts from Mr. O'Brien's Section 21 statement,
13 starting at WIT-82508. If we go to paragraph 314.
14 Thank you.

15 10:21
16 Mr. O'Brien is seemingly explaining that in the urology
17 MDT at the Southern Trust, other members of the
18 multi-disciplinary team were generally not subsequently
19 informed of a deviation from an agreed recommendation
20 as there was an understanding that the clinician and 10:21
21 patient have the right, and indeed the responsibility,
22 to deviate from the agreed recommendation if the latter
23 was declined by the patient or if the recommendation
24 was concluded by the clinician and patient to be
25 inappropriate. 10:22

26
27 As a principle, Mr. Gilbert, if I could ask you first
28 of all, is that, in your view, an appropriate way of
29 working within a multi-disciplinary format?

1 MR. GILBERT: I'd say it is not my understanding of the
2 way an MDT should work. The MDT is a meeting to arrive
3 at a consensus in the best interests of the patient.
4 That discussion and its outcome should relate to the
5 patient.

10:22

6
7 Now, ultimately, the clinician looking after the
8 patient is most intimately knowledgeable about the
9 particular and peculiar circumstances of that patient
10 which may lead to the need for some deviation, but the
11 discussion of that between the clinician and the
12 patient should be entered into the notes, the reasons.
13 I would still hold that the MDT should be informed of
14 the deviation and the reasons for that deviation.

10:22

15 MR. WOLFE KC: Any observations from your side,
16 Dr. Hughes?

10:23

17 DR. HUGHES: Yes. The reason why this should be fed
18 back to the MDT is it is not multi-disciplinary care if
19 they don't know about the care that's being given. It
20 is in the interests of the patient, it is in the
21 interests of the professional, that those decisions are
22 supported. These variances from recommendations should
23 be the minority of the cases. Also, the Trust has
24 a reasonable expectation that they would know about the
25 care that's given. If changes are made unilaterally
26 in, say, the outpatient setting with nobody else
27 knowing, the Trust cannot simply know about the care
28 that's been delivered. That's not an appropriate
29 setting for any healthcare setting.

10:23

10:23

1 MR. WOLFE KC: Is there any distinction to be drawn,
2 Mr. Gilbert, say between a decision to deviate from the
3 recommendation which the clinician might know is never
4 going to be controversial, it's a straightforward
5 decision to deviate from the recommendation; you should 10:24
6 only do it in more complex cases?

7 MR. GILBERT: Normally, if there is any possibility of
8 variation, that would have been discussed in the
9 consensus and arrived at in the consensus of the MDT.
10 Those options would have been put to the patient. The 10:24
11 reason for a patient selecting one or other option
12 could then be recorded in the notes and there would be
13 no need to go back to the MDT because the MDT had
14 agreed different options as a consensus.

15
16 If, however, an individual clinician and a patient, for
17 good reasons, decide to offer an option not discussed
18 at the MDT, then the patient has the right and should
19 expect that discussion to be relayed back to the MDT so
20 that it becomes a multi-disciplinary team decision. 10:25

21 MR. WOLFE KC: That's very clear.

22
23 Can we look, if we scroll down to paragraph 316. Here
24 Mr. O'Brien gives us an example. An example,
25 Mr. Gilbert, that you had, I suppose, some input on. 10:25
26 He says:

27
28 "I can refer to one example which has been provided in
29 the disclosure".

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

He doesn't have the benefit of the full record, scrolling down, but he's able to make the following comments:

10:25

"The patient presented to haematologists in March 2019 with lymph node enlargement, and the biopsy in April 2019 which confirmed follicular lymphoma".

Scrolling down, please.

10:26

"Staging of the lymphoma revealed the presence of a right renal lesion. While it was considered that this lesion was probably a primary renal cell carcinoma, it remained a differential possibility that the lesion may have represented lymphomatous infiltration of the kidney. If that was confirmed by percutaneous biopsy, that alone would have been an indication for treatment of the lymphoma. Percutaneous biopsy with prophylactic factor VIII was recommended at urology MDM on 27th June '19".

10:26

10:26

Scrolling down. When he subsequently reviewed the patient - and just paraphrasing here - he decided because of a risk of infective complication, it wouldn't be appropriate to conduct the biopsy and he made the decision to defer consideration of the biopsy to later. You concluded that that was a reasonable change of plan.

10:26

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

Just if we can go to your observations on that. You were asked to provide advice to The Trust, you may remember, in respect of that case. Your observations are at TRU-09829. You're writing to Patricia Kingsnorth. You say: "This case does not raise any alarms in my head". Just scrolling down. Go on down, please.

10:27

I think in a nutshell, Mr. Gilbert, you're agreeing that it was not necessary for Mr. O'Brien to pursue the MDM recommendation. In other words, it was a correct or a reasonable decision to deviate from it; is that fair?

10:28

MR. GILBERT: Yes, but I'd qualify that by saying that it should have been discussed in the MDT in a timely fashion.

10:28

MR. WOLFE KC: You see that there, it is 09830.

"My only observation is that the reasonable change of plan should have been discussed in the MDT in a timely fashion. I don't think the patient suffered any harm as a consequence of this omission".

10:28

You don't think it amounts to an SAI. But the important procedural consideration is, doing it properly, you have to bring it within the multi-disciplinary regime.

10:29

MR. GILBERT: Yes.

1 MR WOLFE KC: And let the MDT have its say so that
2 there's ownership of the decision by the entire team?
3 MR. GILBERT: well, so that a consensus opinion could
4 arise for the best interests of this patient in the
5 light of what was going on at the same time. I think 10:29
6 it was perfectly reasonable to defer the biopsy in the
7 light of the co-morbidities, but the MDT should have
8 been informed of that because that was a significant
9 variation or deviation from the original consensus.
10 MR. WOLFE KC: That principle of returning it, 10:29
11 re-referring it to the MDT, is that one that you think
12 holds good for all cases?
13 MR. GILBERT: Yes.
14 MR. WOLFE KC: Presumably a factor that you would rely
15 on to support that analysis is that operating on 10:30
16 a unilateral basis may risk you not taking all of the
17 factors into account that might be seen as relevant by
18 your colleagues, your multi-disciplinary colleagues?
19 MR. GILBERT: Yes. But broader than that, when
20 Improving Outcomes Guidance was originally devised by 10:30
21 Mike Richards, who was then the Cancer Tsar, I
22 understand, the whole principle was to ensure that
23 individuals who practised outside normal guidelines
24 without reasonable justification could be brought into
25 the fold. So, specifically to support clinicians in 10:31
26 making sure that practice was according to guidelines,
27 hence the title of the document "Improving Outcomes
28 Guidance". That can only be done by consensus.
29 MR. WOLFE KC: Let's go back to Mr. O'Brien's comments

1 on the issues arising from a deviation from
2 recommendations. If we turn up WIT-82591, at
3 paragraph 564, he argues that:

4
5 "I don't believe that any failure on my part to follow 10:32
6 MDM recommendations would have or did impact on patient
7 care and safety. In any case where there may have been
8 a departure from an MDM recommendation, a detailed
9 review of the individual case would be required in
10 order to comment on the rationale for departing, as 10:32
11 there can be many appropriate reasons to do so. For
12 example, it would not be appropriate to follow such a
13 recommendation if, following discussion with the
14 patient, the patient didn't wish to follow the
15 treatment recommended at MDM. That would be a more 10:32
16 serious patient care and safety issue in that it would
17 amount to providing medical treatment without the
18 patient's consent".

19
20 I suspect the last part of that is uncontroversial, 10:32
21 albeit that you would add the caveat, as you have done
22 so already, that deviation requires a return to the
23 MDM.

24
25 I want to focus for a moment on the first part of that 10:33
26 paragraph. Mr. O'Brien doesn't accept that any failure
27 on his part to follow MDM recommendations would have an
28 impact on patient care and safety. Dr. Hughes, I'm
29 conscious that the focus of the SAI process isn't on

1 any, I suppose, causation issues per se. It's not
2 about working out whether a person suffered, in legal
3 terms, a causative injury. Is it fair to say that your
4 reports in the round found that patients had suffered
5 serious and significant deficits in care - I think four 10:34
6 patients were identified under that heading - and all
7 received suboptimal care?

8 DR. HUGHES: Yes, that's correct. An SAI process is
9 a patient safety process. It is really about systems
10 and processes and about how to improve it to make sure 10:34
11 these outcomes don't happen again.

12
13 Changing MDM recommendations, for whatever reason,
14 should be fed back to the MDT for a multi-disciplinary
15 input. That has been NHS guidance since again Mike 10:34
16 Richardson in 2010. That allows people to have input
17 into that, and oversight and again the Trust, as
18 governing body, to have knowledge of it.

19
20 what we identified was delays in care. Care that 10:34
21 varied from best regional, acknowledged regional best
22 practice; care that varied from the actual MDM
23 recommendations, and care supported by both locally
24 clinical nurse specialists and expected onward referral
25 to other professions. So there are multi-layers and 10:35
26 multiple reasons for the deficits.

27 while this comment is really in discussion between
28 a single professional and a single patient, but best
29 care in cancer care is delivered by

1 a multi-disciplinary area team. To go down this route
2 without involving a multi-disciplinary team is, in my
3 view, inappropriate and potentially risky.

4 MR. WOLFE KC: If I was to ask the question directly,
5 putting what Mr. O'Brien has said into a question, did 10:35
6 you find that any failure on his part to implement MDM
7 recommendations impacted on patient care and safety?

8 DR. HUGHES: Yes. Patient 1 should have been referred
9 earlier to oncology for potential curative treatment.
10 Patient 2 should have had referral in a time-sensitive 10:36
11 manner, and didn't achieve his chemotherapy in an
12 appropriate time. Patient 3 was referred down an
13 inappropriate pathway and not a super-regionalist
14 pathway.

15 MR. WOLFE KC: Sticking specifically to the example, 10:36
16 and I think maybe Patient 1 is a good example of
17 deviation from the recommendation as opposed to other
18 causes of harm to patients. Patient 1 is an example
19 where there is a clear recommendation, which included
20 provision for onward referral to oncology. whether 10:36
21 we call it simply not implementing the recommendation,
22 for whatever reason, or deviating it, the conclusion in
23 that case was the patient developed metastases while
24 being inadequately treated for high-risk prostate
25 cancer? 10:37

26 DR. HUGHES: Yes.

27 MR. WOLFE KC: In terms, then, do you consider
28 Mr. O'Brien correct in his assertion here?

29 DR. HUGHES: I do not. In terms of Patient 1, there

1 was a clear recommendation for early and urgent
2 referral onward to oncology for a consideration of
3 potentially curative therapy. That did not happen over
4 a prolonged period of time, and Patient 1 was
5 eventually referred to oncology at a palliative stage
6 of his illness. 10:37

7 MR. WOLFE KC: You deal in your Section 21 statement,
8 Dr. Hughes, with the issue of consent. If we could
9 turn up WIT-84169. You say that:

10
11 "Patients were not aware that the care given varied
12 from regional standards and MDM recommendations",

13
14 and if that was the case, they could not have given
15 informed consent to this. 10:38

16
17 Could you explain that to me and to the Inquiry in
18 terms of your understanding of the consent process? If
19 you are suggesting that it's a key factor in the
20 consent equation to be told about what the MDT has said
21 about you as a patient, can you explain how that
22 arises? 10:39

23 DR. HUGHES: Consent in cancer care is critical for
24 good care. It is a supportive process in virtually all
25 instances. It is to ensure patients who are maybe -
26 I think all these patients were - on their first cancer
27 journey, through a difficult time, to fully understand
28 the options that are available to them. Some of the
29 options vary from active and potential curative therapy 10:39

1 or active surveillance, which to a lay member is
2 complete polar opposites. Those discussions need to be
3 supported. That's the essence of having a clinical
4 nurse specialist there, who can explain this in detail
5 over a prolonged period of time so people have a deep 10:39
6 knowledge and understanding of what they are deciding
7 to do.

8
9 The second issue, it should be based on the MDM
10 recommendations. If there's a reason for it to vary 10:40
11 from that, that should be clearly documented in the
12 notes, and it should be clearly documented that that
13 has been discussed with the patient. That second issue
14 was not present. When we talked to the patients who
15 had received care and to the families of those sadly 10:40
16 bereaved, they had no understanding of that
17 conversation happening. So, they presumed the care
18 they were getting was the agreed care from the MDT. In
19 several of the cases, what was suggested should happen
20 from the MDT meeting either didn't happen at all or was 10:40
21 very slow in happening.

22 MR. WOLFE KC: Mr. Gilbert, again this transaction
23 normally takes the form of a conversation clinician and
24 patient. To what extent do you say that it is
25 necessary as part of the consent process to inform the 10:41
26 patient of what the MDM has determined or recommended?

27 MR. GILBERT: It is mandatory.

28 MR. WOLFE KC: In what sense?

29 MR. GILBERT: The patient's care has been discussed by

1 a multi-disciplinary team, a consensus, again, has been
2 arrived at; either options for treatment or a specific
3 treatment has been recommended. The clinician should
4 document the discussion, the options, the reaction of
5 the patient, and any reason why the options offered by 10:41
6 the MDT have been declined and another variation is put
7 in place. Without that documentation, we must assume
8 that the patient was not informed of the various
9 options available to them and, therefore, they could
10 not have given consent. It's only through information 10:42
11 and education of the patient that a decision about
12 treatment can be arrived at between the professional
13 and the patient.

14 MR. WOLFE KC: I want to ask you about this issue of
15 documenting that process. We can see in a number of 10:42
16 examples -- I'll pull one of them up but just going
17 through some of the examples. Patient 4, there's
18 a reference at DoH-00108, the need to document informed
19 consent. With Patient 1, a similar reference at
20 DoH-0010. 10:42

21
22 If I can pull up Patient 6 and the report concerning
23 him at DoH-00079. Just scrolling down. You say at
24 recommendation 3:

25 10:43
26 "The rationale for any decision to diverge from the MDM
27 plan must be explained to the patient, documented in
28 the communication with their GP, and subsequently
29 validated by further MDM discussion".

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

The reference to documentation here in the context of writing to the GP, but presumably also in the patient notes?

MR. GILBERT: I think the best record is in the letter sent to the GP and preferably copied to the patient. Very often a great deal of information is given during a consultation regarding management options, which the patient may not be able to retain in detail.

10:44

Therefore, it is best practice and good practice to ensure that the letter explains the options available to the patient and the reasons for selecting a particular course of action. That letter should be sent to the GP, and it would be best practice to send that to the patient as well so that they have a record of the discussion. If they feel that it doesn't actually represent the points that were raised and talked about, the patient will have an opportunity to try and correct or qualify whatever has been written.

10:44

MR. WOLFE KC: Dr. Hughes, I suppose in the world or in the industry of medicine, if I can put it in those terms, is it, I suppose, the expectation or the norm that if you don't see a record explaining the consent process - what was said, the explanation given, the options - then is it your understanding that in that world of medicine, a conclusion can be fairly reached that that discussion didn't take place, or the consent process wasn't properly or effectively followed?

10:44

10:45

DR. HUGHES: In terms of professional guidance for

1 doctors on GMC guidance, you are required to make notes
2 on all pertinent issues. Making notes about consent is
3 really an essential issue. All doctors are strongly
4 advised if it is not written down, it cannot be
5 regarded as happening. That is a clearly 10:46
6 well-understood principle for many, many years, both in
7 the medical and in the legal world.

8
9 Critical issues, where you're suggesting that advice
10 has been given for one pathway but a separate decision 10:46
11 has been made to do something different, that's an
12 incredibly complex decision for somebody who is maybe
13 on their first journey in a cancer journey. It is an
14 even more complex discussion for somebody who is not
15 supported by the appropriate professionals, which would 10:46
16 have been a clinical nurse specialists who could have
17 had a detailed discussion. The fact that that's not
18 even noted in the routine documentation is
19 a significant issue.

20 MR. WOLFE KC: Obviously there are other ways of 10:47
21 proving that a process happened or a consent was
22 properly taken but, judging from what you're saying
23 here, you could only go on the basis of what was
24 available to you in the notes and in the
25 correspondence? 10:47

26 DR. HUGHES: Expected best practice is that variation
27 from MDT recommendations should not be the majority of
28 cases but if it happens, it should be documented, the
29 discussion with the patient should be documented, and

1 the case should be rediscussed to support the
2 professional and to support the patient back at the
3 MDT.

4 MR. WOLFE KC: Let me move on then to the next theme
5 set out in your Section 21 response, Dr. Hughes. If we 10:47
6 could have up on the screen, please, WIT-84169. Here
7 we looked at the issue of lack of resource as it was
8 reported to you within the Trust to adequately track
9 cancer patients through their journey. What you are
10 reporting here was what is contained in the reports, or 10:48
11 some of them and certainly in the overarching report;
12 that it was reported to you that there was no resource
13 for a whole system and whole pathway tracking process;
14 that the focus was simply on what I think you have
15 referred to already as the ministerial imperative of 10:48
16 a 31/62 day compliance. You said that there should be
17 a three-prong tracking approach; the MDT will have its
18 tracking people or processes; the availability of the
19 nurse, the CNS, and the consultant and secretary
20 element. I think what you are commenting here through 10:49
21 the reports is that all three were inadequate in some
22 respects.

23
24 Can I ask you, when you talk about the need - and your
25 recommendations deal about this - when you talk about 10:49
26 the need for adequate tracking, can you give us some
27 examples of what should be tracked?

28 DR. HUGHES: I think it is really important that they
29 have a process to check that actions are taken; scans

1 that are being ordered, have they been completed, have
2 they been reported, have they been read?

3 Infrastructure that knows that onward referrals to
4 oncology, has the referral been made, has it been
5 received, has it been completed? 10:50

6
7 That is a normal process of tracking the system.
8 I think it is very unfair that we use the word
9 "trackers". These are essentially professionals who
10 run the infrastructure of cancer services. They will 10:50
11 have knowledge in the system who can make sure people
12 get their investigations and results in a timely
13 fashion. It has to be a dynamic system but it has to
14 be respected and resourced, and I don't believe it was.
15 I think there was too much focus on did we meet the 10:50
16 31-day diagnostic timeline, did we meet the 62-day
17 treatment timeline, as opposed to the important
18 infrastructure around that and the safety issues around
19 that, and that was clearly deficient.

20 10:50
21 I think the other issues is the professional secretary.
22 Unfortunately, that was a known problem within the
23 Trust from 2016. The first around patient triage of
24 red flag referrals was one of the issues. There were
25 known deficits there. Red flag deferrals, maybe 15 to 10:51
26 20 percent will result in a cancer diagnosis, yet they
27 didn't think to look at the actual cancer pathway where
28 everybody actually has cancer, and to see if there were
29 deficits in that pathway. So, I think that was an

1 issue.

2
3 Again, I don't think your clinical special nurses,
4 their sole job is to be a safety check. They are part
5 of the multi-disciplinary team and everybody has
6 a responsibility to do patient safety and quality of
7 care. Part of that would be supporting patients
8 through their complex diagnostic pathways, to explain
9 what an MRI is, to explain what a CT scan is, to know
10 the dates, and to be able to take them through in an
11 informed way the results. When they are removed from
12 that, you're increasing the greater risk of incidence;
13 you're making the system unsafe. When you add that on
14 to a secretarial process that was dysfunctional and
15 overworked, you increase the risk. Then if the
16 tracking is not as it should be, you increase the risk.
17 Throughout this process, we have seen lots of trips and
18 slips. We have seen things that --

19 MR. WOLFE KC: Let's look at a specific example,
20 perhaps, one that's maybe fresh in our minds after
21 yesterday's evidence. We recall the case of Patient 5.
22 Patient 5 had a history of renal cancer which was the
23 subject of ongoing review. There were scans in the
24 summer of '19, and then a scan in December of '20 which
25 was available and reported in January '20 -- sorry,
26 I should say December '19 was the scan, into
27 January 2020 it was available to be read and actioned.
28 We don't need to go into the fine detail. It wasn't
29 actioned until late July/August of 2020.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

In a case like that, when you talk about tracking and the need for tracking and the fact it wasn't available for this MDM, or not effectively available, what would tracking mean in practical terms in a case like that, if it's applicable?

10:53

DR. HUGHES: well, first and foremost, radiology usually send an alert e-mail to say there's an issue with this, please review. The MDT trackers, somebody whose in a follow-up, should be informed of that as well. The patient should have been allocated a Clinical Nurse Specialist, who would have supported them through their aftercare and they could also have been identified. What we have here is results going to a single person. Irrespective of who that could be, that is not an appropriate safety net for a complex pathway. Unfortunately, lots of our IT systems are not currently joined up so you need these multiple professionals being involved in the care. But, first and foremost, the alert e-mail to a consultant and the report going to the consultant is the first point of tracking.

10:54

10:54

10:54

MR. WOLFE KC: In a system of tracking, as you might imagine it or construct it, where does the alert ring with or chime with -- the failure, say, to read that report and take the necessary action and return the case to MDM, the omission or the failure to do that, where does that sit within an effective tracking regime?

10:55

1 DR. HUGHES: Irrespective of the quality of the
2 tracking regime, the responsibility lies with the
3 responsible consultant. That's always as is.

4 MR. WOLFE KC: Yes, that's fine, but we all know that
5 consultants can be busy, they can be sick, they can be
6 distracted. I think on the last occasion, Mr. Gilbert
7 maybe illustrated that quite well. 10:55

8
9 If tracking is to mean anything, it takes the
10 distracted consultant as a given, and presumably 10:56
11 tracking is to deal with the effects of the distracted
12 or forgetful consultant. Who in the system should be
13 receiving the alert and making sure that these things
14 are done?

15 DR. HUGHES: The lead tracker for the urology team 10:56
16 should receive it. I should say the responsibility for
17 having an appropriate tracking system and having an
18 appropriate resource lies with the cancer services. It
19 is not an administrative process, it is a patient
20 quality and safety process. There were known deficits. 10:56
21 There were deficits with the consultant secretary. I'm
22 not saying it is the consultant secretary's fault, I
23 mean they can be swamped with lots of work. But nobody
24 took a step back to say how is this whole process
25 working? They were clearly aware that they weren't 10:56
26 resourced appropriately but there was no escalation and
27 no action on that.

28 MR. WOLFE KC: Yes, indeed. You'll recall that you
29 spoke to the urology MDT and they all attended to hear

1 what you had to say. Mr. Glackin, if we could turn up
2 WIT-84349. Just a third of the way down, Mr. Glackin
3 suggested there was an issue with resources at MDM. He
4 recalled his experience in the West Midlands where MDM
5 is better resourced. The follow-up and tracking was 10:58
6 more robust, more a priority, and had admin support.
7 He advised there were weekly trackers who would liaise
8 with consultants enabling them to meet their timelines,
9 adding here they're never able to meet timely care.

10
11 Is that what you were hearing from him and others about
12 the safety of this process?

13 DR. HUGHES: Mr. Glackin and other consultants,
14 especially those who are trained and/or worked in
15 England, they were used to a different resource and 10:58
16 a different structure. Urology cancer is high-volume
17 MDMS, six cancers; it needs to have an appropriate
18 infrastructure to deal with that volume and deal with
19 that volume in a safe and appropriate way. That
20 requires a proactive resourced tracking system. It 10:58
21 needs a system that checks that when actions are
22 agreed, they are actually completed; that when actions
23 are not achieved, there's an escalating mechanism to
24 expedite them, and that there's a knowledge of the
25 ongoing problems within the system. Every MDT should 10:59
26 have a twice yearly business meeting to actual review
27 where the problems are and drill down deep and seek
28 changing how they work to improve patients' outcomes.
29

1 This MDT was not resourced to have that knowledge and
2 to effect meaningful change. When we did the SAIs,
3 while we started off on a pathway of inappropriate
4 prescribing, we started finding a lot of things that
5 were I would call were unknowns and undones. I don't 10:59
6 think anybody had a clear understanding of lack of
7 timely onward referral, because the system is not
8 joined up to know that. Some people were unaware of
9 the presence or absence of Clinical Nurse Specialists.
10 Unless you have an appropriate infrastructure to know 11:00
11 about your system, you won't and can't improve it.
12 I think this MDT was inappropriately resourced to have
13 that baseline knowledge.

14 MR. WOLFE KC: I want to go back to the issue of
15 resources in a minute. Mr. Gilbert, going back to the 11:00
16 example that I deployed, which was Patient 5,
17 a consultant doesn't action the results report, how
18 would your forgetfulness, if it was you in your home
19 place, how would that be picked up on and addressed
20 within your MDT structures? 11:00

21 MR. GILBERT: This case is not entirely typical of MDT
22 from my perspective. I mean, it depends how your MDT
23 operates, which, I'm sorry, is a slightly mealy
24 -mouthed way of answering your question but if I can
25 illustrate. This patient had gone through an MDT and 11:01
26 had their definitive treatment for renal cell
27 carcinoma. This was now a follow-up situation. My
28 experience and practice has been that that is the
29 responsibility of the person who requests the test,

1 which is ultimately the consultant leading the team.
2 However, MDTs have moved on from that process of just
3 moving up to giving the definitive first treatment and
4 now, as part of the rolling improvements, broadening
5 and deepening of the process will include follow-up 11:01
6 protocols as well. It is only with those protocols
7 that you can ask people who are nonclinical to help
8 with the tracking process; so, the MDT coordinators if
9 you have them. If you don't have them, then it relies
10 on simply the clinician and whatever administrative 11:02
11 support.

12
13 There is less and less time for secretaries across the
14 Health Service these days. They seem to have been
15 diverted into other activities. So, for example, when 11:02
16 I started as a consultant, I had two and a half
17 secretaries to cover my work. When I finished at
18 Cheltenham, I had half a secretary. What's happened is
19 that more administrative duties have fallen to the
20 clinicians, and that can be overwhelming. Unless you 11:02
21 have an MDT which is developing and has set up
22 follow-up protocols as well as the preoperative
23 decision-making protocols, then mistakes will happen.

24
25 So, the way I now avoid that is by having these results 11:02
26 flagged up by the MDT coordinators, because we have
27 evolved into that comprehensive, continuous scrutiny
28 and oversight of the patient's journey. That's
29 supported by a multi-disciplinary team - the clinician,

1 the Clinical Nurse Specialist, and the trackers. It is
2 those three people working cooperatively and together
3 that avoid problems.

4 MR. WOLFE KC: I quite take your point that Patient 5
5 may not have been an ideal example for this scenario 11:03
6 because, as you say, he was out of the MDT process by
7 that point, but I suppose the general point is that
8 there are steps to be taken in respect of a patient's
9 care pathway, whether that's a timely referral to
10 oncology, the appointment of a nurse, or whatever it 11:03
11 might be.

12
13 Your point is a broad one, Dr. Hughes, is it not, that
14 a tracking facility for any of those factors or indices
15 simply wasn't available in this MDT? 11:04

16 DR. HUGHES: It wasn't available, and the focus is very
17 much on the targeted returns. When you take out
18 a critical patient support role, which is the Clinical
19 Nurse Specialist, that makes the situation worse. As
20 we had already discussed, the overburdened 11:04
21 consultant-secretary situation would be a problem.

22
23 I think as things have evolved, part of the
24 multi-disciplinary working, lots of other professionals
25 take on the role of follow-up. Specialist nurses will 11:04
26 do a lot of prostate cancer follow-up. That's how
27 people work through their MDTs in a twice yearly
28 business meeting to see how can we improve, how can
29 we make this better? Part of the way of doing that is

1 to change the roles of professionals and change who
2 actually does the follow-up.

3 MR. WOLFE KC: The point that is made to you, I suppose
4 loudly and clearly by, for example, Mr. Glackin, and it
5 is the point which you reflect into your Section 21 11:05
6 statement, is that this was a resources issue; they
7 weren't resourced to deal with that. Is that to
8 oversimplify it or, perhaps from the other side of the
9 coin, overcomplicate it? Mr. Gilbert has explained the
10 need, the important first step is to develop 11:05
11 a protocol, to have a recognition that tracking is
12 important; in fact vital, I think you would say. There
13 were people around that table who had the experience of
14 tracking earlier in their career. This issue didn't
15 even seem to be on this MDT's agenda. It hadn't been, 11:06
16 I suppose, spoken about or sold to the managers that
17 "we need this"?

18 DR. HUGHES: No. The issues that were on the agenda
19 were lack of oncology, quite rightly; a second 11:06
20 radiologist for pre-MDT review of cases, quite rightly.
21 But the actual functioning of the MDM, where they could
22 have meaningful data to review the problems in their
23 group in an evidence-based way, did not seem to be on
24 the agenda. I should say, to be fair to professionals,
25 they felt there was a major disconnect between them and 11:07
26 the cancer management team, and they felt they weren't
27 being heard and they felt they weren't being resourced.
28 They felt there was quite a disconnect, and there
29 clearly was a disconnect.

1 MR. WOLFE KC: I think I'll not bring it up on the
2 screen. Mr. Glackin makes the point at WIT-84349
3 during his meeting with you that there was no input
4 from outside of the multi-disciplinary team, no support
5 from the Cancer Services Management. We'll come to 11:07
6 look at that in a moment.

7
8 In resource terms, whether that's the number of
9 personnel you need or the cost of it, without putting
10 a figure on it, this isn't a terribly expensive or 11:07
11 complicated thing to implement?

12 DR. HUGHES: No. They're usually incredibly vital
13 staff and incredibly important to patient care, but
14 they are usually Band 3, 4 clerical staff. I suspect
15 that if management is only focused on 31/62 day targets 11:08
16 and don't see the patiently safety deficits and the
17 clinical deficits, the tracking will not be an issue.

18 MR. WOLFE KC: Let me move on to the theme of quorum or
19 inquorate MDT meetings.

20 11:08
21 Can we have up on the screen, please, WIT-84169, the
22 bottom half of the page. Here, you reflect that in the
23 period with which you were most interested, 2017 to
24 2020, only in, I think, one year, 2018, only in 2018
25 does the quorate rise above 20 percent. I take it 11:09
26 that's 20 percent of the meetings? In 2019 it was
27 never a quorate. You explain that the clinical medical
28 oncology and attendance by cancer specialist
29 radiologists, that that was the problem.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

In broad terms, what are the implications or what can be the implications of an inquorate meeting? Maybe I'm direct that question to Mr. Gilbert. If you happen to a meeting where the medical oncologist isn't available, does the meeting proceed? 11:10

MR. GILBERT: I've never really faced that situation, I'm afraid. But yes, if there were -- if a medical oncologist wasn't present, if a clinical oncologist wasn't present, then I really haven't ever encountered that situation. Would we go ahead with discussion? 11:10
No, the patient would be -- if one of the reasonable treatment for a patient involved either of those specialists, then no, the discussion would have to happen at some other time. 11:10

The point of the multi-disciplinary team is that you have every opinion the patient needs for their treatment to be considered and agreed upon. It just seems to me that this particular MDT was not well-served. I'm trying to avoid commenting on the MDT itself because my only role was to look at these particular cases, so I don't want to fall into conjecture. But it did surprise me that the attendance of the clinical oncologist, let alone a medical oncologist, was very deficient and, therefore, couldn't really lead to a comprehensible or all-encompassing discussion of the patient's management and care. 11:11

MR. WOLFE KC: I think it is helpful to deal with it

1 broadly and generally perhaps in the sense I'm anxious
2 to understand, and I'm sure the Inquiry is anxious to
3 understand, if you don't have these valuable inputs
4 from these other disciplines, if it's simply
5 a urological and nursing discussion, in general terms 11:12
6 is it inevitable that, in their absence, issues are not
7 discussed, there's a risk that key factors aren't
8 picked up on, and that the patient's treatment pathway
9 may miss or may be absent key discussion?

10 MR. GILBERT: It has to be said that in most cases, the 11:12
11 discussion falls into a very stereotypical pattern
12 according to which cancer you are dealing with. The
13 purpose of having expert opinion there is to spot those
14 that lie outside the normal stereotyped pattern. So,
15 for example, somebody with localised prostate cancer, 11:13
16 the decision would normally be all options available,
17 so active surveillance, radical prostatectomy, or
18 external beam radiotherapy, and that would be
19 a stereotype. We deal with maybe 50 cases in an
20 afternoon, of which maybe 40 will be that sort of 11:13
21 straightforward, shall we say, discussion.

22
23 But every so often there's a patient that comes along
24 with some variation, either particular and peculiar to
25 them or particular and peculiar to their disease, that 11:13
26 requires reflection and thought. Unless you have
27 expert opinion there, then you're not going to be able
28 to have that comprehensive discussion. So, it is
29 absolutely mandatory to have a clinical oncologist

1 present at these discussions.

2 MR. WOLFE KC: Dr. Hughes, you received evidence or
3 information from Mr. Glackin. I needn't bring it up on
4 the screen but the reference for your note, Chair, is
5 WIT-84349. When you met with him and the MDT team, he 11:14
6 talked about the fact that he had suggested suspending
7 the Trust MDM due to attendance issues. Can I turn
8 that into a question? What should he have been doing
9 as the Chair and what should the Trust have been doing?
10 Is it as bad as they should not have put up with this 11:14
11 and should have stopped their MDT?

12 DR. HUGHES: I think there's a very clear pathway.
13 I think that should have been escalated to the Cancer
14 Services and the Associate Medical Director For Cancer
15 Services. This should have been taken to the Chief 11:15
16 Executive or the Medical Director in the first
17 instance.

18
19 When I was Medical Director and had issues around how
20 quorates or people's attendances at meetings, if it 11:15
21 required discussion with the Central Oncology Service
22 in Belfast, we had those discussions, and sometimes
23 they were frank discussions. I think the
24 Southern Trust were badly served, but they had been
25 badly served over a long period of time. I know 11:15
26 a slight bit of background knowledge in that the jobs
27 were not attractive. Urology was twinned on the same
28 day with a respiratory lung cancer sort of contribution
29 in the afternoon, so it was impossible. While there

1 may have been oncology staff there coming from Belfast,
2 they were probably unable to attend this MDM.

3
4 That said, I think the right action is to escalate it
5 on the basis of their patients are not being served 11:16
6 promptly, and the patients are not getting the same
7 service that is happening elsewhere. I actually went
8 back to look at the peer review of my own Trust's
9 urology services at the same time as the
10 Southern Trust, and their quorate rate was 98 percent, 11:16
11 and I presume it would be the same in Belfast, the
12 other third team.

13
14 So, I think known problem, not resolved and not
15 appropriate equal share of resource. 11:16

16 MR. WOLFE KC: By definition, I suppose, if you don't
17 have the attendance of these three specialties, then it
18 is not a Multi-Disciplinary Meeting?

19 DR. HUGHES: No.

20 MR. WOLFE KC: I've looked at the findings across the 11:17
21 nine cases. In many of the cases you make, I suppose
22 the general observation. For example, Patient 1 at
23 DoH-00010, "The MDT meeting should be quorate and all
24 participants must be able to contribute to the
25 discussion". Now, that general remark inserted into 11:17
26 many of these cases, it didn't seem to me when reading
27 that - and I would be grateful for your comments on
28 this - that you were making any specific or focused
29 point that the absence of quorum, the absence of these

1 three key members perhaps, was having a direct impact
2 that there was any particular shortcoming in the
3 recommendation. But is there something in general
4 about the attendance that improves the MDM, even if it
5 isn't necessarily relevant to a particular issue in the 11:18
6 patient's case?

7 DR. HUGHES: well, I think with attendance quorate
8 levels at that level, it is a nonfunctioning -- it
9 doesn't meet the definition of a multi-disciplinary
10 meeting. That was largely driven by the absence of 11:18
11 oncology, clinical oncology, and that is critical to
12 the care of many urological cancers. So, people were
13 probably working to protocols and then referring on.
14 But without oncologists embedded in the team, it is not
15 a functioning team. As Mr. Gilbert has already said, 11:18
16 while you can function for the majority in that way
17 perhaps, there may be deficits.

18
19 There's also an issue about the cultural issues. You
20 have to take a step to refer people to another 11:19
21 institution. That other institution doesn't have a lot
22 of ownership for what is going on in the
23 Southern Trust. You saw that in the governance issues
24 where people knew about prescribing issues but didn't
25 escalate it to the Southern Trust. So it is not simply 11:19
26 about having them in the room to have the meeting, it
27 is about feeling they belong to the team and feeling
28 that they have some governance responsibility for that.
29

1 Part of the problem with a peripatetic service coming
2 down is that you feel you belong to another Trust and
3 not deliver the same level of governance oversight.
4 I suspect at that time not only was it low levels of
5 oncology cover, I know for a fact it was a variable 11:19
6 rotational group, because I know at times my own Trust
7 in the northwest were sending professionals down to
8 help to cover. It's not just the numbers, there was no
9 stability in the service and there was no real input.
10 I think that's a critical issue when there are issues 11:20
11 within the service.

12 MR. WOLFE KC: Can I ask you then just to turn to one,
13 what appears to me to be a more specific concern about
14 the quorate problem. It concerns again Patient 5,
15 DoH-00042 and recommendation 2. You'll recall the 11:20
16 circumstances of this patient's case, that the primary
17 or the initial problem had been dealt with by
18 nephrectomy in the previous year. That was dealt with
19 by the MDM and into treatment and all of that. The
20 problem that concerned you in this SAI was more 11:21
21 specifically the failure to action the scan in January
22 '20. It's in that context that I want to ask you about
23 this recommendation.

24
25 "The Trust must ensure that patients are discussed 11:21
26 appropriately at MDM and by the appropriate
27 professionals. In this case, it would be essential to
28 approve on radiological resource".
29

1 I must confess, I didn't understand what that was
2 driving at. Can you help us with that?

3 DR. HUGHES: Part of the non-quorate issue was there
4 were not two radiologists with some specialist interest
5 in urological cancers who do a high proportion of the 11:21
6 work in that field and have a specific component of
7 their continual professional development in that field,
8 they had only one. So, the radiological scans were not
9 appropriately double read in advance of meetings. It
10 is the same standard that applies to pathology. They 11:22
11 have stringent rules in the quality of the images and
12 the quality of the pathology that input into the MDM.
13 It was in relation to that.

14

15 It was again another sense of a reasonable request from 11:22
16 the urology team of management, and it hadn't been
17 addressed.

18 MR. WOLFE KC: But in this case, factually it hadn't
19 got to the MDT or the MDM in respect of that
20 radiological output, it was still sitting as 11:22
21 unactioned. My query was how would radiology have
22 assisted -- how would additional radiological
23 assistance within the MDT have assisted in that
24 particular context?

25 DR. HUGHES: The issue is of patients are appropriately 11:23
26 discussed at the MDT. If you do not have double
27 reading of radiological scans in advance of MDT, it is
28 not meeting the qualified standard. So, that is the
29 deficit in the MDT.

1 MR. WOLFE KC: If we could turn up DoH-00097. This
2 concerned Patient 3. Within his report, just look at
3 the second bullet point.

4
5 "If the MDM is not quorate, an accountable chair should 11:23
6 ensure through appropriate quality assurance that every
7 patient's potential management options are fully
8 discussed and that the MDM's decisions are documented
9 as having been communicated with the patient, their
10 family and their GP". 11:24

11
12 Could you break that down for us? What are you
13 expecting of the Chair? How can these actions replace
14 a fully quorate meeting?

15 DR. HUGHES: These actions cannot replace a full 11:24
16 quorate meeting, but it is a sense to ensure that all
17 the appropriate options were discussed and they were
18 fully documented.

19 MR. WOLFE KC: Does that mean perhaps if, say,
20 a clinical oncologist is not available and it is 11:24
21 necessary to have that view or that input, that you
22 would adjourn that patient's consideration or seek to
23 speak to him or her outside of the MDT?

24 DR. HUGHES: What the practice was, that they would
25 refer onwards, usually to the oncologist in the Cancer 11:25
26 Centre in Belfast. It is the Chair's responsibility to
27 make sure that that has happened, but they didn't have
28 an infrastructure to do so.

29 MR. WOLFE KC: Again, it was your information that the

1 issue of quorum and the lack of supply of these key
2 professionals was known to the Cancer Services
3 Management Team. Their view of it was what?

4 DR. HUGHES: Their view of it was they actually knew
5 about it and had been trying to resolve it over 11:25
6 a prolonged period of time, and they thought they had
7 improved the situation. I did respond with them to say
8 that wasn't factual due to the figures that we had.
9 So, they had struggled in getting a resource from the
10 regional service to the Southern Trust. 11:26

11 MR. WOLFE KC: I thought I said Patient 3; maybe
12 I didn't. This report concerns Patient 3.

13
14 The next theme in your Section 21 statement,
15 Dr. Hughes, concerns the issue of assurance audits and 11:26
16 the lack of them. If you could turn up your Section 21
17 again at WIT-84169. You say that the assurance audits
18 of patient pathways within urology cancer services were
19 limited between 2017 and 2020, and they could not have
20 provided assurance about the care delivered. 11:27

21
22 I think you received some information that audits on
23 the nursing side were reasonably mature and helpful but
24 there was none at all focused on the workings of the
25 urology MDM? 11:27

26 DR. HUGHES: There were nursing audits on the very good
27 work they do in Trust biopsies. There was a patient
28 experience audit as well, but that was only given to
29 patients who had met with a Clinical Nurse Specialist

1 and really had the major fault that it wasn't sent out
2 to all. There is other work ongoing around patient
3 experience across the region, and that has been
4 reported on as well.

5
6 In terms of the local urology MDM, one would expect,
7 where there are areas of concerns, that there would be
8 whole-system patient pathway audits, perhaps done by
9 trainees for presentation. If you are going to have
10 twice-yearly business meetings, you have to have it on 11:28
11 the basis of data and information, and you have to
12 focus on your known areas of concern. So, there were
13 areas of concerns but they weren't audited. So back to
14 my prescribing.

15 MR. WOLFE KC: I know you are not intending to be 11:28
16 proscriptive. By way of, I suppose, broad example, the
17 MDT is supposed to have an annual business meeting. At
18 that annual business meeting, for example, there was
19 a discussion that nurses aren't appointed in every case
20 or that patients aren't being referred within the 11:29
21 appropriate timeframe to oncology; any known risk.
22 What, without being overly prescriptive, would you
23 expect to see flow from that?

24 DR. HUGHES: Twice annual audit, sometimes people look
25 at their very delayed cases to see what went wrong in 11:29
26 the system, so you may have exception audits just to
27 see what was going on. They would have that
28 information in the 31 and 62-day targets. So, if
29 someone has a very prolonged patient pathway, it might

1 be worthwhile to drill down into that and see how they
2 can improve the systems.

3
4 I don't think there was an appetite to look at possible
5 known problems. I think that's a cultural issue. To 11:29
6 do this well, it has to be an open and transparent
7 environment, and it must be an environment where
8 everybody feels their input is welcomed and essential.

9 I didn't believe that was the impression I got from the
10 MDT. That said, I think if you are going to make 11:30

11 returns, not simply for your service improvement but
12 people have to make returns for cancer peer review -
13 and some of the returns they made were opinion-based as
14 opposed to data-based or evidence-based - I think they
15 could have started with the questions that peer review 11:30
16 will ask us, and have significant audits in that work.

17 MR. WOLFE KC: If we look at what you have said here,
18 "In the absence of audits, this Trust, this MDT, could
19 not have provided assurance about the care that was
20 delivered". That's a pretty damning indictment, 11:30

21 I suppose, of the known -- there were known risks and
22 there were, as you have discovered, unknown issues.
23 Are you saying that audits would reasonably have picked
24 up on some of that stuff and brought it together for
25 action purposes? 11:31

26 DR. HUGHES: Yes. I mean cancer service is
27 a structured healthcare delivery process which should
28 have internal assurance and external assurance through
29 peer review. People should have self-knowledge and

1 intelligence in terms of incidence, complaints, delayed
2 in care. They should have a matrix of things that
3 trigger specific audits. They should be doing that on
4 a regular basis. I mean if your infrastructure is
5 poor, I can understand the difficulty in that, but you 11:31
6 should be doing proactive work around assuring yourself
7 about your cancer pathways. Normally, people would
8 look at their bladder cancers, would look at prostate
9 cancers or look at some aspect of it. It might be
10 triggered by some soft information of it or prolonged 11:32
11 pathways. Simply waiting for people to find issues or
12 reacting to DATIXs or reacting to SAIs, it's not the
13 best way to manage or provide a safe service. That's
14 why you have a structured process within Cancer
15 Services, so that you can do that. 11:32

16 MR. WOLFE KC: Obviously this MDT had been working, by
17 the time you looked at it, for a period of ten years or
18 so. It had been, certainly when you get to look at it,
19 working without appropriate audit. We'll come to look
20 at resources in a moment but what would be the benefit 11:32
21 of an appropriately functioning audit process for the
22 MDT and its work?

23 DR. HUGHES: Appropriate audit should be into areas of
24 potential known problems, and I have suggested some
25 triggers for that. But it should be aimed at quality 11:33
26 improvement and see how we can do this better, or
27 differently. If you look around urology services, they
28 have changed remarkably over ten years. You can see
29 how the enhanced role of Clinical Nurse Specialist, in

1 the Southern Trust especially; into diagnostic
2 processes that would have previously been done by
3 consultant staff. There's other ways of doing the
4 follow-up and taking off the burden off professionals
5 and working in a truly disciplined. But you have to 11:33
6 have the evidence, you have to have the data.

7
8 I think if you only do governance from the process of
9 SAIs or when things go wrong, that's a terribly
10 negative way of looking at your service. People have 11:33
11 a natural heart-sink moment when they are dealing with
12 difficulties through a deficit in patient care.

13 I think it is much better to do this proactively in an
14 open and transparent way from the basis of known
15 difficulties and improvement methodology. 11:34

16 MR. WOLFE KC: what you are suggesting here in respect
17 of audits, is this blue sky thinking? Is this new
18 thinking at 2020, or is it well-embedded in other
19 places?

20 DR. HUGHES: It is Improving Outcomes Guidance; you are 11:34
21 required to have these business meetings. Business
22 meetings are about the service you provide. It is
23 about the professionals' multi-disciplinary team owning
24 the service. That has to be supported by management,
25 it has to be supported by resource at times. But it is 11:34
26 to ensure that the service improves and changes as
27 needs changes and as demand increases.

28
29 I didn't believe that the MDT felt they were supported

1 enough and I didn't believe they felt ownership of that
2 problem, because they frequently talked about resource
3 problems, frequently talked about volume activity
4 problems. They are all correct, but I didn't see them
5 being resourced to see how they could do that
6 differently. 11:35

7 MR. WOLFE KC: In your place, Mr. Gilbert, is audit
8 a feature of the MDT process and, if so, what kinds of
9 things are audited?

10 MR. GILBERT: If you remember there are five cancer 11:35
11 that we largely deal with. Usually what happens is
12 once every six months for each business meeting, one of
13 the pathways or part of the pathway will be reviewed,
14 usually by a junior who is very keen to get
15 a presentation at a local meeting because that helps 11:35
16 their CV. They are sent off to review an appropriate
17 number of cases, a representative sample, usually of
18 timings and of the patient experience, either together
19 or separately, in order to ascertain those areas which
20 could be improved upon. That is then used as a tool to 11:36
21 persuade the people with the money to cough up when
22 they need to.

23 MR. WOLFE KC: It doesn't sound, Dr. Hughes, that it's
24 terribly resource heavy. That's a no?

25 DR. HUGHES: I don't think so, no. 11:36

26 MR. WOLFE KC: You do suggest, for example in Patient
27 3's case, if we have it up on the screen, DoH-00097.
28 If you just look at the third bullet point. You place
29 particular onus on the MDM Chair to develop appropriate

1 and comprehensive quality assurance programme that
2 ensures adequate compliance with the MDM's published
3 guidelines. You go on at the sixth bullet down, if you
4 just go back to that, to say that:

5
6 "The MDM should agree and audit, as part of QA, the
7 indicative timings for the stages in cancer
8 management". You say just above that: "The MDM should
9 regularly revisit their guidelines and policies to
10 ensure best practice continues to be followed. 11:37

11 This needs to be audited annually. This does require
12 good leadership in the MDT supported by Cancer Services
13 Management".

14
15 DR. HUGHES: Yes. 11:38

16 MR. GILBERT: Apart from resources, do you think an
17 additional problem was either a failure to recognise
18 the need for audit or perhaps an inability on the part
19 of the Chair of the MDM, who I understand was
20 Mr. Glackin, to be able to persuade or feel comfortable 11:38
21 persuading Cancer Services Management that this needed
22 supported?

23 DR. HUGHES: I think the issues are several fold.
24 These recommendations flow from the GMC leadership and
25 management. It is very clear if you take a role that 11:39
26 you are responsible for setting up processes and
27 policies to ensure that you can quality assure care. I
28 don't people fully understand their roles when they
29 take on a leadership role. I think those in the Cancer

1 Services were really too focused on the 31, 62-day
2 target and didn't fully understand the need for
3 a quality assurance process because they didn't know
4 the detail of potential problems. Now, it is the
5 chicken and the egg; you have to have a process in 11:39
6 place to quality assure yourself that there are no
7 problems.

8
9 I think it is hard to say where somebody was unable to
10 secure resources but they simply didn't or couldn't. 11:39
11 I think from listening to Mr. Glackin, it wasn't that
12 he didn't try. I think you are left in a situation
13 where professionals knew there was a better way of
14 doing it. He certainly trained in the west Midlands.
15 He had experience of a different situation, had 11:40
16 explained to the Trust management or the cancer leads
17 of the deficit, but it hadn't been addressed.

18 MR. WOLFE KC: As we will see shortly, perhaps the
19 mainstay of the recommendations and action planning
20 contained in your overarching report was the need for 11:40
21 audit. we'll talk about that a little later.

22
23 would it be convenient, Chair, just to take a short
24 break?

25 CHAIR: Yes. I was going to suggest if we come back at 11:40
26 11.55.

27 THE INQUIRY ADJOURNED

28
29 CHAIR: Mr. wolfe.

1 MR. WOLFE KC: Thank you.

2
3 Dr. Hughes, back to your Section 21 statement again for
4 the final of the key themes that you identify for us
5 arising out of the nine cases. 11:57

6
7 WIT-84170. Here you talk about the lack of coherent
8 escalation/governance structures. Do I interpret that
9 correctly to mean that while there may have been some
10 escalation, it wasn't done coherently or in such an 11:57
11 effective way as to produce change, and that's coupled
12 with an absence of effective governance structures to
13 enable that to be done?

14 DR. HUGHES: Yes. It was really twofold. I think they
15 were ineffective in escalating things they knew about, 11:58
16 but I think the structures were very poor. The
17 structures were very much based on who the professional
18 was. So, it was the responsibility of nurses one way,
19 and responsibility for doctors in another direction,
20 and a tendency to say "That's not my responsibility". 11:58

21
22 whereas governance is based on patient outcomes and
23 patient deficits. They should have had a very clear,
24 coherent responsibility written into the cancer
25 structures that whatever happens in cancer care on 11:58
26 cancer patients, there is a definite responsibility for
27 cancer services around that. Too frequently I heard
28 the words "Well, that's not our responsibility".
29 I don't think it is helpful that you have a leadership

1 structure which defines what they're responsible for or
2 not, or if there is a lack of clarity. I think those
3 leading cancer care should be responsible for positive
4 outcomes and negative outcomes in cancer care. Without
5 that clarity, it definitely fell between several
6 stools. Through my interviews with the different
7 staff, you could not get clarity about who actually
8 owned problems. That, in itself, was a problem.

11:59

9 MR. WOLFE KC: You highlight, whatever else about the
10 other concerns that you picked up on from this MDT and
11 how it operated, you say that there were two issues
12 that you could identify from the information coming
13 your way that were known to the MDT. One was the
14 nursing issue and the second one was the prescribing
15 issue. The prescribing issue was also known
16 externally. You had heard from Professor O'Sullivan,
17 for example, in that respect.

11:59

12:00

18
19 knowledge of those issues isn't enough; you suggested,
20 it has to be escalated. How do you imagine that ought
21 to have been done properly? What would that have
22 looked like?

12:00

23 DR. HUGHES: well, proper escalation should have been
24 to Cancer Services then up to the board at the level of
25 Medical Director. If there's concern about prescribing
26 that may or may not affect patient care, I think the
27 simplest answer to that would be to do a proactive
28 audit or prospective audit and define the issue. This
29 should be part of normal business within the MDT

12:00

1 working. I know these are difficult questions in a
2 team. If the culture in the team is not good, they are
3 questions that can be not had but that's not the point.
4 If somebody is concerned there's prescribing that may
5 affect patient care, they have to take action, they
6 have to escalate it to the appropriate people; they
7 have to understand it and hear it and they need to deal
8 with it or escalate it. That could be through the
9 business meetings.

12:01

10
11 I got the impression the culture wasn't good. There
12 wasn't a willingness to escalate these issues and,
13 unfortunately, a full understanding of the issues.
14 I think until you do an appropriate review of the
15 concern, you really don't know the extent of the
16 issues.

12:01

12:01

17
18 The issue about Clinical Nurse Specialists, that was
19 clearly known by the manager and there's clear
20 documentation of how she had tried to address that
21 through her line of management.

12:01

22 MR. WOLFE KC: That is Mrs. Martina Corrigan who told
23 you - the reference is WIT-84356 - the issue of nursing
24 was escalated to the Assistant Director and the
25 Associate Medical Director. They never got anywhere,
26 it is suggested. That perhaps suggests that the
27 process for escalation was there and it was used in
28 that instance, but the appetite to force real change
29 was, for whatever reason, not there or not followed

12:02

1 through effectively?

2 DR. HUGHES: Yes. I think the culture was
3 inappropriate. Too frequently. The culture was based
4 around on a name as opposed to how does this affect a
5 patient. If you step through saying not having an 12:02
6 appropriate Clinical Nurse Specialist, as opposed to
7 the vast majority of the people going through their
8 care, what's the impact on the patient? What's the
9 real care deficit? Nobody bothered to take that step,
10 or nobody was able to take that step or join up the 12:03
11 dots.

12

13 That being said, they were being asked questions about
14 this at peer review. They gave assurances that they
15 couldn't give and shouldn't have given. 12:03

16 MR. WOLFE KC: Mr. Gilbert, I don't want to go over old
17 ground but I think you, on one of the previous
18 occasions, talked about the difficulty of - if
19 we individualise this - dealing with a colleague on an
20 MDT and, I suppose, the potential for professional 12:03
21 embarrassment around that. I think you said ultimately
22 it is something that, if informal overtures to change
23 aren't working, you have to grasp the nettle?

24 MR. GILBERT: Yes, but that isn't easy within the
25 Health Service. 12:04

26 MR. WOLFE KC: Is it still not easy or are we doing it
27 better in your experience? If we're doing better, how
28 is that being achieved?

29 MR. GILBERT: It is a very difficult question to answer

1 for personal reasons, and because I work in a nice --
2 in one trust, I can't speak generically. But there are
3 processes in place by which it should be possible for
4 an individual with concerns to voice those concerns and
5 for them to be heard and, if necessary, acted upon. 12:04
6 I'm not confident that the Health Service has the
7 appropriate structure to ensure that aim is achieved.
8 Too often, concerns don't percolate into the right fora
9 to be able to be dealt with properly.

10 MR. WOLFE KC: It may not be a problem unique to 12:05
11 medicine, albeit we do hear regularly through the media
12 that it is a particularly problematic issue for the
13 medical profession. Is it simply fear of challenging,
14 perhaps, a more senior colleague with the risk of
15 impact on career, or is it something more specific that 12:05
16 even that?

17 MR. GILBERT: I think you're asking me to -- I can't
18 comment specifically on whatever was going on at the
19 Southern Trust because, as I've indicated, I don't know
20 the people involved, their personalities or their 12:05
21 history.

22 MR. WOLFE KC: No, no. Just to be clear, I'm bringing
23 to an area that, of course, you have your own
24 confidences in your own place to protect. I'm asking -
25 and the Inquiry can decide how helpful it is - your 12:06
26 broad impression over a career in medicine about how,
27 as I've said, these widely reported concerns about this
28 kind of inability to tackle what is known, perhaps
29 because people are not escalating effectively; what in

1 your broad experience? Can you help us with that?
2 MR. GILBERT: By broad concerns is that it becomes very
3 difficult to raise concerns at all levels. That's not
4 particularly about protecting your own reputation, your
5 own income. Yes, consultants are usually appointed in 12:06
6 their late 30s, they have young children, they have
7 been moving around often, apart from their families for
8 many years, and finally they get this job that allows
9 them to settle. Risking that is quite a big step to
10 take, school and children, mortgages to pay and so on 12:07
11 and so forth. The Health Service should have systems
12 in place in order to protect those individuals in those
13 circumstances when they wish to raise a concern. I am
14 not confident that the Health Service has those
15 mechanisms working in place. They may be there in name 12:07
16 but I do not believe that they are functioning.
17 MR. WOLFE KC: Thank you for that.

18
19 Dr. Hughes, is there anything you can further assist us
20 with in that sort of particular respect, how the Health 12:07
21 Service can build greater confidence into its systems
22 to encourage people to speak when it is appropriate to
23 speak?

24 DR. HUGHES: we have to recognise we wouldn't be in
25 this place if the Health Service wasn't so 12:08
26 hierarchical. There are known and problematic issues,
27 especially in Northern Ireland where 80 percent of the
28 medical graduates come from one medical school and
29 everybody knows everybody else, and that adds another

1 difficulty. I think what you need to take it back,
2 what is an issue? It is actually a patient issue.
3 Park the name, park the person, park whatever. If
4 something is affecting patient care or patient
5 outcomes, or potentially, people should be in a flat 12:08
6 environment where they can have these difficult
7 conversations.

8
9 For a multi-disciplinary team to have that
10 conversation, it needs to be fully cognisant of their 12:08
11 roles and responsibilities; it needs to know how their
12 behaviours affect everybody else, and they need to be
13 reminded of what their primary duty is, it is to keep
14 patients safe. If anybody has a concern around that
15 matter, that should transcend any other issues. 12:09

16
17 That being said, human beings being human beings, you
18 have to deal with the human factors around that and
19 we're not good at doing that. I think this is a case
20 in point. People had concerns but didn't have a 12:09
21 meaningful way of escalating them, and didn't really
22 want to deal with them in a confrontational manner
23 because that will not resolve anything. I think this
24 is a much wider conversation we're having than just
25 this issue, because how do you -- you know, a stressed 12:09
26 environment, an MDT that's not fully functioning, is
27 not appropriately resourced and doesn't have
28 oncologists on a regular basis, how does that address
29 its own internal problems? It's probably not going to

1 be able to do so.

2 MR. WOLFE KC: It appears, I suppose, that in this
3 particular MDT, it needed to be better supported, both
4 within the urology side of the fence and from Cancer
5 Services Management? 12:10

6 DR. HUGHES: Yes.

7 MR. WOLFE KC: Before I turn to the recommendations
8 that emerged from your reports, gentlemen, can I ask
9 you just to consider your meeting, Dr. Hughes, with one
10 of the families that were part of the nine that led to 12:10
11 reports. You will recall that on Monday, 11th January
12 2021, you met with the family of Patient 5. I want to
13 ask you some questions about that specific case.

14
15 If we could have up on the screen, please, PAT-001954. 12:11
16 This is the start of a seven-page record of that
17 meeting. PAT-001954. I gave you a hard copy of that
18 document this morning because it didn't form part of
19 your bundle for these hearings. I think you have had
20 an opportunity to look at it, albeit briefly. 12:11

21
22 You say, if I could turn your attention to just over
23 halfway down the page, "As doctor Hughes explained".
24 This is part of a series of meetings that you were
25 having with patient families; isn't that right? 12:12

26 DR. HUGHES: Yes.

27 MR. WOLFE KC: You say in that paragraph, beginning
28 "The review will involve the treatment and care of nine
29 patients". Do you see that?

1 DR. HUGHES: Yes.

2 MR. WOLFE KC: You go on to explain the kinds of
3 cancers affecting those patients. You say to this
4 family that you don't believe that they will be the
5 only patients affected. why were you sharing that 12:12
6 information with that individual family?

7 DR. HUGHES: I genuinely can't remember. At the time,
8 full disclosure was that we told them they were part of
9 a group of nine but I also knew there were further
10 cases that did reach the SAI process but didn't come 12:13
11 into this pattern but were going to be reviewed by
12 another process ongoing, separate to this SAI review.
13 I think I viewed that as part of full disclosure. I'm
14 mindful of many, many years ago a review of Organs
15 Inquiry I'd been involved in with Mr. O'Hara, that part 12:13
16 of our deficient was that we didn't give full
17 disclosure to tell the individual people that they were
18 part of a bigger cohort of review issues. I think part
19 of my - and I'm reflecting on this now - that I think
20 full disclosure was about there are nine cases under my 12:14
21 SAI review but there may be others.

22 MR. WOLFE KC: The purpose of this meeting, at least in
23 part, you were there to introduce yourselves and tell
24 the family something of the project that you were
25 engaged in. Part of it also was to gain information 12:14
26 from the family about their concerns and understanding
27 of how their father was treated. In telling them that
28 there were other cases and potentially more cases to
29 come, does that not have some impact in terms of

1 muddying the waters against Mr O'Brien, creating some
2 kind of bias or prejudice against him?

3 DR. HUGHES: I can see why you're saying that. I think
4 this might have been the second meeting with this
5 family. I met them on three occasions. 12:15

6 MR. WOLFE KC: I think it was the first. I think they
7 were late to commit to engaging with you, for perfectly
8 good reasons. I don't mean to sound critical.
9 Assuming it was the first meeting, do you understand
10 the concern that this might colour -- 12:15

11 DR. HUGHES: I can understand the concern but I also
12 would say that in my defence, under my guidelines, the
13 GMC, I have to be open and transparent. The work was
14 about a range of patients and it was about a range of
15 cancers. The additional statement to say that there 12:15
16 may be other cases going through another process was
17 about being open and transparent.

18
19 I think part of the problem with the families, the
20 families were totally unaware of deficits in care, so 12:15
21 when they came in they had little knowledge of the
22 process. I was discharging my duties about being
23 transparent and open. I can understand that that may
24 be perceived by others to be different but I think that
25 was required of me in my role as Chair. 12:16

26 MR. WOLFE KC: By this stage it's 11th January. From
27 recollection, you've received Mr. Gilbert's first draft
28 of a clinical timeline outlining his concerns, and no
29 doubt you were building up a picture of what was

1 happening here.

2
3 Could I ask you to turn to 001956? Bring that up on
4 the screen, please. It is the third page of this
5 record. About two-thirds of the way down that page, 12:16
6 you say and it is recorded:

7
8 "Dr. Hughes acknowledged the impact this had had on the
9 family. He advised that Mr O'Brien is polite and
10 personable but he gave the wrong advice. He seemed to 12:17
11 work as an individual".

12
13 The notion of him working as an individual, it comes
14 across, in terms of what you are telling the family
15 here, is that that is a conclusion that you have 12:17
16 reached, albeit that your investigation is still at a
17 reasonably early stage. Had you formed a firm view?
18 DR. HUGHES: "He seemed", so it was an impression at
19 that stage. The view was from the fact that Clinical
20 Nurse Specialists weren't involved; from his colleagues 12:18
21 who said that he practised very much on his own. They
22 described him as a holistic practitioner in that he --
23 MR. WOLFE KC: If you think about the dates here, by
24 this stage you had met Mr. Glackin and you had met the
25 cancer team management, the trio, on 29th December. 12:18
26 You were yet to meet the MDT as a whole and you were
27 yet to meet the nurses and Mrs. Corrigan. What was it
28 at this stage, 11th January, that caused you to hold
29 the view that he was unilateral in his approach?

1 DR. HUGHES: From memory, I think we had evidence that
2 Cancer Nurse Specialists were not involved in the care
3 at that stage. I talked to Mr. Glackin at length, who
4 described him as a holistic professional and who works
5 very much on his own.

12:19

6 MR. WOLFE KC: But in circumstances where the
7 investigation isn't complete and you have yet, for
8 example, directly you have yet to hear the nursing
9 perspective, do you reflect that this was perhaps
10 premature to have reached this view and to have shared
11 it with the family, however hesitant it might have been
12 expressed?

12:19

13 DR. HUGHES: It is a balance of being open, honest and
14 transparent. I think I was in possession of pretty
15 certain knowledge, because it was a finding we were not
16 expecting. We went into this process largely on the
17 basis of a prescribing issue and a few other issues
18 which had been detected as potential SAIs. Then
19 we discovered this very unique and strange thing that
20 Clinical Nurse Specialists were not part of the care,
21 despite that being recorded as such. At that stage
22 I believe I would have been pretty certain that that
23 was the case, but I did say the word "seemed".

12:19

12:20

24
25 How do you be open and transparent with people, bring
26 them along in a traumatic process, while withholding
27 information you know? This is an SAI, a process, it's
28 a learning tool; it is not a legal process, as such.
29 My thought about sharing that with the family was to be

12:20

1 open and transparent. They are very able, very capable
2 people, and they were detailed in their questioning.

3 So ...

4 MR. WOLFE KC: Can we perhaps just turn to the meeting
5 that you had with the nurses. WIT-85142. This is a 12:20
6 meeting that takes place on 22nd February, just over a
7 month after your meeting with the family. If we could
8 scroll down to the penultimate paragraph there. There
9 is discussion about the reasons for the lack of nursing
10 input in cases with which Mr O'Brien has carriage. You 12:21
11 say, referring to Kate O'Neill, that you're asking her
12 to send the information to you about the audit of
13 nursing input. You say, "... you want to be able to
14 say resources were available but patients weren't
15 referred". 12:22

16
17 Can you help us with that sentence? On one view it is
18 suggesting that you want to put forward a particular
19 conclusion regardless of any other possible
20 explanation. Is that what you're wishing to get across 12:23
21 there?

22 DR. HUGHES: No. I'm sorry that the notes read like
23 that. I was wanting to make a statement on the basis
24 of evidence and that's why I asked for the audit from
25 the nurses. We had views from the Cancer Nurse 12:23
26 Specialists that they didn't give support reviews from
27 the cancer manager -- sorry, not the cancer manager,
28 the Urology Services manager, that they did not attend
29 the oncology clinics on Friday, but I wanted a

1 specific audit of that. They had done patient
2 experience audits, but only those patients who had
3 received an interaction with a Clinical Nurse
4 Specialist. So, I think that was an issue.

12:23

5
6 I should say that we had a clinical nurse specialist on
7 the review team with us as we were going along, who was
8 new to the service and would have imparted into the
9 information.

10 MR. WOLFE KC: You'll recall on the last occasion that
11 I referred you to the Southern Trust's process which in
12 writing, in its written form, indicated it was the role
13 of the core nurse member of the MDT to ensure that the
14 key worker or the CNS was appointed. You, on the last
15 occasion, reflected - sorry to be going over old ground
16 here - that wasn't your understanding of how it worked
17 in practice, that it was the responsibility ultimately
18 of the consultant to make the introduction or pass on
19 the contact details but make some effort to ensure that
20 a nurse was offered or contact details were provided.

12:24

12:24

12:25

21
22 That isn't a perspective that you reflected to this
23 family when you met them. Does that suggest again that
24 you had made up your mind that it was a consultant
25 responsibility?

12:25

26 DR. HUGHES: It is the responsibility of the consultant
27 caring for a patient to refer that patient to all
28 professionals needed. In my view, that is a Clinical
29 Nurse Specialist. I believe it should be the

1 responsibility of the Southern Trust Urology MDT to
2 have the appropriate resource. At this stage they had
3 five. My evidence at that stage was everybody else had
4 access to a clinical nurse specialist but this group of
5 patients did not, so that was concerning. You know, 12:25
6 nine patients who actually entered the SAI process for
7 completely different reasons, and this was a theme that
8 we picked out. So, I was the trying to get assurance
9 or understanding was this just these nine patients or
10 was it an endemic problem with this individual. 12:26

11
12 There was a statement suggesting that the nurses should
13 be allocated by either the Chair of the MDT or the head
14 Clinical Nurse Specialist. You have to ask the
15 question why is it only this cohort of people with one 12:26
16 professional who don't have a clinical nurse
17 specialist? It just seems perverse. My discussions
18 with the Cancer Services Managers were very clear, and
19 she had to escalate that through the Trust, that nurses
20 were not being able to access the urology oncology 12:26
21 clinics, and she felt that that was a deficit but got
22 nowhere with it.

23 MR. WOLFE KC: Could we go back to the record of the
24 meeting; I am sorry to have come out of that.

25 PAT-001957. Just below the entry in relation to the 12:27
26 patient's family member having no confidence in the
27 Trust, you're recorded as saying that:

28
29 "Dr. Hughes will be asking why a specialist nurse

1 wasn't aligned to the patient and why MDT advice was
2 not taken forward".

3
4 Thinking about Patient 5's case, this was the case
5 which we've dealt with already this morning, where the 12:28
6 scan wasn't read or actioned in January, between
7 January and August 2020. Were you thinking of any
8 particular MDT action in that case?

9 DR. HUGHES: No, no, that case was a general term, one
10 of the general themes. 12:28

11 MR. WOLFE KC: It may read as pertinent to this
12 particular patient but are you saying it wasn't, it
13 wasn't intended to be?

14 DR. HUGHES: No. With this patient, we were very clear
15 with this patient, Patient 5, that the care of the 12:28
16 renal surgery was appropriate.

17 MR. WOLFE KC: Yes. Indeed you go on, I think if you
18 go over the page, to say that. PAT-001958. If we go
19 down towards the bottom of the page, you go on to say,
20 just in the very last paragraph, that you're telling 12:29
21 the family you were ashamed as a health professional
22 for what their father and the family had gone through.

23
24 Now, what was the purpose in sharing I suppose your
25 personal feelings about the case with the family? 12:29

26 DR. HUGHES: I don't recall saying that, I'm very
27 sorry. I expressed my sorrow with them and my sadness
28 that they were in that traumatic place, but I don't
29 recall using those words.

1 MR. WOLFE KC: If they were used, do you think that,
2 upon reflection, it is not particularly appropriate for
3 the independent chair of a process to --
4 DR. HUGHES: Yes. I agree with that.
5 MR. WOLFE KC: No doubt it is important to build a 12:30
6 rapport and a trust with families, but in terms of your
7 concern about this case - and I'm conscious you don't
8 think you used the word "shame" or "ashamed" - what was
9 the position at that time in terms of your -- perhaps a
10 better word would be "dismay" or "concern" about how 12:30
11 their father had been treated?
12 DR. HUGHES: In case 5 we were very clear that the
13 renal surgery was an appropriate standard, and I think
14 it may be slightly delayed. The issue was with the
15 nonreading of the report and delayed report and delayed 12:31
16 diagnosis of a second cancer, prostate cancer.
17 I certainly felt dismayed by it, I think that would be
18 an appropriate better word. I think the issue is
19 really about not having systems and processes in place.
20 Again, another example of a missed report or a missed 12:31
21 X-ray impacting on patient care. There had been a
22 history within the Trust prior to this, prior to this
23 set of SAIs, and still the same problem exists.
24 MR. WOLFE KC: In terms of your independence and
25 open-mindedness, I suppose, in terms of the receipt of 12:31
26 information, the analysis of information and then
27 reaching conclusions, could you help us with this: In
28 terms of how you and the team went about its business,
29 was it a case that conclusions were reached at the

1 start of the process, or were they all reached at the
2 end, or was it an iterative process where you felt able
3 to reach firm conclusions at certain points?
4 DR. HUGHES: It was very much an iterative process.
5 The timeline was drawn up, the timeline was examined. 12:32
6 The clinical report was done by Mr. Gilbert, and then
7 we had multiple discussions and multiple iterations of
8 reports as we went through. So it was a collegiate and
9 collaborative approach. Conclusions were pretty
10 straightforward and agreed, but the reports were 12:33
11 refined as we went along. Some of the issues, such as
12 this case, this was clearly a follow-up scan which was
13 ordered and not reported for months. Then there's an
14 ancillary factor whether a prostate PSA test should
15 have been done at the initial presentation, and that 12:33
16 was discussed with the families. But very much an
17 iterative approach really, involving all members of the
18 team.
19 MR. WOLFE KC: I think that you reflected before that
20 the reports that emerge were the product of consensus, 12:33
21 so it wasn't you, although you were the author
22 ultimately and had sign-off, I suppose, rights at the
23 end. What was the, I suppose, working relationships;
24 could you have dominated to the exclusion of others?
25 DR. HUGHES: I certainly couldn't dominate to the 12:34
26 exclusion of Mr. Gilbert's clinical opinion. In terms
27 of knowledge and experience of governance, yes,
28 possibly, but we had input from local governance
29 structures. I think, and I've reflected on this, the

1 local cancer manager was in a very difficult position
2 because we were actually commenting upon the service
3 that she was managing, and there's implicit criticisms
4 of not just the clinical deficits but in the processes
5 and how things were done, so I think that was an issue. 12:34
6 The Clinical Nurse Specialist that was on the team was
7 new to the Trust and had come from a different Trust
8 and obviously had a different experience, and I don't
9 think there were issues there. But I think it was
10 particularly hard for the local cancer manager, yes, 12:35
11 having reflected on that.

12 MR. WOLFE KC: I am just going to turn back to the
13 conclusions that you reached in the overarching report.
14 If we could open DoH-00128. I suppose to summarise
15 that, Dr. Hughes, what you're saying here is that a 12:35
16 system had been established to provide
17 multi-disciplinary care but it was the opinion of your
18 review that one clinician was able to disregard that in
19 key respects, and you pointed to failing to implement
20 MDM representations around prescribing and referral, 12:36
21 and exclusion of the nursing cohort. You also
22 highlight the systems of governance which, I suppose,
23 were quite unable or ineffective to prevent this so
24 that a number of patients suffered significant deficits
25 and all suffered suboptimal care. 12:36

26
27 Is that the thrust of it? Is that what emerges from
28 this?

29 DR. HUGHES: I think the issue is - and I don't mean

1 this in any disrespect to the families - the issue is
2 why did it happen and how did it happen. Clearly,
3 normal mechanisms to prevent variance from best care,
4 normal mechanisms to ensure involvement of all
5 professionals in care, things that - we've talked 12:37
6 about, you know - you may have seen 15/20 years ago in
7 cancer services; there should have been structures
8 there to ensure that that did not happen. There should
9 have been internal governance as well as external
10 quality assurance through peer review. Any service can 12:37
11 have difficulties, any service can have problems, but
12 it should have an active and agile governance structure
13 to prevent patient harm, and it clearly wasn't there.

14 MR. WOLFE KC: If we scroll down and over the page,
15 please. You set out the recommendations and action 12:37
16 planning. You say that the recommendations, of which
17 there are, I think, 11, that they represent an enhanced
18 level of assurance. Just help us with that term. What
19 does that term mean?

20 DR. HUGHES: The recommendations are based around 12:38
21 returns that you would have to make, including
22 additional returns above and beyond what a normal
23 cancer team would expect to do. The rationale behind
24 that, there was a major deficit in how the public
25 viewed the service. The remaining team had to deal 12:38
26 with this downside and patient engagement process. So
27 it was to ensure that the service, going forward, did
28 meet the standards, did say what they promised to do in
29 the Cancer Peer Review and made sure there was no

1 exceptions to that.

2
3 The recommendations are pretty straightforward and
4 should be how a well-functioning team should perform.
5 It is just about demonstrating that in a detailed, 12:39
6 data-driven way. I think the other issue is that
7 we asked families, and I think family 5 are one of
8 those who volunteered, to act as patient engagement
9 experts by experience. I think that's a bit of a
10 challenge, you know, maybe for the local team but 12:39
11 I think it was important to involve the families in the
12 outcome.

13 MR. WOLFE KC: I'm not sure if I heard you correctly.
14 Did you say that these recommendations and the enhanced
15 assurance processes are over and above what would be 12:39
16 normal for a cancer team?

17 DR. HUGHES: They are probably more detailed and more
18 exacting than somebody would make on an annual return.
19 The rationale for that was because of public deficit
20 and the public damage, I think, into patient faith in 12:40
21 the services. It's not that I don't believe they can
22 deliver on it, I think it is required -- well, a couple
23 of reasons were to show what they're delivering is of
24 high standard and quality, and also to embed a process
25 of quality assurance and make sure the infrastructure 12:40
26 is available to do that going forward, because the
27 problem was they didn't have that in the past.

28 MR. WOLFE KC: If we go to your Section 21 at
29 WIT-84165, where you comment at the top of the page on

1 the action plan. You explain it was intended to
2 provide evidence of a high quality service going
3 forward. You say the recommendations were routine
4 expectations of a functional high-quality service.
5 Just on the point you made that they're over and above 12:41
6 what a cancer team would normally have, I'm just trying
7 to marry that --

8 DR. HUGHES: The assurance process, the data required
9 to provide the assurance is probably over and above
10 what is required. The actual standards are no 12:41
11 different than what anybody else would have to attain.
12 Part of the deficit was that they had made returns on
13 the basis of standards to a peer review which were not
14 proven to be factual.

15 MR. WOLFE KC: So, you're not suggesting that the 12:41
16 assurance mechanisms which were to be new to this
17 cancer team and this multi-disciplinary team, you're
18 not suggesting that they ought to have been in place
19 necessarily prior to your investigation. What you were
20 saying is "I'm pushing this higher bar because I think 12:42
21 this service reputationally and otherwise actually
22 requires it".

23 DR. HUGHES: Yes, that's what I'm saying. Normally,
24 the assurance mechanism would be a selected number of
25 cases, just for example, to provide assurance, but 12:42
26 because the deficits identified in the service provided
27 by this team were a range, they needed a proportionate
28 enhanced assurance mechanism. That could be rolled
29 back in the fullness of time but I think because of the

1 reputational damage, I think that needed to be in
2 place. Also, it needed to be in place to make sure the
3 resources were made available to ensure that this could
4 be done for the team.

5 MR. WOLFE KC: If we go back to the report itself at 12:42
6 DoH-00129. If we stop at recommendation 2 just by way
7 of example.

8
9 "The Southern Health and Social Care Trust must provide
10 high quality urological cancer care for all patients". 12:43

11
12 As you say, nothing terribly earth-shattering or new
13 about that. It seems to me, and you can comment on
14 this, that that's a statement of general good
15 principle. But the key to it, if I understand your 12:43
16 answer correctly, is what you say about the assurance,
17 and that entrenches the need, if you can scroll down,
18 for external benchmarking. This should be benchmarked
19 again external standards. There's also the need for a
20 comprehensive audit, pathway audit. That's the way, as 12:44
21 you say, to achieve this general recommendation and
22 make sure it is done. That concept of introducing an
23 audit permeates, I think I counted six of the 11
24 recommendations.

25 DR. HUGHES: The urology team was flawed and a lot of 12:44
26 the discussions were opinion based, unsupported by data
27 and information. Governance does not function on that
28 basis. Because there's a reputational damage and a
29 need to provide assurance internally but assurance

1 externally, especially to patients and families, the
2 infrastructure and data requirements of that was more
3 extensive. That was going to run for a period of time
4 with an, after a year, external cancer peer review or
5 external review by a royal college; the Royal College 12:45
6 of Surgeons obviously. It was very clear that whatever
7 was said, it had to be supported by information and
8 data as opposed to opinion, basically.

9 MR. WOLFE KC: I don't intend taking up any further
10 time on the recommendations, they speak, I suppose, for 12:45
11 themselves. The Panel might have some questions in
12 relation to it.

13
14 It's your understanding, if we go back to your witness
15 statement at 84171, that the recommendations and action 12:46
16 plans were accepted by the Trust and Urology Cancer
17 Services, and you were, in fact, invited to assist with
18 the implementation by the Cancer Service manager but
19 you declined that opportunity?

20 DR. HUGHES: Yes. They had asked me to be a critical 12:46
21 friend and I just thought that would have been
22 inappropriate because I think it would be better if
23 somebody else took this on.

24 MR. WOLFE KC: The third bullet point on that page
25 refers to the response of the senior clinical and 12:46
26 managerial leadership of Cancer Services. You say they
27 had a different view of your recommendations and action
28 plan, and regarded many of the assurance requirements
29 within the recommendations were based on commissioning

1 a questionable benefit. You responded to that. I just
2 wanted to look at that for a moment. You shared the
3 overarching report, or you asked for it to be shared,
4 with the various teams that it was relevant to,
5 including nursing, including Cancer Services, including 12:47
6 the urology team, to explain the action plan and to
7 ensure the delivery of outcomes?

8 DR. HUGHES: Yes. Yes.

9 MR. WOLFE KC: We can see that if we turn up
10 TRU-255360. Mr. Wallace, who I understand is in 12:48
11 Mrs. Kingsnorth's office, he circulates the report. If
12 we just scroll down to 16 March, he says:

13
14 "As agreed, the draft copies of the SAI reports are now
15 available... Mr O'Brien has asked that a copy of 12:48
16 correspondence from his solicitors" as it turned out to
17 be Tughans, "to the Trust should be issued".

18
19 The next paragraph:

20
21 "If you have any comments on the factual accuracy of 12:48
22 any of the reports, Dr. Hughes would be grateful if you
23 would provide these via Patricia Kingsnorth".

24
25 That's a perfectly acceptable invitation. 12:49

26 DR. HUGHES: Yes.

27 MR. WOLFE KC: And that's your understanding of what
28 would happen; is that fair?

29 DR. HUGHES: Yes.

1 MR. WOLFE KC: If we turn then to WIT-85244. Scroll up
2 to see the bottom of the page. Mr. Conway in Cancer
3 Services is sending through Patricia Kingsnorth's
4 office a set of commentaries on the report; isn't that
5 right? 12:50

6 DR. HUGHES: Yes.

7 MR. WOLFE KC: He, first of all, expresses sadness and
8 regret at the adverse impact on the nine patients, and
9 Cancer Services, he says, would work as a priority with
10 other divisions in acute services to implement the 12:50
11 agreed recommendations to improve services.

12

13 Then scroll down, please. He praises the work of the
14 reports and says on behalf of himself, Dr. Tariq and
15 Dr. McCaul, who you spoke to in December of 2020, they 12:50
16 have reviewed the reports and have attached a tracked
17 version over the overarching report with their
18 comments.

19

20 "Please note that we have not been able to involve 12:51
21 Fiona Reddick in reviewing the draft reports as she is
22 currently on a period of sick leave from
23 late February".

24

25 That is just an aside, it would have been wholly 12:51
26 inappropriate to engage with Ms. Reddick because she
27 was a member of your team?

28 DR. HUGHES: Yes.

29 MR. WOLFE KC: In any event, that appears not to have

1 happened. They categorise their response in the
2 following terms. The last paragraph:

3
4 "Our feedback is primarily focused on comments from a
5 factual accuracy perspective. However, following 12:51
6 recent discussions with Melanie and Maria, we have also
7 included some of our thoughts in relation to how the
8 current governance arrangements could be improved".

9
10 Just so we can see how they approach their work, if 12:52
11 we open TRU-163132. Just slowly scroll down and stop
12 when you see a tracked comment. Sorry, I should have
13 identified a specific page. Stop there.

14
15 Mr. Conway and his colleagues have answered the call 12:53
16 for comments on factual issues by inputting into the
17 report their responses to aspects of your findings.
18 I think there's maybe a total of 11 or 12 sprinkled
19 throughout the report. I don't wish to pick on any one
20 in particular. In terms of your view on that, 12:54
21 Dr. Hughes, you thought their view was, to say the
22 least, inappropriate.

23 DR. HUGHES: Yes. I was very concerned that they had
24 access to editing the report. I thought that was a
25 very negative thing because, as an independent chair, 12:54
26 I assured the families that this would be independent
27 of the Southern Trust. I thought it was misjudged.
28 So, I asked them to remove the document. What
29 I actually did myself was remove their comments

1 individually and paste them and respond to their
2 comments individually. I think what they were doing
3 was not simply a factual accuracy check, and I think it
4 had progressed beyond that. I think that was
5 unhelpful. I certainly responded to all the comments. 12:55

6 MR. WOLFE KC: Maybe just look at some of your
7 responses. You immediately write to some of the
8 managers. If we go to WIT-85241, you begin to express
9 your concerns. WIT-85241. You're saying you were
10 concerned about the use of the master copy's editing 12:56
11 rights and the loss of an independent process.

12
13 "I have copied you into my responses to what was
14 described as matters of fact". "I and Hugh as
15 external s would disagree with this assertion given that 12:56
16 all three individuals had limited knowledge of any of
17 the issues that formed core of the SAI's and the
18 deficits experienced by the nine patients.

19
20 "Our recommendations around tracking which was 12:56
21 referenced to my previous experience in the Western
22 Trust is actually normal standard in the UK, and my
23 previous cancer experience in Washington DC and the
24 National Cancer Institute. These standards are what
25 many urology team members would welcome and had 12:57
26 previously experienced in the UK.

27
28 "In any event, they are what is required to keep
29 patients safe and provide assurances to patients'

1 families and the public.

2

3 "Ten matters of fact have been addressed in my response
4 but you are still concerned about a similar number of
5 issues raised regarding the recommendations. The 12:57
6 recommendations have been shared with the families and
7 are regarded by the external team as things that should
8 be in place anyway. Assurance mechanisms could be
9 scaled back with time but I am conscious of previous
10 absence of meaningful audit and indeed incorrect 12:57
11 declaration to peer review.

12

13 "The recommendations are limited, straightforward, and
14 an opportunity to address staffing issues, improve care
15 and move on". 12:57

16

17 Just so that we can see it, if we can go back to
18 WIT-85178. You took the opportunity, just for the
19 Panel's note, to, in red, set out what Mr. Conway had
20 said and had written into the report, and you then 12:58
21 comment in black ink. Is that the way of it?

22 DR. HUGHES: That's correct, yes.

23 MR. WOLFE KC: You appear rather cross that this was
24 being done. Is it possible that Mr. Conway and his
25 colleagues had simply misinterpreted or had 12:58
26 misinterpreted what was appropriate in this context?

27 DR. HUGHES: I should say, I did not send them a red --
28 that's a draft one. That does seem bad.

29

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

Yes, I think they misinterpreted. My major concern was the lack of understanding of the issues in the first place. If you step through my responses, one of the weaknesses of this process that is those delivering care did not meet the families who had undergone the process. I think they did not have full understanding of the nature of the problem in the first instance and they didn't have full understanding of the consequences of the problem. I think some of their statements that they made just were not factually correct. They kept referencing that -- they were explaining why they couldn't do things and why things were unique to other Trusts, which was not my experience and I have referenced that in the letter to Melanie, I think it was. I think the issue was their response; not, how can we do this, how can we move there; a list of reasons why we can't do things. I honestly thought that was probably the wrong approach because it was a very traumatic process, obviously, for the families and patients, but it is a traumatic process for the urology team and the service, and you have to acknowledge that.

I felt that this was a way to address resource, make sure that the MDM was quorate, provide the service and then, allied to that, enhanced assurance. With the resource, I believe they could deliver on a high-quality service. The assurance is there, it's for external reasons, and because of the deficits already

1 experienced. I just don't think they understood that.
2 MR. WOLFE KC: when you say -- we can pull up your
3 witness statement, again at WIT-84171. If we scroll
4 down to the fourth bullet point, please. You say that
5 the clinical and managerial leadership of Cancer 13:01
6 Services had no knowledge or insight into the problems
7 identified within the SAI processes. There is a lack
8 of understanding of services and how they were
9 delivered elsewhere, and what constituted open and
10 transparent governance. 13:01

11
12 we'll look after lunch at just a couple of the examples
13 and we will walk through those, but were you caused to
14 have a concern or a lack of confidence in how this team
15 would engage with the recommendations of the action 13:01
16 plans if these are the kind of views that were coming
17 out of them upon receipt of the report?

18 DR. HUGHES: Yes. But I suppose, on reflection, the
19 report was including implicit criticism of them as
20 well. I think perhaps I was probably not sensitive 13:02
21 enough to that. That being said, the report was
22 requiring appropriate resourcing to make the team
23 quorate so that patients would get the appropriate
24 care. The report was asking for additional resource to
25 make sure that we could provide assurance. I felt it 13:02
26 was an opportunity for them to lead the team forward
27 and move on. But they were pushing back on that, and
28 I find that a difficult process.

29 MR. WOLFE KC: Helpfully your Section 21, in addition

1 to the document that had the, I suppose, angry red ink
2 on it, steps through the 10 points raised by the Cancer
3 Service managers' team. We'll illustrate your concerns
4 after lunch by looking at two or three of them. We can
5 get through that quickly.

13:03

6 Two o'clock?

7 CHAIR: Two o'clock. Yes.

8
9 THE INQUIRY ADJOURNED FOR LUNCH

10 CHAIR: Good afternoon, everyone.

14:01

11 MR. WOLFE KC: Good afternoon. If we could start at
12 WIT-84161, please.

13
14 Just to orientate the Inquiry Panel, what you have done
15 in your Section 21 Statement, Dr. Hughes, is set out -
16 you can see in the middle of the page - response from
17 the Chair of the SAI process, that is yourself, to
18 comments from Dr. Tariq, Mr. McCaul, and Mr. Conway.
19 Sequentially you worked through each. You set out in
20 parentheses the comment from Mr. Conway et al, and then
21 the response of you as Chair. Is that the way you did
22 it?

14:02

14:02

23 DR. HUGHES: Yes.

24 MR. WOLFE KC: I just want to set through a couple of
25 examples - the Inquiry can consider the detail of it -
26 to illustrate your concern and give us a flavour of
27 that. Skip over the page to WIT-84162 and go to the
28 bottom of the page. You'll see there point 5. Point
29 5, Mr. Conway and his colleagues comment that:

14:02

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"Cancer trackers will track patients on the 31 and 62-pathways in line with what has been commissioned. This is confirmed to be the case in other Trusts in Northern Ireland with the exception of Western Trust. The responsibility for following up actions sits with the clinician and his/her secretary."

14:03

I suppose in a nutshell Dr. Hughes, you didn't think what was being signaled in Mr. Conway's response was any way good enough. It seemed to be accepting was the view that the norms elsewhere in this jurisdiction is 31 and 62, and that really was enough?

14:03

DR. HUGHES: I didn't accept that. The western Trust is a reference to my previous employer. While the resource to track the 31 and 62 days may be there, what we're actually trying to do is track patients safely and make sure nobody comes to harm. That it the responsibility of the Trust and it is the also the responsibility of every professional providing cancer care.

14:04

14:04

what I would have perceived the role of a cancer service to be is to lobby as any other lobby to reduce risk and keep patients. While the funding may not be coming line item down from the commissioners, they have a responsibility to ensure the patients are kept safe. That's how I got additional resource, and that's how you get whole patient pathway assurance processes. It

14:04

1 is about ensuring scans are undertaken, scans are
2 reported, scans are actioned, you know, the whole way
3 through. I regard it as part of their role to lobby on
4 behalf of the service. Just to say this is what we got
5 and this is where we are is not acceptable, especially 14:05
6 when there have been a range of incidents and a
7 knowledge of potentially many more incidents.

8 MR. WOLFE KC: Yes. You've told them in your report
9 that the system is, in some respects, unsafe. The
10 answer to that, at least in part, is tracking. You 14:05
11 highlight that your concern is one that is also shared
12 within the urology MDM. You set it out here in the
13 response.

14
15 "This has been shared with urology MDM and welcomed, 14:05
16 given several members have this previous experience of
17 working elsewhere in these islands".

18 DR. HUGHES: Yes, that's correct. Enhancing the
19 resource to make it a fully functioning quality assured
20 process was welcomed by the urology team, and I think 14:06
21 they had had those discussions prior to the
22 investigation.

23 MR. WOLFE KC: If we go over the page to WIT-84163.
24 Number 8, scrolling down, is the cancer team's response
25 to the issue of audit. They say: 14:06
26

27 "Additional capacity for targeted assurance audits
28 would be useful for MDMS and for cancer services".
29

1 what was your concern in that? It doesn't seem to be
2 in disagreement with your recommendation in respect of
3 audit but it is highlighting a capacity issue.

4 DR. HUGHES: I think they are emphasising a capacity
5 issue. If you were managing a service that had 14:07
6 problems, they should reflect on what more they could
7 have done in the first instance. There had been
8 ongoing discussions with the urology team on a repeated
9 basis that they didn't have enough resource and they
10 weren't achieving the assurance that they needed. 14:07
11 I think part of that is a response simply it would be
12 welcome, but it was a question of why it hadn't been
13 there in the first place. I think a manager isn't
14 simply a transactional post where what comes down from
15 the commissioners, that is what we do. If they see 14:07
16 need or they see patient risk, they need to act upon
17 it.

18 MR. WOLFE KC: So, you highlight within your response
19 that there were some known problems or concerns?

20 DR. HUGHES: Yes. 14:07

21 MR. WOLFE KC: You are reflecting back to Mr. Conway,
22 well, if those concerns are known, where's the response
23 in terms of audit or thinking about audit in order to
24 pick up the extent of the concerns and what might be
25 done with them. Is that the thrust of your thinking? 14:08

26 DR. HUGHES: when talking to the cancer team, part of
27 the issue was the cancer team were adamant they were
28 unaware of any issues. That suggests -- audit would
29 provide detailed evidence but that suggests there was

1 poor conversations, poor relationships, even for soft
2 information. I mean, the urology service manager
3 clearly knew about the clinical nurses, and the issue
4 around the Bicalutamide prescribing were clearly known,
5 but either they were not escalated or not heard.

14:08

6 MR. WOLFE KC: Going down just to item 9, it seems to
7 be a broadly similar issue to the two that I have
8 already highlighted. This is again the issue of
9 tracking, their commission to track 32 and 61-day
10 pathways. They are saying it is incorrect to suggest
11 that the scope of tracking is limited due to resources
12 or due to the process being flawed. They're saying
13 that the trackers perform this function in line with
14 what is being commissioned, and to improve or expand
15 the scope of tracking has to rely on a regional
16 approach and be consistent across this jurisdiction.

14:09

14:09

17
18 Again, your response to that was that that isn't
19 indicative of a constructive or positive approach to
20 this issue.

14:09

21 DR. HUGHES: This is a conceptual difference.
22 I actually regard tracking as an intrinsic part of
23 quality cancer care. It is to ensure patients get a
24 timely diagnosis and staging and a timely treatment.
25 It is a really, really important piece of quality and
26 safety. Now, it may have come about many, many moons
27 ago through the 31 and 62-day targets, but to primarily
28 focus on 31 and 62-day targets misses the issue.
29 People need high quality care, good outcomes, good

14:10

1 support, and to do that you need an appropriate
2 tracking system. I think they don't fully understand
3 the purpose.

4 MR. WOLFE KC: Reflecting back on the fact that you'd
5 received these comments at the end of an exhaustive 14:10
6 process and one of the key components of any reform
7 would necessarily be the people who were writing these
8 remarks to you, obviously it is not your problem to
9 implement it, that's a matter for the Trust, but did it
10 leave you with any confidence issues? 14:11

11 DR. HUGHES: I suppose it is partly my problem because
12 you have to have the right culture that they will
13 accept your report and own it as opposed to receive the
14 report and having to deal with it. I was concerned
15 that these were changes being forced upon them without 14:11
16 full understanding of the rationale behind them.
17 I don't think there's an issue with the urology team
18 per se because they welcome the highlighting of the
19 lack of resource, the better tracking, the oncology
20 input they need, and they'd asked for it themselves. 14:11
21 I think part of the problem here was that the report
22 was implicitly criticising the cancer team above, and I
23 think that's a difficult issue we have to work through.

24
25 I was a bit surprised by some of the comments because 14:11
26 they did read a bit like, well, this is what we have
27 always done, this is what we will do going forward,
28 when there was clearly a patient deficit and a
29 potential patient deficit for others. I just thought

1 they hadn't fully thought through that.

2 MR. WOLFE KC: I suppose, overall, if you think that
3 the urology team are welcoming of this and you have
4 buy-in from them, that leaves the reform agenda in good
5 hands. Is that a fair reflection? I mean it obviously 14:12
6 has to be delivered, and we will hear from The Trust in
7 terms of delivery.

8 DR. HUGHES: Part of this process, it will be difficult
9 for the team. This is traumatic for those who provide
10 services as well as patients and families. Building 14:12
11 back up confidence, building up good team working,
12 I think they have to own it, they have to internalise
13 it. At the end of the day, I'm an external person to
14 them. This has to be a priority for the Trust and a
15 priority for the patients of the Trust. 14:13

16 MR. WOLFE KC: In your Section 21 you do make,
17 I suppose, some troubling remarks about the urology
18 team in the sense that you describe that they had a
19 concern that the SAI process was potentially
20 detrimental to the public perception of their service 14:13
21 and their professional practice. Is that a reflection
22 of, I suppose, a natural response to people such as
23 yourselves coming in and poking around how they did
24 things. But do you think that was overcome ultimately
25 in terms of them - that is the urology MDT - seeing the 14:13
26 benefits of what you were suggesting?

27 DR. HUGHES: I don't think it was overcome in the time
28 period that I was there. I think things would have
29 been difficult. I think they are struggling with a

1 reputational damage, which some of them have not
2 internalised their ownership of or their
3 responsibilities for it. I think that's an issue. How
4 you achieve it is to appropriately resource the team
5 and provide the assurance internally and externally on 14:14
6 what is required. I believe they will do that but
7 I don't want to underestimate the task.

8 MR. WOLFE KC: You also received some feedback,
9 I suppose - I was going to say push back but feedback
10 is maybe a more appropriate word - from the nursing 14:14
11 team, if we can deal briefly with that. If we go to
12 WIT-163161. I'm immediately thinking that's a wrong
13 reference. It should be perhaps TRU-163161. You might
14 recollect those as the document containing the views of
15 the specialist nurses. I just want to pick up on one 14:15
16 point of concern that they raised. If we scroll
17 through to TRU-163163, they pick up an issue at the
18 word "failsafe" and what the sentiment is, it would be
19 wrong to describe them as a failsafe; that other people
20 have responsibilities and it is not the role of the 14:16
21 nurse to pull disasters out of the fire and provide a
22 safety net. So, just to read it verbatim.

23
24 "The CNS team believe the use of the word "failsafe" in
25 reference to the CNS team workers' role is inaccurate. 14:16
26 There are numerous references to this term throughout
27 the report", and they cite those examples after the red
28 ink.

29 "As identified in both the NIcAn Guidelines and the

1 Trust MDM operational policy in place, the function is
2 not described as the responsibility of the CNS or key
3 worker. Neither is the assertion that the key worker
4 has a role to ensure all key actions take place as is
5 described in the overarching report".

14:17

6
7 I think I can leave it there. I just want to pick up
8 on your response to that, if we can zoom out of that
9 and go... You say:

10
11 "The review team fully accept that it is not the sole
12 responsibility of the specialist nurses to ensure
13 appropriate care is delivered. This is referenced in
14 the overarching SAI, where it emphasises the primary
15 role of the consultant responsible for care. In normal
16 practice, patients are cared for through their cancer
17 journey about by a collegiate team of consultants,
18 specialist nurses, consultant secretarial staff and
19 appropriate MDT tracking. This is about everyone's
20 responsibility to ensure right care at the right time,
21 something the nine patients missed out on."

14:17

14:17

14:17

22
23 Did it surprise you that the nurses were coming back on
24 this description of themselves?

25 DR. HUGHES: No, and perhaps we could have chosen a
26 better word. I think the specialist nurses were in a
27 difficult situation. They felt very concerned about
28 their position because they felt that the nine cases
29 showed that Clinical Nurse Specialists were not

14:18

1 present, and I believe they were concerned that they
2 would be blamed for that. I want to emphasise that I
3 know that the care the specialist nurses deliver is of
4 the highest order. That has been evidenced through the
5 Regional Cancer Experience Audit.

14:18

6
7 I think "failsafe" is a short term, but part of their
8 primary role is to support patients through their
9 cancer journey. Part of that cancer journey is through
10 diagnosis and staging and ultimately treatment. Part
11 of that is knowing about the patient's journey as it
12 progresses. So, they do act as a failsafe, in the same
13 way the consultant acts as a failsafe, the secretaries.
14 Everybody has to contribute to this. The fact that
15 they were mentioned more is because they were absent
16 from all the care of nine patients. It is not to
17 denigrate what they do and it is not to emphasise the
18 failsafe part of the work, it's about keeping patients
19 safe. That's an intrinsic part of their job.

14:18

14:19

20 MR. WOLFE KC: I think, Mr. Gilbert, recalling your
21 evidence from the last day, I think you possibly took
22 issue with the use of the word "failsafe" in one of
23 your answers. What you explained was that the CNS role
24 is specific, it has its own attributes and
25 responsibilities. It wasn't a case of how the nursing
26 cadre help you, it was in many respects because your
27 job is becoming increasingly technical over the years,
28 it was how you could assist them. But ultimately,
29 I think, in your answer in the round you could see the

14:19

14:19

1 use of the word "failsafe", while creating
2 difficulties, does describe an aspect of the nursing
3 role?

4 MR. GILBERT: Yes. I think "failsafe" is a difficult
5 term. I can't think there is a single system in the 14:20
6 world which is going to avoid difficult circumstances.
7 There will always be patients that will slip through
8 the net because of the complexity of what we're doing.
9 Thankfully, and in normal circumstances, it should be
10 extremely rare. The Cancer Nurse Specialist role is 14:20
11 complementary and augments the patient experience, and
12 is complementary to the responsibilities of the
13 consultant, the diligence of the secretaries, and the
14 cancer nurses' understanding of the emotional and
15 physical journey that the patients are going through. 14:21
16 Those have to be put together. There will still be a
17 little gap every now and again but the gaps are
18 increasingly small, and the chances of people slipping
19 through the net will decrease to an absolute minimum.
20 They do not replace the consultant, they do not replace 14:21
21 the secretary, they have a separate, augmented role.

22 MR. WOLFE KC: Just if you can go back to the document
23 and the next page, please. I think it is a further
24 elaboration on why they would be concerned about this
25 failsafe description. I think in the round that next 14:21
26 paragraph on the top of the page is an indication that
27 the nurses are of the view that they are not privy, and
28 nor should they necessarily be privy, to certain
29 developments within the patient pathway. So, they need

1 not be expected to know that a scan report is due;
2 that's the responsibility of the individual who
3 requests it. In addition, they say that if a patient
4 contacted their key worker CNS to inquire as to the
5 date of a scan, that would be escalated to the 14:22
6 consultant. I suppose implied within that, it is not a
7 matter for the nurse to know when the important dates
8 are in the process, the important response times are,
9 that's somebody else's responsibility, so the use of
10 the word "failsafe" in that context is problematic. 14:23

11
12 You respond to that. You say that on the contrary, it
13 is the review team's experience that specialist nurses
14 would have the understanding, which these nurses
15 seemingly are lacking confidence about or suggesting 14:23
16 that they do not have.

17 DR. HUGHES: Part of the primary role and
18 responsibility of Clinical Nurse Specialists is to
19 support patients through the myriad of staging scans
20 and complex pathway. To do that, they would need to 14:23
21 know the dates. My experience is that they do know the
22 dates and times.

23 MR. WOLFE KC: If they are named nurse to the patient,
24 they may not know in advance this is coming down the
25 road but they would be told through the process of 14:24
26 whatever communication it is that Mr. Smith, or whoever
27 it is, is due for a scan today, and they would know
28 instinctively or by experience that that is going to
29 report in one week or whatever it is. Is that the

1 point you are making? It is the relationship that
2 gives them the knowledge.

3 DR. HUGHES: Yes. If they are going to support people
4 through their complex and diagnostic treatment pathway,
5 they do need to know about the points of investigation 14:24
6 and diagnosis and care. Otherwise, they can't inform
7 and support their patients.

8 MR. WOLFE KC: You reflect some concern about this
9 input from the nurses back to Mrs. Kingsnorth. Just
10 bring up the correspondence, TRU-163160. At 8th 14:24
11 April 2021, you have inputted your remarks in red into
12 the document that we've just looked at. "I have
13 drafted some thoughts in response."

14
15 You go on to say: 14:25

16
17 "I'm concerned that the CNS are not aware of critical
18 posts" - would that be "points" - "in a patient's
19 pathway such as staging and initiation of treatments.
20 I am not sure how they can deliver the responsibilities 14:25
21 detailed in the letter if they are unaware of the
22 critical points in a patient pathway.

23
24 "I think there is a concern about the term failsafe.
25 It is a common reference for all professionals in 14:25
26 cancer care, my lab staff and the secretaries act in
27 that role for me.

28 "Perhaps we need to think about emphasising everyone's
29 responsibility to deliver right care right time".

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

The nursing response viewed against what you discovered through the nine cases, did it concern you then and do you have any lingering concern or confidence about the impact on the reform or the change that is necessary within this system? 14:26

DR. HUGHES: I have to acknowledge the language is probably clumsy. If they don't like the term "failsafe", I think that's appropriate and you have to accept that. I am concerned that we're trying to deliver right care right time, and one of the primary responsibilities of Clinical Nurse Specialist is to support patients through their cancer journey from the very start, through the diagnostic processes, scans, biopsies and whatever. To do that, they would have to know when those processes are happening. To support the patients regarding the outcomes of those investigations, they would need to know the results. That's the process I'm aware of and worked in, and I would expect that to be the present in the Southern Trust. 14:26

MR. WOLFE KC: It does seem, on the face of it, and it might seem to the Inquiry surprising, that some such remarks were being made by the nurses given what you were receiving back, I think, from other consultants who you spoke do about the quality of the nursing input and support for the patient pathway. There didn't seem to be - at least you didn't hear any 14:27

1 and didn't report any - concern about the use of nurses
2 otherwise?

3 DR. HUGHES: No, No. To be fair, this is intrinsic in
4 their work and their primary responsibility is not to
5 be a tracker and their primary responsibility is not to 14:27
6 tell people when their scans are. The primary
7 responsibility is to say what the outcomes of their
8 investigations were and to support them, but to do
9 that, they need to know when they are happening. They
10 will have a patient workload that's similar to any 14:28
11 other professional and they should be part of that
12 process.

13 MR. WOLFE KC: Thank you both for your evidence.
14 I have no further questions today. I think I mentioned
15 to you this morning briefly that there may be further 14:28
16 input to be received from you in due course and the
17 Inquiry will work that out. I understand the Chair may
18 have something further to say about that this
19 afternoon.

20 CHAIR: Yes, thank you both very much. I appreciate 14:28
21 the time you have given to the Inquiry. Sadly, we
22 cannot release you just yet. We have some questions as
23 a panel to ask you.

24
25 I'm going to start but if I may start just with the 14:28
26 last question. I wonder was there a misunderstanding
27 on the part of the Clinical Nurse Specialists about
28 what it was you were saying their responsibility was.
29 It seems to be that when they are appointed, they give

1 exemplary service. Certainly that was the evidence
2 we heard yesterday from Patient 5's family; that she
3 contrasted what had happened with her father's renal
4 treatment, where there was no cancer nurse specialist,
5 and where there was one through the prostate and bowel 14:29
6 cancer journey. I just wonder, did they maybe
7 misunderstand that they were being asked to work as a
8 tracker for all patients, not just those they had been
9 engaged with by the consultant?

10 DR. HUGHES: I think I have to be conscious of when the 14:29
11 letter was written and the circumstances. It may have
12 seemed that a nurse specialist was the silver bullet,
13 the complete solution to a complex process of patient
14 care, that this would surpass their current role in
15 terms of supporting and informing and providing direct 14:30
16 patient care. That wasn't the intention. But it was
17 the intention that they do know about their patients'
18 journey and have information so that they can inform
19 and support. The issue is that those patients who did
20 not receive the input of a Clinical Nurse Specialist 14:30
21 were not properly informed, were not properly
22 supported, and had incredibly difficult journeys
23 between hospital and primary care and community care.

24 CHAIR: Thank you for that. I'm going to go back to
25 some of the earlier evidence that you gave and I'm sure 14:30
26 my colleagues will be doing the same thing.

27
28 One - and it is a general question - about the
29 leadership roles, and particularly maybe the Assistant

1 Medical Director. It seems to be a specialised job for
2 which most professionals are not adequately trained.
3 would that be your view, or have I misinterpreted that?
4

5 Secondly, have you given any thought as to whether or 14:31
6 not what support the Medical Director would need in
7 that role in terms of training? Should it be a
8 sabbatical role? Should there be mentoring for that
9 person? How can the person who is in that role better
10 perform is really my question. 14:31

11 DR. HUGHES: I think medical leadership roles are
12 sometimes poorly defined, poorly understood by both the
13 Trust and the candidates for those roles, and they're
14 certainly poorly trained, I think. In terms of the
15 associate medical role, it is probably much wider than 14:31
16 just cancer. Unless they have a dispensary power or
17 have been in a previous relationship with that service,
18 they may struggle with that. There are training
19 programmes which are available but they tend to be very
20 brief and very limited. 14:32

21
22 In this case, I think culturally there was a distance
23 between the medical leadership and the actual people
24 delivering care on the ground. That's really, really
25 unhelpful. You need to be embedded with one another so 14:32
26 that they feel comfortable in escalating the really
27 difficult stuff. It is fine when you're dealing with
28 generic timelines or 31, 62-day targets, but the really
29 difficult stuff is usually obviously patient safety and

1 interprofessional issues. If that relationship is not
2 present, that can cause problems.

3 CHAIR: I think one of the difficulties that you
4 articulated earlier was there's almost a Buggins' turn
5 attitude to taking on these roles. You know, I have
6 done it for so many years, it is somebody else's turn
7 now. Somebody else applies for it because to some
8 extent it furthers their career without actually
9 appreciating what is involved in the role. Would that
10 be fair?

14:32

14:33

11 DR. HUGHES: I think people don't realise it is a
12 different skill from their medical training, and it is
13 dealing with people and dealing with highly
14 functioning, often highly opinionated, medical staff.
15 It can be a challenge in itself. It needs particular
16 training, and particular training in safety and quality
17 and particular training in governance. People often
18 assume roles because of seniority or experience. You
19 really do need clear focus on governance and what your
20 roles in both the local governance and the corporate
21 governance is. I think that's not really part of the
22 curriculum at present, and it needs to be.

14:33

14:33

23 CHAIR: It really needs someone with good man
24 management skills?

25 DR. HUGHES: Yes.

14:33

26 CHAIR: Just in terms of the overall culture, we've
27 talked a lot about that throughout your evidence; about
28 the culture of challenge, for example, of escalating
29 things that ought to be escalated appropriately. How

1 do you think that can be changed?

2 DR. HUGHES: I think it is best if it starts from the
3 bottom up. I think the unit of work should be the
4 multi-disciplinary team. It needs to be really
5 functional, it needs to be really comfortable, it needs 14:34
6 to be really flat. People need to have trust in one
7 another. It's not because they need to like one
8 another, it's because that's how they'll deliver really
9 good outcomes for patients, so that if people have
10 difficult questions to say or things, that they will 14:34
11 accept that in the terms of a collegiate team.

12

13 I obviously was a pathologist at one time. If somebody
14 questioned your diagnosis and things, instead of
15 getting into a head-on argument, you need to have 14:34
16 policies and process in place to deal with difference.
17 You need to have process and policies to make sure that
18 if there's a difference of clinical opinion, there's
19 ways to resolve it. So, let's take the heat out of this
20 position; if we can't agree, escalate it to somebody 14:35
21 outside the Trust to get an opinion. I'm not saying
22 you prioritise interprofessional behaviours but you
23 need to realise that that's an important dynamic, and
24 have a structure to deal with it. It has to be a flat
25 structure to everyone in the team, be it the trackers, 14:35
26 be it the clinical nurses, can raise issues and are
27 heard and are respected.

28 CHAIR: we know very well how resources are stretched
29 to the nth degree. I suppose in an ideal world where

1 you did have the time, would there be a place for
2 ongoing training and refresher training?

3 DR. HUGHES: Unfortunately, I'm old enough to know when
4 we brought in multi-disciplinary teams, we had lots of
5 training. We had like Michael West over regularly. 14:35
6 We actually valued the human dynamics part of it.
7 I don't think that happens as much now because time is
8 short, money is short, and people think that's soft
9 stuff instead of core stuff.

10
11 I believe if you invest a lot of money in a team that's
12 trying to provide better outcome for patients, you do
13 need to invest some resource and you need to know where
14 are your difficult areas. Invariably the difficult
15 areas are not simply the throughput and the pressures, 14:36
16 it is about how people work with one another because
17 once that is wrong, it is very difficult to resolve.
18 I think that needs to be taken on board.

19 CHAIR: If I can move on to a separate question now
20 about the SAI process itself. You are very experienced 14:36
21 and obviously you have had experience here. This
22 morning you were pulled as to the language, maybe, that
23 was used in respect of some of the things recorded in
24 the meetings. Just what would you change? If you had
25 the opportunity to change how SAIs were conducted, what 14:36
26 one thing, or if there is more than one thing, please
27 tell us what it is you would change.

28 DR. HUGHES: SAIs, I think they're difficult because
29 you are dealing with a governance issue, trying to

1 resolve issues after something has happened or after
2 something has potentially happened. They tend to be
3 formulaic and they try also at the same time to resolve
4 issues with patient and families dynamic. That's very
5 difficult. How you would bring the family along can be 14:37
6 very problematic and sometimes doesn't help because you
7 are just reliving a bad situation. I think we need to
8 think about how things can be done more efficiently,
9 effectively, but in a non-blame culture. I think we're
10 far from that. 14:37

11
12 I struggle at times -- I have some experience of
13 structured judgment review where the clinical piece is
14 taken away and is done separately and then you speak to
15 the families. I think that worked well, but that's 14:38
16 only available for certain sort of higher level SAIs.
17 I would think if you ask around in, say, the urology
18 team do they think this is a positive thing; probably
19 not. I think probably for everybody that this has
20 touched, it was not a positive thing. Could there be a 14:38
21 better way of doing it? Yes, but that would take major
22 change and we're slow to change.

23
24 There has been a review, an external review of the SAI
25 process, but it still is problematic because I think 14:38
26 some of the cultural things in the Health Service are
27 challenging. Is it a non-blame culture? I don't think
28 so. Is it hierarchical? Yes. Does that get in the
29 way of a non-blame culture? Yes.

1 CHAIR: Talking about the structured review process and
2 the SCRR cases we are looking at, as well as the Trust
3 and the lookback, the purpose of that process is to
4 really ensure that the care the patient is getting at
5 present is the correct care, as I understand it. 14:39

6 I just wondered what your views were about the family
7 involvement in that process. We heard from one family
8 this week who they didn't know unless somewhat late in
9 the day by letter from the Trust that the records had
10 been looked at and their father's care was deemed to be 14:39
11 suboptimal or inappropriate, or whatever the
12 terminology was.

13
14 You talked about being open and transparent with the
15 families in the SAI process. I just wondered where you 14:39
16 believe the balance is in a lookback review; where it
17 should be struck involving the families. Obviously,
18 you don't want to scare them by saying there may be
19 something wrong with your care until you know for sure,
20 but at what stage is it appropriate to involve the 14:40
21 families and how should it be done?

22 DR. HUGHES: My past experience in a structured
23 judgment review was with families who had concerns
24 about the care, so they were the ones bringing it
25 forward. We met with them beforehand and that fed into 14:40
26 the structured judgment review. It came back and
27 we met them again. They were actually very grateful
28 because a lot of their concerns were founded. I think
29 it is different where people are unaware if there's any

1 issues around the care, whether you inform them and ask
2 them if they want to discuss it in advance and then
3 provide feedback. Simply saying to a family "we're
4 unsure", that could be troubling in itself.

5 CHAIR: That's my point, where do you actually draw the 14:40
6 line? Where is that line to be drawn? You're just
7 saying it is a difficult judgment call, really?

8 DR. HUGHES: Yes. The real practical issue is the
9 numbers. The previous issue I was referring to, that
10 was a relative small number of 45, but it potentially 14:41
11 could be many, many more; hundreds. How do you manage
12 that process while delivering care?

13 CHAIR: Thank you. That's helpful.

14

15 Can I also ask, one of the things that you said and 14:41
16 we heard from families was that they are surprised when
17 they were told that they ought to have had a Clinical
18 Nurse Specialist assigned to them through their
19 pathway. Why do you think it is the case that
20 they didn't know this was something they ought to have 14:41
21 had? Where is the deficit in the information available
22 to patients is really what I'm asking.

23 DR. HUGHES: It should be widely available. It should
24 be available at outpatient clinics. I think all nine
25 patients, this was their first cancer journey, so 14:42
26 there's no reason to expect that they would know this
27 is standard care unless you are in some way embedded in
28 the service, but it is very much standard care. I'm at
29 a loss, really, to know that fact. We obviously didn't

1 know that fact when we went into the process, and it
2 struck me as very strange.

3 CHAIR: Just some general questions, again coming back
4 to the culture. Why do you think the culture in this
5 MDT was so very different to what you and Mr. Gilbert
6 have experienced in other MDTs? 14:42

7 MR. GILBERT: I think there was a particularly dominant
8 character in the MDT who exerted a certain power and
9 wanted to -- felt he was offering the best possible
10 treatment and didn't need the help of Cancer Nurse
11 Specialist, and maybe eventually didn't want the
12 scrutiny. I don't know; that's conjecture. As a
13 clinician who has gone through the period of the last
14 20 years of the development and evolution of MDTs and
15 the roles of all the people including trackers, 14:43

16 coordinators, Clinical Nurse Specialists, all the
17 various specialities coming through, it has become the
18 single most supportive part of my work. Without it,
19 I don't think I could function any longer. Now that's
20 to do with certain changes happening in terms of the
21 administrative support they've but it is much more than
22 that. I look forward to the MDT. It is a chance to
23 meet with everyone in the team, talk things through,
24 catch up. More important than that is the clinical
25 support and reassurance of knowing that we have 14:44

26 consensus about what represents a good job. I don't
27 understand why anyone would not want to be part of
28 that. It's a glorious thing. It's great fun.

29 CHAIR: Change is difficult, and change is difficult

1 for people who have been working in a particular way
2 for a long time and to actually recognise. I'm
3 wondering, is there a role to bring people along to
4 invest in that change. You were saying about the
5 training that there was at the outset when the process 14:44
6 was introduced, but is there an ongoing role to be
7 envisaged, if you like, to ensure that people have,
8 I don't know, role play or whatever? To see the
9 benefits is really what I'm saying.

10 MR. GILBERT: I would have thought that that was the 14:45
11 responsibility of the line management within the Trust.
12 So, whoever was the clinical lead for MDT services
13 should have experience of a good MDT and should be
14 going out proselytising the benefits and ensuring each
15 MDT understands the benefits and can engage. I don't 14:45
16 think you'd have to have an external person there, you
17 can just take somebody who doesn't believe in it and go
18 and pop them in a different MDT and see how good MDT
19 works, how you can get through an awful lot of
20 meaningful work in a very short time, in a very 14:45
21 collegiate and cooperative way.

22 DR. HUGHES: I think if you turn it on its head, not
23 what a professional should do but what a patient should
24 expect. It is very clear when a patient comes to a
25 service that they should expects a MDT process that's 14:46
26 fully quorate and fully functional; appropriate support
27 from Clinical Nurse Specialists who will have their
28 name and they will have their number, and they will be
29 supported through the cancer journey, which is

1 incredibly complex and difficult for people the first
2 time. That's the standard of care that you offer to
3 your patients.

4
5 I mean, we spent years fighting for resources and we 14:46
6 spent a long time. We still don't have enough
7 resources but thankfully we have a lot more Clinical
8 Nurse Specialists. By any metric, if you look at what
9 people say and what the evidence is, people get much
10 better and much safer cancer care with Clinical Nurse 14:46
11 Specialists.

12 CHAIR: Just coming back to some of the things about
13 this, the operation of this and the quoracy issue, for
14 example. I mean, it's really striking that in 2019,
15 not one meeting was quorate. One of the issues you 14:47
16 were saying was that the radiologist, the cancer
17 radiologist, had another MDT at the same time. Surely
18 it is not beyond the realms of possibility for somebody
19 to pick that up and say, well, let's change the day.

20 DR. HUGHES: I think what it was, they did the urology 14:47
21 service, which was a very, very large service, and they
22 did the lung cancer service in the afternoon, which is
23 very large and very complex as well, and they
24 simply didn't have time. As well as that, it was
25 staffed by rotating locums, so there was no continuity. 14:47
26 Even though it may have been quorate one or two times,
27 it may not have been the same professional. In essence
28 you didn't have embedded oncology within the team on a
29 stable basis.

1 CHAIR: How can that be ameliorated?

2 DR. HUGHES: I think we need to have a hard look at
3 commissioning. I mean, I did mention this morning,
4 obviously in the Western Trust they could manage
5 quoracy of 98 percent; I am sure Belfast was somewhat 14:48
6 similar. How did it happen that one area resulted in a
7 deficit?

8 MR. GILBERT: It is part of job planning as well. If
9 it is made as an addendum to the rest of the week's
10 work, then people are going to find other things to be 14:48
11 doing. Whereas if it's carved out and actually pay is
12 allocated to that particular activity, then they have
13 no excuse, it is part of their job plan. Therefore, as
14 part of their appraisal they should demonstrate they
15 are fulfilling that obligation. 14:48

16 CHAIR: Thank you. That is helpful.

17
18 I'm just checking. Yes, just about the whole auditing
19 issue and the metrics and the tracking and all of that.
20 I mean, obviously if a department or a service is 14:49
21 under-resourced and they want to seek more resources,
22 then it is no good just simply going along and saying,
23 well, you know, anecdotally this is the position on the
24 ground. If they don't have the actual facts and
25 figures, it is not going to be anywhere near as 14:49
26 persuasive as if they have the evidence base on which
27 to say we need these resources because, look, this is
28 what's happening; we need these resources because we
29 can't have a quorate MDM, or we need somebody to look

1 at this and change it, for example. Am I right in my
2 understanding of why it is so important to gather this
3 information and audit these things?

4 DR. HUGHES: I think it is really important to gather
5 information because you should be in a process of 14:49
6 biannual business meetings that you can look at the
7 deficits in your service and improve on a quality
8 improvement process going forward. I think this is an
9 exceptional case where you actually need the data just
10 to quantify the care of deficit. That's an extreme 14:50
11 example. But the fact that there was no meaningful
12 ongoing assurance audit concerned me.

13 CHAIR: Thank you both very much. I'll have something
14 else to say to you at the end but I'm going to hand you
15 over to Dr. Swart and then to Mr. Hanbury. 14:50

16 DR. SWART: Thank you very much for clear evidence.
17 I have a few questions. They are mainly general for
18 Dr. Hughes. Just one quick one for you, Mr. Gilbert.
19 I think Mr. Hanbury will cover some of the more
20 clinical aspects of it. 14:50

21
22 Dr. Hughes, going back to the very beginning you talked
23 about your experience with serious adverse incidents at
24 the Western Trust. You mentioned something then which
25 was about your director oversight of serious incidents 14:50
26 in your experience. How important do you think that
27 is, to have somebody like the Medical Director taking a
28 personal responsibility, and what did you learn in your
29 time at the Western Trust about that?

1 DR. HUGHES: we set up a process to review all SAIs as
2 they were coming through. We would have had early
3 learning or early notification of major things. But
4 the first thing you notice is the variation, and the
5 ranges of professionalism. Often SAIs are done by 14:51
6 well-meaning, very busy clinicians who are not
7 necessarily trained or experienced in this process.
8 While we could standardise and suggest improvements,
9 I'm not sure if the best way to do these is to get a
10 doctor to do it a couple of times a year, because if 14:51
11 you don't do them frequently, you don't know the
12 process. Part of our learning from it was that
13 we needed to set up a better way, perhaps grow a team
14 from the governance team who would do the process and
15 call in appropriate medical or nursing or the 14:52
16 appropriate witnesses. That would be a more radical
17 way of doing it.

18
19 I think what we all struggle with is to get appropriate
20 patient or family engagement because you are dealing 14:52
21 with people who suffered deficit, are often traumatised
22 by processes. How do you achieve resolution for people
23 in the process? It doesn't always work. Probably, if
24 you think about it, taking people through another
25 detailed traumatic process is not necessarily going to 14:52
26 be helpful.

27 I think the other thing about SAIs is that they can be
28 very time-consuming and don't make a meaningful
29 timeframe. That can be difficult for those in service,

1 and also difficult for families.

2 DR. SWART: Can I ask you about the early learning from
3 them. You'll be aware at Southern Healthcare Trust,
4 some of the SAIs - not this one but a previous one -
5 took very long times. It is difficult to find the 14:53
6 learning and the action. Is there anything about the
7 structure of the way that was set up at the Southern
8 Healthcare Trust that you came across that perhaps was
9 partly responsible for that, or are you not able to
10 make that judgment? 14:53

11 DR. HUGHES: I did ask the Associate Medical Director.
12 Ultimately, they didn't know about the initial SAI in
13 2016, and they certainly didn't know about any MHPS
14 process, apart from noises in the system as opposed to
15 being informed. That meant that potentially learning 14:53
16 wasn't brought to the SAI or to the service in advance.
17 Because if you are looking at the front door of the
18 Cancer Services, red flag, triage, and there are
19 issues - issues about timeliness of triaging and issues
20 about missed cases - somebody needs to ask the question 14:53
21 are there issues elsewhere in the pathway, and to get
22 assurance around that. I don't think that happened.

23 DR. SWART: Do you think it can happen if it is not at
24 director level?

25 DR. HUGHES: I think it needs to be at a very senior 14:54
26 level.

27 DR. SWART: The over thing is this particular group of
28 SAIs that you were responsible for, it is quite an
29 unusual situation. Nine all together, the context of a

1 public inquiry. It gives you some particular
2 challenges, I think, in terms of every aspect but
3 particularly family engagement. How did you find that
4 when you started off? What do you think the pluses and
5 the downsides were of that particular set of
6 circumstances? 14:54

7 DR. HUGHES: I think the positive thing was the family
8 engagement. I need to thank the governance team from
9 the Southern Trust, who obviously were perceived to be
10 the Southern Trust meeting families where a potential 14:54
11 deficit occurred, and they handled that well. We had a
12 family liaison officer. We met with them on three
13 occasions. All those occasions were quite difficult.
14 They were stunned at the first meeting, needed to know
15 a bit more at the second meeting, and probably anger by 14:55
16 the third meeting. They had moved from the individual
17 issues to the systemic issues you are now discussing.
18 They were very able, very articulate. So, I think that
19 was a positive thing. I don't necessarily think it was
20 particularly good for them but it was a positive thing. 14:55

21
22 I think the difficulty with this process was that this
23 Inquiry was known about so people were very anxious.
24 People were very anxious how they'd delivered, what
25 they could have done more, and I think they became 14:55
26 anxious of the SAI process. So, I had to understand
27 that. It is what it is, I suppose.

28 DR. SWART: What did you use as your yardstick in terms
29 of what to tell them and what not to tell them? You

1 had an earlier conversation about being open, which is
2 absolutely right, but there must have been some tension
3 with that, with what to say, what you know and what you
4 don't know, what they should know.

5 DR. HUGHES: with the staff?

14:56

6 DR. SWART: And with the families.

7 DR. HUGHES: Certainly with the families I had to be
8 open and honest and transparent in terms of numbers and
9 scale, especially the issues about their loved ones.

10

14:56

11 with the staff, I had to tell them about the numbers on
12 the scale and issues because some were informed,
13 some didn't know. We had to explain -- I think
14 everybody probably knew about the Bicalutamide issues,
15 everybody did not know about Clinical Nurse
16 Specialists. Everybody was not aware of lack of onward
17 referral. They were not aware of and had not thought
18 about people not being brought back to the MDT when the
19 disease progressed. That did surprise me. I think
20 that was early learning for the team. I think they
21 became anxious as the process went on because then it
22 went from what happened to what was their role in
23 allowing it to happen. I think that's human nature.

14:56

14:57

24 DR. SWART: One of the things that is evident in this
25 is a series of cases involving one clinician. How did
26 you get evidential assurance that other clinicians
27 weren't operating in the same way?

14:57

28 DR. HUGHES: I discussed this with the Medical Director
29 at a very early stage because the only way I could, on

1 a short term basis, was to ask people. I would simply
2 ask did they use Clinical Nurse Specialists; did they
3 adhere to the prescribing guidelines; did they
4 appropriately onward refer, and they did give me that
5 assurance, but that had to be augmented by the 14:57
6 assurance audit process that I recommended in the
7 recommendations. That was partially part of my
8 pushback to the Cancer Management Team, because
9 I really couldn't understand how they would push back
10 on that assurance process because I think that was 14:58
11 critical for the service going forward. I think it
12 would be inappropriate and unfair to say we'll
13 investigate one professional but just accept what
14 everybody else says.

15 DR. SWART: Yes, I agree. Did the families ask about 14:58
16 that?

17 DR. HUGHES: Yes.

18 DR. SWART: Moving on to the disconnect with cancers --

19 DR. HUGHES: I should say, I asked the families to be
20 part of the assurance mechanism with the 14:58
21 recommendations.

22 DR. SWART: Yes. We heard from one yesterday, so
23 that's good.

24

25 Moving on to the disconnect between Cancer Services and 14:58
26 operational services and, indeed, between Cancer
27 Services and clinical governance in the Trust, to some
28 extent. In your view, what is the cause of that?

29 DR. HUGHES: I think it is a structure where the

1 professionals were managed by one group and some
2 professionals were managed by another. My previous
3 experience was that Cancer Services was a coherent
4 unit, and all issues arising in cancer was reported
5 through a director, Associate Medical Director. If an 14:59
6 issue arose in cancer, cancer dealt with it, it didn't
7 matter who the professional was or what service they
8 came. There was a clear ethos around Cancer Services.
9 Cancer Services is usually a major part of the Trust
10 and a very front-facing part of the Trust, with a lot 14:59
11 of public awareness. I think that was a much tighter
12 structure.

13
14 when I came to this process, it was very clear that the
15 Associate Director and the cancer lead didn't know 14:59
16 about some of the issues and didn't have structures to
17 know.

18 DR. SWART: The other thing that has come out in
19 questioning, I think so far, is that the Chief
20 Executive, the board, the Medical Director to some 15:00
21 extent, were perhaps not aware of the scale of the
22 issues. In your experience and thinking back to the
23 time when you were Medical Director, what enquiries
24 should they have made, and what should they have sought
25 to draw out that needed to come to the attention of 15:00
26 certainly the governance committee but probably the
27 full board?

28 DR. HUGHES: I think quantify things. Part of quantify
29 things means to look at numbers. So, if it is a

1 this well received? was the enormity of the challenge
2 received?

3 DR. HUGHES: It was very professionally received.
4 There was no pushback, no. I think the Medical
5 Director was reasonably new into the service. 15:02

6 DR. SWART: Yes, that's right.

7
8 You have been a Medical Director. What do you see is
9 the role of the Medical Director in influencing
10 especially the clinical governance structures in the 15:02
11 Trust and the culture of the response of medical staff?

12 DR. HUGHES: I think the issue should be not about
13 professionals, it is about patients. Everybody should
14 have a focus about the outcomes for patients. I think
15 you have to be available and get involved as needed. 15:02
16 I think you have to encourage by example a culture of
17 openness and honesty. You mightn't be liked but you
18 have to be trusted.

19 DR. SWART: You referred, quite rightly, to the
20 managerial responsibilities of the GMC, every doctor 15:03
21 but particularly doctors in leadership. If you come
22 across an organisation where this is not understood,
23 how would you go about changing that?

24 DR. HUGHES: I think you should start with the leaders
25 in the organisation because I suspect there's lots of 15:03
26 leaders in our organisation - clinical leaders,
27 I mean - that probably don't understand their roles and
28 responsibilities. I think if you explain people's
29 roles and responsibilities, it may put people off

1 taking those jobs. I think you probably need to review
2 how we deliver clinical or medical management. I think
3 it is often an add-on, four hours a week with limited
4 training, and people don't understand the complexities
5 or the responsibilities until something goes wrong. 15:03
6 I think you need to have really, really good data and
7 good ways of measuring your service. We currently
8 don't have that, and certainly the Southern Trust in
9 their urology didn't.

10 DR. SWART: Just as a softer thing, do you think the 15:04
11 urologists viewed themselves as working as a team? Do
12 you think they had a collegiate team culture?

13 DR. HUGHES: No, I think there was difficulties.
14 I think new members in the team came in, and I think
15 have to be commended, did try to raise this and 15:04
16 struggled. I think relationships were poor. People
17 were trying to do the right thing but didn't succeed.

18 DR. SWART: How would you rebuild that? We already
19 referred to the stress of the Inquiry and, you know,
20 the difficulty in recruitment and so on. This must be 15:04
21 a very, very difficult team to operate in at the
22 moment.

23 DR. HUGHES: I think get people refocussed on their
24 task. Their task is to provide high-quality care which
25 I am quite sure many of them currently do. It is about 15:05
26 evidencing that to the public, and have patients and
27 clients and families with them to see that that's the
28 journey their on. It is about supporting them and
29 recognising that this can be achieved, and providing

1 resource to make sure that it is achieved.

2 DR. SWART: A sort of simple one in a way. I'm very
3 struck by the lack of written information to patients,
4 many patients. There doesn't appear to be a kind of a
5 Northern Ireland-wide mandate for this to be done. At 15:05
6 your Trust, at the Western Trust, do you think that was
7 embedded in normal practice?

8 DR. HUGHES: Yes.

9 DR. SWART: What do you think the barriers are to
10 embedding it in a place like Southern Healthcare Trust? 15:06
11 They hasn't that happened; have you got any views?

12 DR. HUGHES: Certainly patients would have got copies
13 of their outpatient letters. Part of the problem with
14 new patients in Cancer Services, sometimes they get
15 voluminous amounts of information. I think the best 15:06
16 people to do that is the Clinical Nurse Specialists in
17 terms of supporting information; that there is a cancer
18 patient experience audit. It does show that those --

19 DR. SWART: I'm talking specifically about the letters.
20 So, mostly the letters are not copied to patients. 15:06

21 DR. HUGHES: They should be.

22 DR. SWART: There doesn't appear to be a rule that says
23 they have to be.

24 DR. HUGHES: I did try to check that in the Northern
25 Ireland Cancer Network and it is not there. A piece of 15:06
26 work I'm currently doing implementing a new system;
27 every patient will have access to their information, so
28 the letters will be available to them as their lab
29 results or their scan results. So, that will change.

1 But there's no reason why this can't change now because
2 that's standard practice. It's standard practice
3 outside Cancer Services and it is standard practice in
4 many geographies and not in Ireland.

5 DR. SWART: I don't understand why that isn't happening 15:07
6 and if there were any specific barriers, really,
7 I suppose, is the question.

8 DR. HUGHES: I didn't review that issue but I think it
9 is something worth asking of the Southern Trust because
10 I know it happens elsewhere. 15:07

11 DR. SWART: Mr. Gilbert, just quickly. If you were in
12 an MDT in your hospital, or the previous hospital, and
13 you had this kind of situation where you became aware
14 that there was a colleague that was behaving
15 differently from other colleagues, what would you do 15:07
16 about it personally?

17 MR. GILBERT: I would talk to my other colleagues to
18 understand whether my perception was reasonable or not.
19 If it were, I would talk to the individual concerned to
20 try to understand their perspective. If at that time 15:08
21 I was not satisfied or hadn't persuaded a change in
22 practice, then I would escalate it through the line
23 management, which is now clearly defined in hospitals.

24 DR. SWART: In your Trust, what is the relationship of
25 Cancer Services to the individual MDTs and operational 15:08
26 services?

27 MR. GILBERT: I have experience of the two. My greater
28 experience is with the Gloucestershire MDT. The
29 relationship with Cancer Services is that -- well, what

1 was set up was a thing called Surgical Quality
2 Assurance Group, SQAG. It was led by an associate
3 Medical Director, and each MDT had to report once a
4 month with a prescription of particular data points,
5 complaints, compliments; audits had to be conducted 15:09
6 twice a year. So, there was a definite schedule. Once
7 a year the poor clinical governance lead would have to
8 go and sit in front of four or five colleagues who
9 would give them a hard time. If the MDT was not
10 performing according to the prescribed milestones, 15:09
11 there was trouble.

12 DR. SWART: Did that work? Did it means things --

13 MR. GILBERT: Yes. Well, I can only speak for urology.

14 DR. SWART: That's what I'm asking.

15 MR. GILBERT: Yes, it worked. If we were getting up to 15:10
16 a particular threshold in terms of time, somebody would
17 look around and say gosh, we haven't done an audit.
18 Now, that was rarely a problem because there are lots
19 of junior doctors who are desperately keen to do audits
20 because it advances their CV. 15:10

21
22 The advantage of doing it in that cyclical mode is that
23 it becomes stronger and stronger as time goes by, so
24 you can focus in. We started with very broad audits,
25 how long does it take for someone with blood in their 15:10
26 urine to get their bladder removed if they need it,
27 right down to how long is it taking for the histology
28 to come through. There are so many little components
29 that can be looked at, and then the overall process can

1 be looked at.

2 DR. SWART: If you weren't meeting peer review
3 standards and you went up before your committee and
4 things were going bad, who would know about it in the
5 Trust, do you think? 15:11

6 MR. GILBERT: Well, the Associate Medical Director
7 clearly would because -- I never quite knew but I think
8 that would have been reported to the Medical Director
9 overall.

10 DR. SWART: That's my experience, too. 15:11
11 Thank you.

12 CHAIR: Mr. Hanbury.

13 MR. HANBURY: Thank you very much for your evidence.
14 It has been extremely interesting.

15 15:11

16 I would just like to go back to the oncology presence
17 at MDM, which I know we talked a lot about. It is not
18 just having them there, it is what they do. In your
19 report there are three patients, I think 1, 4 and 9,
20 all of whom had prostate cancer which was rapidly 15:11
21 progressive, so they were against the clock. Either
22 the non- or delayed referral to oncology was a big part
23 of the problem.

24

25 I guess, for Mr. Gilbert, if a clinical oncologist had 15:11
26 been there when these cases are discussed, how do you
27 think that might have changed or streamlined the
28 pathway?

29 MR. GILBERT: One of the advantages of the MDT, which I

1 am sure you have experienced, is if somebody is sitting
2 in front of you, then the MDT outcome form constitutes
3 a referral. If you have your tracker - I prefer not to
4 call them trackers because I think they are so much
5 more - coordinator, has completed the MDT. We develop 15:12
6 MDTs on a Friday afternoon and our coordinator was
7 often there until eight o'clock in the evening, it was
8 not a popular job. But she was a wonderful individual
9 who made sure that those forms were on the desk of the
10 appropriate person on the Monday. 15:12

11 MR. HANBURY: So, the referral had been done there and
12 then?

13 MR. GILBERT: It was done face-to-face.

14 MR. HANBURY: Instead of waiting for the patient to
15 come back, see the clinician; have letters to be 15:13
16 dictated.

17 MR. GILBERT: Precisely. The cancer nurse actually
18 would telephone the patient on Monday to let them know
19 exactly what was happening and what the outcome of the
20 MDT was. 15:13

21 MR. HANBURY: Dr. Hughes, sort of hearing this and with
22 the difficulties with the post-oncology service, do
23 you really accept that more could not have been done to
24 give assistance there, as an oncologist yourself?

25 DR. HUGHES: I think more should have been done because 15:13
26 it was quite clear there was a persistent and prolonged
27 deficit in oncology attendance. I think when we're
28 commissioning services in Northern Ireland, we have an
29 equity issue. The catchment probably for this urology

1 service was probably is upwards of 400,000, and those
2 400,000 population were differentially treated. As
3 I said, it is not simply the oncologist not being
4 there, it would have been staffed largely by locum
5 oncologists so there was nobody embedded in the 15:14
6 service. If you are going to build a proper team, you
7 have to have permanent members in that team and a
8 relationship with other professionals. Undoubtedly,
9 having a professional beside you to discuss the
10 patients and taking immediate action would have been 15:14
11 better.

12 MR. HANBURY: Okay. Thank you.

13
14 Moving on to the penile cancer case, which is number 3,
15 same point again, Mr. Gilbert. Obviously I think one 15:14
16 of the problems here is that there was a small number,
17 perhaps only one urologist in the room whose opinion
18 swung the day. If a clinical oncologist would have
19 been there, do you think that would have made a
20 difference to the pathway? 15:14

21 MR. GILBERT: I would have hoped so, yes. The
22 Improving Outcomes Guidance and its general principles
23 have been around for 20 years. There's no doubt that
24 penile cancer, which was a Cinderella, a Cinderella
25 speciality so it was really down the order of the list 15:15
26 of things, needed to be brought in to centralised
27 referral process. That should have been in place.
28 Penile cancer should have been referred on. The
29 clinical oncologist needn't have been there. Any

1 clinician who sees a case of penile cancer who is not
2 an expert in that particular field with extensive
3 experience should refer the patient on. I would almost
4 say that could happen outside the MDT because it is a
5 reflex response.

15:15

6 MR. HANBURY: So in your opinion, is there a place for
7 an inguinal lymph node dissection outwith a specialist
8 penile cancer centre? We have discussed before the
9 difficulties of setting it up in Northern Ireland.

10 MR. GILBERT: It took me an hour and 40 minutes to fly
11 here from London this morning. I think somebody would
12 perfectly prefer to fly to London in just 140 hours
13 (sic) to get an expert to do their operation. The
14 answer to your question is specifically no, I don't
15 think it is appropriate.

15:16

15:16

16 MR. HANBURY: Moving on to the small renal mass case -
17 I'm sticking to the clinical aspects - which is Patient
18 7, there appeared to be a delay or non-referral. There
19 clearly had been difficulties with the NICA guidance
20 for the small renal mass team. Mr. Gilbert again, what
21 implications in this case were there from that lack of
22 referral?

15:16

23 MR. GILBERT: well, I think the main concern is the
24 anxiety created in the process of coming up to a
25 definitive plan. The patient will have been thinking
26 well, what's happening; have I got cancer or haven't I;
27 have I got significant disease or haven't I; what's
28 happening. That's where a cancer nurse specialist
29 would have been helpful because one of the very

15:17

1 important roles of the Clinical Nurse Specialist is
2 communicating information and being available to answer
3 questions as and when they arise.

4
5 Did this affect the patient in the long term? Probably 15:17
6 not. We don't know that. It's less than four
7 centimetres -- I'm sorry, I can't remember the exact,
8 so it is a small renal mass. Under many circumstances,
9 in the past that might have been managed by certain
10 active surveillance, by repeated CT scanning. With the 15:17
11 advent of less invasive surgery nowadays, the balance
12 of risks between intervention and nonintervention has
13 swung towards the way of actually dealing with the
14 cancer.

15 I'm sure we've all seen cases of renal masses of less 15:18
16 than four centimetres metastasising, so that has been a
17 great advance, in my view, in the last five years.

18 MR. HANBURY: Perhaps more treatment options for
19 smaller --

20 MR. GILBERT: There are other options as well. The 15:18
21 intervention may be less invasive surgery but there is
22 also cryotherapy or radiofrequency ablation to
23 consider. Those can only be provided within a
24 centralised service which demands referral from the
25 local MDT to an expert. 15:18

26 MR. HANBURY: Thank you for that.

27
28 Moving on to the low dose Bicalutamide issue. Low dose
29 Bicalutamide 50mg monotherapy for the treatment of

1 localised prostate cancer. I apologise, it is a
2 slightly specialised question but it is an issue in
3 this Inquiry. Are you aware of this being used in your
4 practice or in places that you've worked before, MDTs
5 you've been involved in?

15:19

6 MR. GILBERT: No. In Gloucestershire, I had ten
7 colleagues, in Bristol I have 23 colleagues,
8 urologists, big departments. I don't know of any one
9 of those people using that particular treatment.

10 MR. HANBURY: Are you aware of any guidelines that you
11 frequently use, maybe quote a few guidelines that you
12 use where that is recommended?

15:19

13 MR. GILBERT: No, I'm not. I carry the European
14 Association of Urology Guidelines on my mobile phone.
15 Because sometimes there's a peculiar case, you just
16 think to yourself you want to remind yourself of
17 things. It is very accessible information. I am
18 unaware of the use of 50mg monotherapy as definitive
19 treatment for prostate cancer. The only scenario, and
20 I have some issue with this actually personally, is
21 when it is used as the starting treatment for
22 definitive hormone therapy to cover for the
23 commencement of an LHRH analog.

15:20

15:20

24 MR. HANBURY: Prophylactic?

25 MR. GILBERT: Yes.

15:20

26 MR. HANBURY: Lastly, a slightly more technical
27 question. Are you aware of any evidence, looking at
28 Bicalutamide 50mg or conventional LHRH/orchiectomy in
29 the literature?

1 MR. GILBERT: Not with the use of 50mg.

2 MR. HANBURY: Thank you. Getting there.

3

4 we've asked about oncology at MDM. what about
5 radiology at MDM? Again, sorry, this is another one 15:21
6 for Mr. Gilbert. Do you think actually an MDM without
7 a uro-radiologist is viable?

8 MR. GILBERT: Not consistently. All radiology is
9 double reported. Usually it is reported by A N Other
10 radiologist initially, and then a specialist urology 15:21

11 one who is dedicated to the MDT will come along with a
12 blind report to confirm the original findings. Having
13 said that, even in Gloucester with a relatively large
14 department, we only have one radiologist available to
15 us, and of course he would go on leave from time to 15:22

16 time. Occasionally we would be able to have a
17 substitute. They are never as good because the rapport
18 between somebody you meet once a week is very valuable.
19 But on occasions we couldn't. On those occasions, the
20 dedicated urologist would prepare for the MDT, and one 15:22
21 of us would read out his lines for the rest and try and
22 demonstrate the radiology. Not always successful.

23 MR. HANBURY: Are you aware that system happened at
24 Southern Trust?

25 MR. GILBERT: I'm not aware that it happened. 15:22

26 MR. HANBURY: Right.

27

28 Dr. Hughes, something for you. Pathology reports.

29 There's comment about a safety note mechanism and many

1 MDTs, MDMS have the situation where pathology
2 automatically flag up any unexpected cancer diagnosis
3 and that gets pulled up to the coordinator. How
4 difficult is that to set up? It seems to be a good
5 idea which many MDTs use, but there seemed to be some 15:23
6 resistance to this from the Cancer Services.

7 DR. HUGHES: It is very simple to set up and it is
8 based on SNOMED codes. It's a safety net. It means
9 that cases that are forgotten, they're submitted by
10 pathology. As well as that, they can expedite the 15:23
11 presentation of cases so that they are on for
12 discussion at the earliest time possible. It's simple
13 printouts on the basis of a SNOMED code. I think it
14 had been present in the Southern Trust, but I think
15 they thought it wasn't identifying many additional 15:23
16 cases so they stopped. The idea of a safety net is
17 that it shouldn't be identifying many cases, it is
18 there for the exception.

19 MR. HANBURY: I should have said this refers to Patient
20 8. 15:24

21
22 On a similar theme, Mr. Gilbert, if an unexpected
23 pathology did come over your desk, such as Patient 8,
24 how would you have responded to that?

25 MR. GILBERT: I would have spoken to the MDT 15:24
26 coordinator to add the patient's details to the next
27 MDT.

28 MR. HANBURY: Then it would be discussed and
29 appropriate follow-up?

1 MR. GILBERT: As with all other cases, yes.

2 MR. HANBURY: Dr. Hughes, you've obviously been
3 involved way back in 2010 with centralisation, the
4 early Improving Outcomes Guidance. Did you have from
5 any other Trusts resistance to subspecialisation,
6 giving out the big stuff, as it were?

15:24

7 DR. HUGHES: Yes.

8 MR. HANBURY: How did you handle that and was it
9 successful?

10 DR. HUGHES: Oesophageal cancer, gastric cancer,
11 pancreatic -- sorry, prostate surgery, I think there
12 was genuine resistance because people felt validated by
13 the service they delivered. Part of this was major
14 change. Certainly my own Trust stopped it. While they
15 were rather sad about that, they stopped doing this
16 service because they knew that you needed a critical
17 volume of service in the hands of fewer specialists.

15:25

18
19 I did meet with the Southern Trust in that time and
20 they were slightly more resistant on the basis they
21 were as good as anybody else. That wasn't the
22 argument, the argument was that somebody can only be
23 good if they are doing a sufficient throughput.

15:25

24 I didn't particularly pick up on the fact that that
25 resistance -- I had similar resistance in terms of
26 centralising oesophageal surgery or gastric surgery.
27 I understood it was a process.

15:25

28 MR. HANBURY: Thank you. Last question, national
29 audits. It was a frustration, obviously looking at

1 surgical quality. BAUS, the British Association of
2 urological surgeons, launched national audits in kidney
3 pelvic surgery and complex stone operations. I think
4 the urologists were keen to join this. Then there was
5 a political disengagement, shall we say. What's your 15:26
6 view on that, and did other specialties get round it in
7 some way?

8 DR. HUGHES: Not all the urologists were members of
9 BAUS in the Southern Trust. I think there was an issue
10 about transferring patient data to the United Kingdom 15:26
11 from Northern Ireland because we don't have appropriate
12 legislative cover. I think we would encourage people
13 to collate the data and benchmark the service against
14 BAUS. I don't know if the sharing of information has
15 been resolved yet. Obviously Northern Ireland is a 15:27
16 very small place, and unless it shares data with larger
17 institutions and all of the United Kingdom, you don't
18 get meaningful data and meaningful outcomes.

19 MR. HANBURY: Thank you.

20 No more questions. 15:27

21 CHAIR: Gentlemen, thank you again for coming three
22 days now. We received, as you are aware, a bundle of
23 information from one of the core participants very late
24 in the day on Friday last. That did not give the
25 Inquiry team time to analyse it and look at it in any 15:27
26 meaningful way. I know that you have looked at it but
27 are concerned that you haven't had the opportunity to
28 consider it appropriately or properly.

29

1 Can I ask, we will be considering what is the best way
2 for you to engage with the Inquiry on that material.
3 It may be that we can simply accept a written document
4 from you once you have had the opportunity and time to
5 look at it, or we may, unfortunately, need to call you 15:28
6 back to address it. We are hoping to avoid the latter
7 and go for the former, if we can. If I could ask you
8 to look at it and maybe come back to the Inquiry with
9 whether you feel that you can address it appropriately
10 on paper or not and let us know and we'll take it from 15:28
11 there, please. Thank you.

12
13 Can I just, in light of that, urge all of the core
14 participants that if they wish to share material with
15 the Inquiry - particularly if it is material that they 15:28
16 want a witness to look at - they need to do so in
17 sufficient time to allow counsel to the Inquiry time to
18 look at it. I would remind observe about our protocol,
19 our procedural protocol, that any questions for counsel
20 should be submitted at least seven days in advance of a 15:29
21 witness giving evidence. We do advise the core
22 participants in good time as to who our time tabled
23 witness is going to be, and there should be no reason
24 for people not to meet the requirements of the
25 protocol, please. It is unfair on Inquiry counsel, it 15:29
26 is unfair on the other members of the legal team, and
27 it is certainly unfair on the secretariat having to
28 process information also. So, please, please, in the
29 spirit of collaboration, get things to us quickly if

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

you want us to look at them.

I have been very flexible in terms of extension of time for submission of responses to Section 21s. From here on in, this year is a very tight year in terms of getting through all the work we have to get through. I will not be so flexible. We have the majority of the Section 21 responses in but from here on in, please adhere to any timeframe that is set by the Inquiry.

15:29

Thank you very much, gentlemen, for your time.

15:30

THE INQUIRY ADJOURNED TO 10.00 A.M. ON THURSDAY 26TH
JANUARY 2023