



# Urology Services Inquiry

## Oral Hearing

**Day 68 – Tuesday, 7<sup>th</sup> November 2023**

**Being heard before: Ms Christine Smith KC (Chair)  
Dr Sonia Swart (Panel Member)  
Mr Damian Hanbury (Assessor)**

**Held at: Bradford Court, Belfast**

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

---

**Gwen Malone Stenography Services**

I N D E X

W I T N E S S

P A G E

MR. MATTHEW TYSON

EXAMINED BY MS. McMAHON ..... 3

QUESTIONED BY THE PANEL ..... 69

1 THE INQUIRY RESUMED ON TUESDAY, 7TH DAY OF  
2 NOVEMBER, 2023 AS FOLLOWS:

3  
4 CHAIR: Morning, everyone. Apologies for the delay.  
5 It is Tuesday, though, and we tend to have technical 10:26  
6 difficulties on a Tuesday! So, Ms. McMahon?

7 MS. McMAHON: Good morning. The witness this morning  
8 is Mr. Matthew Tyson and he is going to take the oath.

9  
10 MR. MATTHEW TYSON, HAVING BEEN SWORN, WAS EXAMINED BY 10:26  
11 MS. McMAHON, AS FOLLOWS:

12  
13 1 Q. MS. McMAHON: Mr. Tyson, thank you for coming along to  
14 give evidence to the Inquiry. You are a Consultant  
15 Urologist at Craigavon at the moment and you have 10:26  
16 provided us, helpfully, with a substantive Section 21  
17 statement and also an addendum to that statement, and  
18 I just want to go to those, first of all, so you can  
19 adopt those as your evidence before we move on to the  
20 questions I need to ask you today. 10:27

21  
22 The first statement is 63 of 2023, and it's found at  
23 WIT-42192. And we see your name at the top of that  
24 statement. Date of notice is 7th June 2022, and we'll  
25 find your signature at WIT-42226. And the date at the 10:27  
26 bottom of that, it's signed -- it's typed "Matthew  
27 Tyson", dated 12th August 2022, and do you recognise  
28 that as your statement?

29 A. Yes.

1 2 Q. And do you wish to adopt that as your evidence for the  
2 Inquiry?  
3 A. Yes.  
4 3 Q. The further addendum statement received by us at  
5 WIT-104212 -- and, again, date of notice 7th June 2022 10:28  
6 and your name at the top. Your signature can be found  
7 at WIT-104214, and just typed signature, Matthew Tyson,  
8 dated 3rd November 2023, and do you recognise that as  
9 your addendum statement?  
10 A. Yeah. 10:28  
11 4 Q. And do you wish to adopt that as your evidence?  
12 A. I do.  
13 5 Q. I will come on to your addendum statement shortly, and  
14 we'll read out the relevant parts of that that you've  
15 provided some clarification on your substantive 10:28  
16 statement, and also some additional information, and we  
17 will come to that in due course.  
18  
19 But the context of your evidence is limited, really, to  
20 three distinct periods of time: You spent some time as 10:28  
21 a registrar in Craigavon Urology Department; you then  
22 went back as a consultant for a very short period,  
23 February to July 2019 -- and I think during that time  
24 you also had some annual leave, so it was roughly  
25 a four-month period, taking into account the annual 10:29  
26 leave as well; and then you returned as a consultant in  
27 October 2021. And you are currently in that post,  
28 although you have updated us to say that you have since  
29 handed in your notice and you will be moving on in

1 January 2024. But at current times, you are employed  
2 as a consultant urologist there.

3  
4 So there is some limitations in scope in your evidence,  
5 but you have brought some information and it might be 10:29  
6 helpful for the Panel to hear that. We have heard  
7 a range of information about conditions and procedures  
8 and services and I just want to ask you both some  
9 specific questions, but also, generally, some issues  
10 arising from your experience as a consultant urologist. 10:30  
11

12 I wonder if you could start your evidence by giving us  
13 a potted history of your training and your background  
14 and what you have done and what roles to take you to  
15 your current position? 10:30

16 A. Yeah, sure. So I went to medical school in Wales.  
17 I did my house jobs in Wales. I went to Australia for  
18 a year as an SHO. I returned to do core surgical  
19 training in Wales. I did a year of research and  
20 education fellow in Birmingham. 10:30  
21

22 I then came to Northern Ireland as a urology trainee.  
23 I then got appointed as a consultant in February '19.  
24 I then went in July '19 to take a fellowship in,  
25 mainly, in complex stone management. I returned in 10:30  
26 October '21 to re-take up my position as a consultant.

27 6 Q. So your time as a registrar in 2012/2013 and then  
28 I think again in '15 and '16, what was the total time  
29 you spent as a registrar in urology in Craigavon?

1 A. Two years.

2 7 Q. Two years. Two separate periods of time?

3 A. Two separate periods of time, 2012 to '13, and '15 to  
4 '16.

5 8 Q. Now, in relation to the time as a registrar, you were 10:31  
6 under the supervision of some of the consultants there,  
7 Mr. Young and Mr. O'Brien?

8 A. In 2012 and '13, it would have been Mr. Young and  
9 Mr. O'Brien. In 2015, it would have been Mr. Young and  
10 -- they're all the consultants -- Mr. Glackin, 10:31  
11 Mr. O'Donoghue, Mr. Haynes, as well as Mr. O'Brien.

12 9 Q. So in terms of the learning curve during your time as  
13 a registrar, was it the case that you were working on  
14 an ad hoc basis with the consultants, or were you  
15 actually allocated on a daily basis to different 10:32  
16 consultants? Just give us a flavour of what that was  
17 like?

18 A. So it varied between the two different times. In '12  
19 and '13, it would have been a mix between the  
20 consultants. You've got newly pointed, and Mr. Young 10:32  
21 and Mr. O'Brien. But myself and the other registrar  
22 would have been seen as Mr. Young's or Mr. O'Brien's  
23 registrar for a six-month period each. In the  
24 subsequent time in 2015, it was much more of a mix of  
25 going around all the consultants in the department and 10:32  
26 there were many more at that point.

27 10 Q. So due to the increased numbers, there was a greater  
28 possibility to spend time with other consultants as  
29 well?

1 A. There was, yes.

2 11 Q. And, as a registrar, were you always working under the  
3 supervision of a consultant, or was there autonomy in  
4 your own practice at that point?

5 A. So, the majority of the time, you are assigned to a 10:33  
6 consultant, either in their clinic or their theatre  
7 list. There was autonomy to some degree during  
8 on-call, but there was always a consultant on call  
9 supervising. And there were times doing flexible  
10 cystoscopy lists when you would be the operating 10:33  
11 surgeon, so to speak, but there would always be  
12 oversight, if required, if you needed to call upon  
13 someone.

14 12 Q. And during your time in 2012 and 2015, if I use those 10:33  
15 as shorthand for those two separate periods, did you  
16 feel as a registrar you were well supported?

17 A. Yes.

18 13 Q. The Inquiry has heard evidence from other witnesses of  
19 their different experiences and I just wanted to ask  
20 you did you have any concerns during your time as 10:33  
21 a registrar around any of the care or issues of patient  
22 risk that you might have seen? Anything arise for you?

23 A. The only thing I raised was the staffing issue, and  
24 that was the staffing issue upon the ward and also the  
25 middle grade rota. In 2012, there were mainly just two 10:34  
26 registrars and in a very busy unit. I can't remember  
27 how many there were in '15, but it hadn't really  
28 increased at all. And then by -- if we look at the  
29 period now, there are seven people for a middle grade

1           rota, so you can see that there is a staffing change  
2           from then to now.

3  
4           And then the nursing issue I also had raised regarding  
5           that there were a lot of locum nurses to the wards and, 10:34  
6           therefore, the ability to care for urology patients  
7           with substantive staff knowing the role and always  
8           being there I think was a limiting factor to what could  
9           be how you optimise the service. So you always look at  
10          how should things be. And so I raised that in a -- I 10:35  
11          can't remember which meeting, but I would have raised  
12          that at an audit meeting.

13       14    Q.    In your statement when you raise or draw attention to  
14           some of those concerns around staffing, and I will take  
15           the Panel to what you say around some of those issues, 10:35  
16           it's within the context of the 2019 period of time when  
17           you came back as a consultant. And if we just draw  
18           a line at that at the moment and think about when you  
19           were a registrar -- because, in many respects, you have  
20           a bit of a unique perspective -- you were in and out of 10:35  
21           the unit over a ten-year period and it would be  
22           interesting to get your view on what you thought had  
23           improved or not over the period of time when you came  
24           back and had a look and had a different experience at  
25           different grade as well. Just when you were 10:35  
26           a registrar, did you operate with -- alongside  
27           Mr. Young, Mr. Glackin, Mr. O'Brien and the other  
28           consultants?

29       A.    Yes.



1 15 Q. Did you have any concerns about any of the surgical  
2 functions that you saw being carried out or any of the  
3 operations?  
4 A. No.  
5 16 Q. What was your view of the professional standards of the 10:36  
6 consultants that you worked with in surgery, with staff  
7 -- did you have any experience of any concerns at all?  
8 A. No, I had no concerns.  
9 17 Q. We will come on to look at an issue around Bicalutamide 10:36  
10 50 in a moment and the prescribing of that while you  
11 were a registrar, but I want to just now go to your  
12 statement and look at some of the issues that you have  
13 raised or some of the matters that you address in your  
14 statement that may be of relevance.  
15 10:36  
16 One of them, as you say, was an issue around staffing  
17 and, if we go to your statement at WIT-42201 and if you  
18 go to paragraph 12.1, I will just read the question to  
19 put it in context. And we have asked:  
20 10:37  
21 "Do you think the Urology Services generally were  
22 adequately staffed and properly resourced throughout  
23 your tenure? If not, can you please expand, noting the  
24 deficiencies as you saw them? Did you ever complain  
25 about inadequate staffing? If so, to whom? What did 10:37  
26 you say and what, if anything, was done?"  
27  
28 And in paragraphs 12.1 to 12.4, you say this:  
29

1 "I make these observations regarding the time in  
2 question for the time 24th February 2019 to 16th July  
3 2019 as a urology consultant in the Trust, and times  
4 preceding as a urology trainee rotating through the  
5 Trust.

10:38

6  
7 Urology Services were/are not adequately staffed given  
8 the long waiting list to be seen in clinic or receive  
9 an operation from a consultant's perspective. The  
10 Urology Ward was at times under-staffed from the  
11 perspective of skilled urology nurses, or relying on  
12 agency nurses, and urology patients were often placed  
13 on other non-urology wards, making ward rounds longer.

10:38

14  
15 I remember voicing my concerns regarding the above at  
16 a Urology team meeting with the urology consultants and  
17 urology manager present some time between March 2019  
18 and June 2019. I do not recall the answers given, but  
19 understood/was informed these concerns were known and  
20 management were working on the issues."

10:38

10:38

21  
22 Now, as you say, that's an example of something you  
23 have raised around nursing staff and the Inquiry and  
24 the Panel have heard evidence of the difficulty both  
25 recruiting and retaining staff and the reliance on  
26 agency staff. Was it your experience at all at any  
27 point of any of your varying tenures at Craigavon that  
28 the difficulty with reliance on agency nurses or the  
29 absence of either qualified -- properly

10:39

1 urology-qualified nurses or nurses generally, did you  
2 think that posed a risk to patient care?

3 A. Inevitably, it does, and it's looking at what is the  
4 ideal situation to be in. If you are a patient, you  
5 want to go to a ward where you have staff who are very 10:39  
6 aware of the protocols in place and management of  
7 patients as regards what goes on in a unit. You want  
8 staff who are trained in a way that they are always  
9 there in a service, and that's why you have staff in  
10 a set job. 10:40

11  
12 So having people who are very good come in from certain  
13 locum agencies -- and a lot of them are very good, but  
14 you have to feel for them at times because it was not  
15 their permanent role and they were turning up to fulfil 10:40  
16 a job in a role, and they had to learn and work out,  
17 "Right, how do things work in this department?".

18  
19 So, if you look at an ideal, the ideal is permanent  
20 staff who are there on a regular basis, who understand 10:40  
21 the roles and responsibilities of that job in order to  
22 fulfil the best requirements for those patients.

23 18 Q. And did you get a sense -- by the sense of your  
24 statement, it seems that it wasn't the first time that  
25 the urology consultants and urology manager had heard 10:40  
26 of this issue; it was something, did you feel, that was  
27 ongoing and trying to be addressed?

28 A. Yes, it was an ongoing issue.

29 19 Q. Was there ever an opportunity to -- for you or any

1 other medic to feed into a risk assessment about the  
2 potential harm that that scenario may have been  
3 causing? So, for example, to actually in some way  
4 provide data that might have fortified the position  
5 that there was a patient risk, rather than it just  
6 being on an ad hoc basis? 10:41

7 A. From a viewpoint of standing back and when you go on to  
8 the ward to see what the situation is like, that's why  
9 I raised those points. Any potential issue that could  
10 occur on a ward, you can fill out a Datix form and you 10:41  
11 can once again raise it through the chain of  
12 management. For the very brief time I was there, there  
13 was no incident for me to raise specifically, but it  
14 was -- it's about noting that there can be an issue and  
15 there could be an issue if things continue in the way 10:41  
16 they were. So that's why it was very important to  
17 raise because it's the foresight to saying "Hang on,  
18 something will happen."

19 20 Q. So rather than wait until it does, "Here are my  
20 concerns"?

21 A. Yeah. 10:42

22 21 Q. Were you aware of any other consultant or medic raising  
23 a Datix specifically around staffing? Just in your own  
24 experience, were you aware of that?

25 A. Not that I was aware of, no. 10:42

26 22 Q. I wonder if we could go to your statement at WIT-42205,  
27 paragraphs 24.1 and 24.2? Again, you have mentioned  
28 the staffing issue and I just want to close that point.  
29 So we have asked you about working relationships at

1 Question 24:

2  
3 "What was your view of the working relationships  
4 between nursing and medical staff generally? If you  
5 had any concerns, did you speak to anyone and, if so,  
6 what was done?".

10:42

7  
8 And you say:

9  
10 "There was a good working relationship for the time  
11 period I was there. There was recognition that  
12 staffing levels could be low at times, as discussed  
13 above needing agency nurses, but a determination to do  
14 the best for each patient and maximise what we did  
15 have.

10:42

16  
17 I had no concerns beyond low staffing levels at times,  
18 which management were aware of, and beyond raising the  
19 issue as stated in answer to Question 12..."

10:43

20  
21 -- which we have just looked at. In relation to  
22 working relationships, did you have any -- I know you  
23 said you had no concerns generally, and we will look at  
24 the issue around the CNS nurse and the use of the CNS,  
25 but did you have any sense of any fractured  
26 relationships that might have impacted on patient care  
27 or patient risk at all during any of your times at  
28 Craigavon?

10:43

29 A. Not during the time when I was there. Coming back and

1 reading through all the things that occurred when I was  
2 not there, or not privy to, obviously there appears to  
3 have been some strained relationships, it would appear.  
4 But for the times I was there as a registrar, the unit  
5 appeared a very happy and cohesive place. For the four 10:44  
6 months I was there as a consultant, I was mainly there  
7 at those four months doing complex stone management.  
8 So I was mainly involved with Mr. Young and  
9 Mr. O'Donoghue and, certainly from that perspective,  
10 that part of the team, it was very happy and cohesive, 10:44  
11 and I didn't foresee or hear of anything in the wider  
12 team at that point.

13 23 Q. And at what point did you hear of the wider issues that  
14 are now the subject of the Inquiry?

15 A. Only through and from -- subsequently, from this 10:44  
16 Inquiry.

17 24 Q. So from documents you received from the Inquiry and  
18 from your own knowledge in relation to what you read,  
19 rather than what you knew?

20 A. Yes. Yes. 10:44

21 25 Q. And given that, given the time period that you'd been  
22 in urology at Craigavon, what was your view when you  
23 became aware of the extent of the issues or the breadth  
24 or depth of the issues that seemed to have been ongoing  
25 during your time there? 10:45

26 A. I guess the only way to put is obviously "upsetting",  
27 in a way, and from what appeared and what is at present  
28 a very cohesive team, joining the unit was because the  
29 team was very cohesive and supportive, but to then

1 read, obviously, there's other potential goings-on is  
2 obviously a bit upsetting in that perspective, I would  
3 say.

4 26 Q. well, if I can take one of the examples that has been  
5 well ventilated before the Inquiry, the issue of 10:45  
6 triage, was that something that you were involved in as  
7 a registrar?

8 A. No.

9 27 Q. And, in 2019, when you came back as a consultant, did  
10 you have any -- you obviously were involved in triage 10:46  
11 at that point?

12 A. Yes.

13 28 Q. What was your view of how effective that was in 2019,  
14 the process that you were undertaking as a consultant?

15 A. So, in 2019, we undertook what's known as advanced 10:46  
16 triage. So during your consultant on call week, you  
17 would triage the electronic referrals, as well as the  
18 paper referrals in a timely manner, which meant that by  
19 the end of the week you had a clean ship and everything  
20 was done. And anyone who you thought was going to come 10:46  
21 to immediate harm, you brought them in there and then  
22 or to a Hot Clinic so you could see them during your  
23 week on call. And it was important to have the triage  
24 done for two reasons: One was for patient safety and  
25 governance, but also so that your colleague coming on, 10:46  
26 you don't leave them with a back foot before they're  
27 about to start an on-call week.

28 29 Q. If I could just take you to your statement at WIT-42199  
29 at paragraph 9.2 -- so we're asking about triage:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

"Upon commencing work as a consultant for the Trust in 24th February 2019, I was informed by Mr. Young and Mr. Haynes and Urology Manager, Martina Corrigan, on how to undertake triage of GP referrals, online ECR and paper referrals, and code to appropriate time to be seen. 10:47

In relation to listing patients for theatre, I was informed on what categories each operation type needed to receive in order to be addressed in the appropriate manner. " 10:47

Now, I just want to ask you so that I'm clear on the sentence "code to appropriate time to be seen", is that a referral to the traffic light system of triage or was it explained to you in a different way at all? 10:48

A. In relation to routine, urgent and red flag.

30 Q. And did you have any control over the actual period of time in which a patient might be seen, or was it just within those three categories? 10:48

A. No, there was other controls. So if you thought a patient was going to come to immediate harm or they were at immediate risk, you could bring them in as a hot patient to a Hot Patient Clinic during your on-call week. So there is the ability to find that if you think someone is in immediate danger, to bring them in. But, beyond that, no, routine, urgent and red flag would be seen within those time periods, unless you 10:48



1 clearly state that you feel that maybe there is someone  
2 who needs to come in within a certain period of time  
3 for whatever reason. But you have to then justify that  
4 above all these other patients as well, because there's  
5 lots of patients who are being triaged. And so it's 10:49  
6 about appropriately triaging that patient to the right  
7 category.

8 31 Q. And so that was something that was before a red flag,  
9 someone who actually needed to be seen quicker than  
10 a red-flag referral? 10:49

11 A. Yes.

12 32 Q. Yes. And when you say you had to justify that, are you  
13 saying as a clinician you had to make sure that you  
14 were maintaining a priority, given that everyone -- the  
15 other red flag people weren't in that hot seat, as it 10:49  
16 were?

17 A. Yes.

18 33 Q. Or did you have actually justify that to management in  
19 any way?

20 A. Not to management directly. But it's relating to 10:49  
21 equity of access to a system for the people who are  
22 referred to the service. But it's the ability as  
23 a clinician to say if someone is going to come to  
24 immediate harm or danger, that you bring them in  
25 straightaway. So if you have someone who is referred 10:50  
26 to you in -- they may have an issue that needs to be  
27 seen directly there and then, even perhaps the same  
28 day, and you bring them in as an on-call patient, well,  
29 that happens, and it's about reading the information

1           you have been given from the GP to make a decision upon  
2           that patient upon what you've been given.

3    34   Q.    And the ability to do that, to front-load even before a  
4           red flag, is that something that has always been in  
5           existence or was it something that in 2019 was 10:50  
6           a relatively new approach?

7           A.    I don't know what time they brought it in as regards  
8           the Hot Patient Clinic, but it was there in '19. I  
9           don't know what year they brought it in by.

10   35   Q.    And was it something that was regularly used by other 10:50  
11           consultants as well? Was it something that was  
12           manifestly needed by the simple fact that there was  
13           a Hot Clinic and there were people who needed to be  
14           there?

15           A.    I don't know the data for the other consultants of who 10:51  
16           brought patients in. I can tell you that I utilised  
17           the facility and I continue to utilise that form of  
18           being able to see a patient sooner, if required.

19   36   Q.    And is the Hot Clinic, is that something that's already  
20           facilitated within job plans and it's already 10:51  
21           time-tabled? There's no extra work involved in that,  
22           it's something that has been built into the system?

23           A.    It forms part of the consultant on call week.

24   37   Q.    In the second part of that sentence, in relation to  
25           operations, you said, the second sentence: 10:51  
26  
27           "In relation to listing patients for theatre, I was  
28           informed on what categories each operation type needed  
29           to receive in order to be addressed in the appropriate

1 manner. "

2

3 Is that another type of triage? I just want to  
4 understand what that sentence means so that we are sure  
5 what this system is. 10:52

6 A. It means listing a patient either as the routine and  
7 urgent or a red flag.

8 38 Q. Does that refer to the waiting list for admission or  
9 the waiting list for operations?

10 A. Waiting list for an operation. 10:52

11 39 Q. So the category of priority is attributed to the  
12 patient, rather than the operation -- is there  
13 a distinction in your mind?

14 A. No, it's related to the patient and what the patient  
15 requires. 10:52

16 40 Q. Thank you. Now, you mention about administrative  
17 support at WIT-42203, at paragraph 17.1 and 17.2. And  
18 you refer to the service provided at 17.1:

19

20 "The service provided secretary support to each 10:53  
21 consultant. Audiotypists helped for large volume of  
22 letters dictated, along with administrative staff to  
23 record referrals received.

24

25 In relation to 24th February 2019 and 16th July 2019, 10:53  
26 I received secretarial support from Teresa Loughran for  
27 typing of letters, to book operating lists, to ensure  
28 results were followed up and to allow access for  
29 communication from other specialties, GPs and patients.

1           There were no issues related to this arrangement.  
2           There were also audiotypists to aid the secretarial  
3           workload on typing patients' letters due to the large  
4           volume. "

10:53

6           Now, there has been evidence before the Inquiry of  
7           administrative delays on some issues. The triage,  
8           we've discussed. You didn't do that as a registrar  
9           and, as I understand it, you have no problems with the  
10          triage system as a consultant since you've come back as  
11          well, either in 2019 or currently? 10:54

12          A.    Well, I have no issue in undertaking it and doing it,  
13          no!

14    41    Q.    There's no backlog, from your perspective?

15          A.    No. 10:54

16    42    Q.    Do you understand if there's a backlog at all in triage  
17          in the unit at the moment?

18          A.    No, not for me or the consultants I currently work with  
19          I'm aware of any backlog. Certainly when I take over  
20          from whoever has been on the prior week, the triage is  
21          done and, before I hand over to the next one, the  
22          triage is done. 10:54

23    43    Q.    In relation to dictation from you as a consultant when  
24          you're dictating your letters after clinics, for  
25          example, is that something that you have always done  
26          right away? 10:54

27          A.    Yes.

28    44    Q.    Immediately after seeing your patient or at the end of  
29          the clinic?

1 A. Immediately after seeing a patient in clinic in the  
2 room, I would dictate a letter. And I have a system on  
3 the outcome sheet that I then tick next to the box of  
4 the patient's addressograph to know I've done it.

5 45 Q. And that's done electronically now with the tapes? 10:55

6 A. Yes.

7 46 Q. And in relation to review follow-ups, when you were  
8 back in 2019 did you experience any backlog on reviews  
9 or delays in patients coming back?

10 A. I noted that when I then took a consultant job, that 10:55  
11 the Trust had a long backlog of operating and reviews  
12 to be seen. It was not something you are overly aware  
13 of as a registrar -- you're there to train and you're  
14 there to undertake your service requirement for that  
15 point. It became a different appreciation of a service 10:55  
16 as a consultant and so in the very -- I was only there  
17 for a brief time in '19, but, noting a backlog,  
18 I undertook a number of extra clinics to help the  
19 backlog to try and alleviate the pressure on the lists.

20 47 Q. And, as a registrar, you said you wouldn't have been 10:55  
21 aware of that particular administrative burden, but  
22 when you came back as a consultant were you surprised  
23 by the extent of the backlog, or was it something that  
24 just seemed to be accepted as being there?

25 A. I was -- it's -- in starting a consultant job, it's not 10:56  
26 something you overly want in a way, because you want to  
27 be able to see patients in a timely manner. So it was  
28 something which I was slightly taken aback by the  
29 actual depth of the waiting list, yes. But, in

1 hindsight, I suspect looking over the period of time  
2 which I've been there as the registrar -- from then,  
3 almost ten years prior, it's clearly something that has  
4 accrued over a period of time. And then certainly  
5 coming back in 2021, I came back at the tail-end of 10:56  
6 Covid and, yes, the backlog was considerable at that  
7 point and certainly a bit of a shock.

8 48 Q. And given that you have been there in 2012 and then  
9 back in 2021, what was your general view of the  
10 department and the service overall? Did you think that 10:57  
11 certain areas had got better/certain areas had got  
12 worse? What was your general feeling when you went  
13 back in almost ten years later?

14 A. Well, in 2019 when I saw the waiting lists, I didn't  
15 see it as an insurmountable issue to get over; it was 10:57  
16 a resource issue and could we over-work to get rid of  
17 the backlog, and then could we implement any strategies  
18 to try and prevent that from happening again? So I saw  
19 that in '19 as a challenge, which I think I foresaw we  
20 could achieve and turn around. 10:57

21  
22 Coming to an end of Covid, a 2021 period, where clearly  
23 what had happened during Covid had tipped the whole  
24 system over the edge for urology, that was a different  
25 ball game completely. 10:58

26 49 Q. And when you say it wasn't insurmountable in 2019 and  
27 you've provided some examples of how that might have  
28 been -- things might have been, perhaps, caught up with  
29 at that point, were they discussions that were ongoing

1 in the unit? Were you speaking to others about this?  
2 Were other people saying the same thing as you?

3 A. As a team, I had the opinion that we were working  
4 together to have strategies to reduce how many patients  
5 went on to clinic lists, how we prevented follow-up -- 10:58  
6 and that's the whole idea behind advanced triage,  
7 virtual work. So patients, instead of always coming  
8 back to clinic with results, if they didn't need to  
9 come back and a letter would suffice, it's that sort of  
10 way of working, of what other strategies could you 10:59  
11 implement.

12

13 Another thing we implemented was a virtual sort of  
14 stone meeting, which predates the current GIRFT report.  
15 That is now part of the GIRFT report -- not because of 10:59  
16 what we did, but we just pre-empted the direction of  
17 travel at that point. So we instigated a stone meeting  
18 and that meant instead of all the stone patients having  
19 to all come to a clinic, they would be seen in a stone  
20 meeting each week. This is currently ongoing. We see 10:59  
21 between 30 to 50 patients on a Tuesday afternoon in  
22 that meeting. Traditionally, those patients would have  
23 all gone to a clinic, which meant your backlog would  
24 have been in months to years. If you now present as  
25 a stone patient, you will be seen from that meeting 10:59  
26 within the week or the following week. So you've  
27 turned around from months to years, to the same week or  
28 the following week. And the team were a runner-up for  
29 the Quality Improvement Awards in Manchester for that

1 work. So, going back to the question of did I foresee  
2 a turnaround by instigating these sort of strategies,  
3 yes, I did.

4 50 Q. You've given me a lot of information, so I will try and  
5 unpick some of the -- 11:00

6 A. Sorry!

7 51 Q. That's okay, it's all very relevant. But we'll just  
8 start at the end and you've mentioned about the award  
9 and the model, I think, the stone meeting model, if we  
10 can call it that. That seems to have been very 11:00  
11 effective in reducing turn around times. Is that  
12 a model that can be read across other treatments?

13 A. Yes, definitely.

14 52 Q. And do you know if it has been sought to be adopted  
15 across other treatments by the Trust, either this Trust 11:00  
16 or any trust?

17 A. Maybe not in -- not currently in this Trust or other  
18 Trusts that I'm aware of, but it's a model that  
19 I suspect is probably used by other specialties. But  
20 it's the wider picture of Northern Ireland of how we 11:01  
21 could restructure, knowing we have five Trusts and  
22 should we narrow down to one.

23 53 Q. Well, just on the more micro level of the actual  
24 meeting and the way in which that seems to have been  
25 very effective in reducing waiting times, was it 11:01  
26 a costly model to introduce or a labour-intensive  
27 model, or is there something about it that would  
28 perhaps make managers pause before seeking to roll it  
29 out more broadly?



1 A. Well, one of the reasons we were a runner-up for the  
2 Quality Improvement Awards was because we demonstrated  
3 a significant cost saving in undertaking this method of  
4 working, and also patients from -- were more satisfied  
5 in having direct communication very soon after 11:01  
6 presenting with their stone disease. So, from  
7 a patient perspective, from a cost perspective, from an  
8 efficiency, from a safety, compared to waiting on  
9 a long list to be seen in clinic, it's a bit of a  
10 no-brainer. And lots of departments now in the UK do 11:02  
11 work in this manner for stone meetings, and it's  
12 a model which we developed in part from visiting the  
13 Scottish stone centre and recognising the virtual ways  
14 that they worked, and then implementing some of their  
15 strategies in order to aid the people for the Southern 11:02  
16 Trust, but also looking at the bigger picture for  
17 equity in the whole of the region.

18 54 Q. I may be struggling to find a downside that may not  
19 exist, but I suppose the broader question is: Given its  
20 success and cost-effective patient risk reduction, 11:02  
21 better outcomes for patients, less revolving door,  
22 I presume, for patients being re-admitted, which is  
23 a big factor, did managers sit down with you and others  
24 and say "This model works -- how can we adopt this for  
25 other specialties and other parts of urology itself?"? 11:03

26 A. Not that conversation, no.

27 55 Q. When you talk about 2019 and saying, just to go back  
28 slightly, the waiting list not insurmountable, you have  
29 come in at that time, I suppose, with fresh eyes.

1 other consultants were already in post. Did you think  
2 that your opinion that it was not insurmountable was  
3 informed by the fact that you were coming and knew  
4 again, or did you just simply walk in and these  
5 conversations were already ongoing of "This is not 11:03  
6 insurmountable, we can catch up"?

7 A. It's hard to think back to say whether the conversation  
8 was already ongoing. I suspect they may -- I honestly  
9 couldn't reliably comment on were they already ongoing.

10 56 Q. Well, some of the suggestions that you've made about 11:03  
11 what could have been done about resource and  
12 allocation, for example, were they conversations that  
13 were happening when you arrived or did you introduce  
14 some of these ideas as potential remedies?

15 A. Well, certainly the stone conversation, I had had prior 11:04  
16 with Mr. Young and he also helped foresee it.  
17 Mr. Haynes was very helpful in that, in helping out in  
18 how we redevelop this as well. But beyond the rest of  
19 it, other parts beyond my control, no. I mean, I'm  
20 very much, I'm a complex stone surgeon, so, from my 11:04  
21 aspect of the service, I can comment reliably on that  
22 part, but I would struggle at this point to comment  
23 reliably on those other parts in 2019.

24 57 Q. I suppose, the question is aimed more at whether there 11:04  
25 was a collective discussion among consultants around  
26 a strategy to try and address what, at that point, were  
27 already perhaps high and rising waiting lists; was  
28 there a sense that people were chatting about this,  
29 whatever their specialty, and saying "we can get on top

1 of this if we do X, Y and Z" -- do you have any  
2 recollection of those conversations?

3 A. Only as regards the advanced triage perspective and how  
4 we don't bring all patients back to follow-up reviews.  
5 Mr. Haynes was a big champion upon making sure that 11:05  
6 patients who could have their follow-up virtually as  
7 regards their results or their ongoing follow-up for  
8 any particular reason, that we did that in a virtual  
9 way. So, from that perspective, I can remember from  
10 that department... 11:05

11 58 Q. Now, you have mentioned that you felt very -- felt  
12 supported during your time in Craigavon at WIT-42214.  
13 And this is when you went back as -- and you have  
14 already said as a registrar you felt supported, but  
15 this is when you went back as a consultant, 46.1. We 11:05  
16 have asked you about support, and you said:

17  
18 "I did feel supported. Mr. Young was an excellent  
19 mentor and, starting as a new consultant in February  
20 24th 2019, he was also either at hand or a telephone 11:06  
21 away for how any part of the service functioned or any  
22 questions a new consultant may have. Martina Corrigan,  
23 as Head of Service, had an open door policy, making the  
24 team feel supported, and I believe was championing the  
25 need to reduce the Trust waiting times, especially for 11:06  
26 routine urology services. "

27  
28 So when you came back as a consultant, you felt that  
29 there was a safety net, as such, for you in this new

1 post?

2 A. Yes, it's one of the reasons I decided to take the job.  
3 It's the people, if you look, who you're going to work  
4 with -- will they see how you want to develop as  
5 a surgeon and will they support your strategy or the 11:06  
6 way you wish to move forward, and that's one of the  
7 reasons why I took the job in the Trust.

8 59 Q. I had referred earlier on to the cancer nurses and I  
9 don't think you were particularly involved in that  
10 role; the CNS wasn't something that you had particular 11:07  
11 involvement with?

12 A. So, the CNS I had particular involvement with from  
13 October 2021, and that was only from a period of time  
14 when I came back -- because of the low consultant  
15 numbers, I was involved in the MDM up until July 2023 11:07  
16 to help out. So, from that perspective, I then did see  
17 cancer patients and the CNS then is a vital role, who  
18 I always insisted to be present at the clinic  
19 appointments, as they are the point of contact for  
20 those patients. 11:08

21 60 Q. And did you always find that the capacity to have a CNS  
22 available for you was met? were the numbers good?

23 A. There were only a couple of times when there was no CNS  
24 present, and that was either because they were away  
25 doing another role, potentially, or one time someone 11:08  
26 was unwell. So, at that point, it's very important  
27 that I copy them into the correspondence of the letter  
28 from the appointment, and also provided the patient  
29 with their contact details and I asked the CNS to

1 contact that patient following the appointment.

2 61 Q. You've mentioned MDMs as well. It wasn't something  
3 that was routinely part -- I think you had the stone  
4 meeting, rather than MDM on a weekly basis?

5 A. Yes. 11:08

6 62 Q. But you did attend some MDMs. What was the time period  
7 again for --

8 A. From the end, say, October 2021 until July 2023.

9 63 Q. And what was your view of, when you were attending  
10 MDMs, what was your view of the issue around attendance 11:08  
11 of both consultant urologists and other specialties?

12 A. The majority of the time, very good, but there were  
13 times when a meeting would have to be potentially  
14 cancelled if there was not enough consultant urologists  
15 present. Or, at times, if there was no Radiology 11:09  
16 support, then any decisions for Radiology or scans to  
17 be reviewed, we then had to roll those patients over --  
18 and in incredibly rare instance if there was no  
19 pathologist or oncologist present. But the times I was  
20 there, I would say it wasn't the majority of the time; 11:09  
21 it was very much the minority, but it still did occur.

22 64 Q. And when you say roll patients over, was that the delay  
23 to the next meeting for discussion?

24 A. That was delay to the next meeting, yes.

25 65 Q. And they were usually picked up at that meeting -- 11:09  
26 would that have been your experience, that there wasn't  
27 a further delay by the absence of quoracy over a longer  
28 period?

29 A. No.

1 66 Q. I wonder if we could scroll down to paragraph 68.1?  
2 Sorry, I don't have the correct reference. We have  
3 asked you at paragraph -- Question 68:

4  
5 "What do you consider the learning to have been from 11:10  
6 a governance perspective regarding the issues of  
7 concern within Urology Services?"

8  
9 And you have already told us you had no concerns around  
10 any of the consultants, but this is your answer to that 11:10  
11 -- you say:

12  
13 "Learning as to the administrative and governance  
14 processes, I note these have been looked into and the  
15 process made more robust in relation to a referral and 11:11  
16 recording of cancer MDM. I note a new role has been  
17 created for cancer MDT administrator to focus on audit  
18 of MDT outcomes, which should identify any deviation  
19 from agreed actions for patients."

20 11:11  
21 Now, just in relation to that issue about deviation  
22 from agreed actions following MDMs, was it ever your  
23 experience that that was something that happened, that  
24 there was a deviation?

25 A. No, not until I have read the Urology Inquiry 11:11  
26 documentation.

27 67 Q. And in your experience of MDM attendance both during  
28 that particular period -- I know it's late on in our  
29 time, in our timeline, but what was the process or what

1 did you understand to be the process or proper  
2 procedure, if there was to be a deviation from  
3 a previously agreed MDM proposed plan?

4 A. well, it's paramount that if anyone deviates from  
5 a plan that's been discussed amongst a large group of 11:12  
6 experts, that that should be represented. You can't  
7 single-mindedly go off on a deviation from it. And so  
8 I would expect anyone who had then subsequently seen  
9 a patient who then the plan could potentially change,  
10 to represent that patient. 11:12

11 68 Q. So, for example, if an agreed plan was a certain form  
12 of treatment and the clinician then subsequently  
13 performed some tests and they came back that may have  
14 changed his view as to the appropriateness of that  
15 treatment, rather than just then make that decision, is 11:12  
16 it the expectation currently, or has it always been in  
17 your mind, that that should come back to the MDM for  
18 discussion?

19 A. It should have come back to the MDM for discussion and  
20 that's the way I would view it from an obvious 11:12  
21 standpoint of you've gone to a meeting to make a plan,  
22 you've gone away, something's changed -- well, you  
23 bring it back.

24 69 Q. And within that context, is it your view that the MDM  
25 plan is a proposed one, based on what is presented at 11:13  
26 the meeting at that point, but that it should always  
27 come back for collective endorsement?

28 A. If the plan is going to change beyond the proposed  
29 treatment or plan to something completely different,

1 then it has to be re-presented.

2 70 Q. Is there any -- is there another perspective on that,  
3 that the MDM is a recommendation that the clinician  
4 then discusses with the patient and, together, they  
5 then decide what the best outcome is, given the 11:13  
6 patient's views?

7 A. Completely. So it's patient-centred care and we can  
8 only do recommendations to patients. But if a patient  
9 or a clinician then decide to go along a completely  
10 different path, it needs to be brought back because the 11:14  
11 reason being is if the patient decides on a different  
12 route, is there an alternative option which may even be  
13 better or enhanced, even if they don't want to go  
14 a recommendation. So it's not about just accepting  
15 "Okay, that's fine, go that way" -- it's about bringing 11:14  
16 back and going "well, they want to do this -- what does  
17 everyone think? They want to do it, fine, but can we  
18 recommend anything else as well?". So it's the ability  
19 to bring back to discuss for the benefit of that  
20 patient. But, fundamentally, it's the patient's 11:14  
21 decision.

22 71 Q. So it's drawing on the expertise of the other members  
23 of the MDM. So, for example, if a patient doesn't want  
24 a proposed form of treatment because of side effects  
25 and that's brought back, an oncologist may say "well, 11:14  
26 actually, here's another option -- if that's the worry  
27 for the patient, this may negate that worry" -- is that  
28 an example of what you're saying would be the benefit?

29 A. Completely.



1 72 Q. If a patient refuses all treatment that is being  
2 offered or suggested or recommended by the MDM, would  
3 that be something that you would anticipate being  
4 brought back for discussion or is that something the  
5 clinician can give consent about at the appointment 11:15  
6 with the patient and leave that as it is?

7 A. It would vary upon a case-by-case basis, potentially,  
8 but the majority of the examples would probably be that  
9 you should bring the patient back to document for the  
10 meeting that the patient has decided upon this form so 11:15  
11 everyone is aware. And, again, it's: Does that  
12 patient require further consult, even with a different  
13 specialty? So once again, if they wish to decline and  
14 go along that route, I personally would still bring  
15 them back to notify in case anyone else would be of 11:15  
16 benefit in seeing that patient -- because it may not  
17 just be a urologist; it may be an oncologist, it may be  
18 somebody else.

19 73 Q. So the MDM presents a potential for an ongoing  
20 conversation about patient care? 11:16

21 A. Yeah, and which direction that patient, who may have  
22 decided to do something else, may wish to go into. So  
23 it may be to bring you back to present to the  
24 radiologists, the clinical oncologists, the medical  
25 oncologists, the palliative team. 11:16

26 74 Q. I had asked you about CNS nurses and I know your  
27 experience of that is very limited, and I think your  
28 knowledge of any concerns around that is from what you  
29 have read about the Inquiry, rather than any of your

1 own experience, is that right?

2 A. That's right, yes, yes.

3 75 Q. There is an e-mail where you've asked for one of the  
4 nurses to take on more responsibility. It's  
5 non-contentious, but it's an example of you seeking to 11:16  
6 expand the capacity and the, I suppose, turnover for  
7 other members of staff. And if we look at that at  
8 WIT-33371 -- and the nurse in question is Jason Young.  
9 This is an e-mail from you to Wendy Clayton at 4th May  
10 2022, so fairly recently, and you have copied in -- and 11:17  
11 I just want to use this as an example of you suggesting  
12 a way in which very highly qualified nurses, which  
13 seemed to have been the case for urology nurses in  
14 Craigavon, may be utilised in another way where you  
15 have made a suggestion, and I just want to explore 11:17  
16 where that may have ended up. You say:  
17  
18 "Hi ,  
19  
20 I have spoken to Jason, who is keen to increase his 11:17  
21 role in the stone side of the team. I would propose he  
22 does a session each morning and we will set up  
23 a pathway re:  
24  
25 1. Ureteric stones for the conservative management 11:17  
26 route. This would allow us to be more towards the NICE  
27 and EAU Guidelines, in having patients' renal function  
28 checked, as well as calcium and urine as already done,  
29 as well as we could book the follow-up imaging and

1 discharge if suitable and stone passed along with  
2 prevention advice for suitable patients.

3  
4 2. To include the follow-up at present to ensure  
5 ureteric stents taken out at home by patients. In the 11:18  
6 long run, this should be a more automated approach.

7  
8 3. Follow-up of long-term not highest risk patients,  
9 they should come to me - cystine spinal single kidneys,  
10 abnormal or altered anatomy etc - and short-term with 11:18  
11 view of discharge if stable stone formers, including  
12 small, unchanged stones, discharged with advice.

13  
14 Would be great if Jason had an ECR account to book this  
15 high volume of work under that myself, or myself or 11:18  
16 John, in our name, that we could provide oversight to  
17 that is separate from all our other results so I don't  
18 end up doing the work for Jason when I sign all the  
19 results off. I would like to make a website pathway  
20 for the regional ESWL referral only from Urology teams 11:19  
21 in the region for direct booking onto the service and  
22 then managed by the Radiology team.

23  
24 The ESWL service, I am very keen to have day-to-day  
25 running by Radiology and, given our regional service, 11:19  
26 a Band 8 for the centre would be suitable, given it  
27 would be the Northern Irish ESWL centre at this point.

28  
29 This would then also include the ED teams in the region

1 for referral to stone MDM as per Girft report pathway,  
2 and then a more robust pathway, as the paper form means  
3 some are not filled out fully. A meeting with IT would  
4 be great.

5  
6 Thanks,  
7 Matt."

8  
9 There's a lot of detail in that, but I wanted to bring  
10 that to the Panel's attention as an indication of could 11:19  
11 I call that proactive, pre-emptive management of  
12 workload?

13 A. Yes.

14 76 Q. And appropriately focused delegation, perhaps, to allow  
15 you to focus on the patients that need your attention 11:20  
16 and allow both the clinical and administrative issues  
17 around other patients to be dealt with by, in this  
18 case, Mr. Young, Jason young?

19 A. Jason Young.

20 77 Q. Yeah. Now, it seems that this is a very focused e-mail 11:20  
21 to streamline both the service and the use of staff  
22 more appropriately, and we will see the reply of wendy  
23 clayton just above at the blue text at the top. She  
24 then on 4th May 2022, after this e-mail, sends to Mark  
25 Haynes: 11:20

26  
27 "Mark,

28  
29 Can we discuss at our next one-to-one meeting please?"

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

I am just wondering if there was an update on that, if there was any outcome of those suggestions or what happened next?

A. Okay, it's probably best if I take them one by one then because there's a lot in the e-mail. So the first one regarding Jason Young -- so, it's the ability of a service to divide care to the most suitable clinician. So Jason Young, as a nurse specialist, his role, part of his role for a stone team is the conservative management of the low risk ureteric stones to ensure those patients have their imaging organised at the right point.

But the main point of this was renal functions and that's why I refer to the guidelines -- is if you have a ureteric stone, you should have a periodic renal function checked to ensure it's not declining when you're in a conservative route. So that then was actioned and Jason took up that role. So the outcome of that was Jason took up that role.

Number 2, "To include follow-up at present to ensure ureteric stents are taken out at home." So I am an advocate of not putting in stents unless really required and, if they are put in, can these be taken out by the patient at home with a stent on a string? So for the majority of times when I was doing ureteroscopy in laser cases in, say, Daisy Hill or

1 Lagan valley, if suitable, which is the majority of  
2 patients, if they required a stent, it goes on a string  
3 and an information leaflet to patients to say how you  
4 take that stent out at home. And then the follow-up of  
5 that is Jason Young -- also his role would telephone 11:22  
6 the patient to ensure that stent has been removed --  
7 from a perspective to document, it's been removed, so  
8 we don't end up with stents in for long periods of  
9 time. There should be a more automated approach. It's  
10 can we develop -- we're in 2023 -- is there a better 11:23  
11 way to show that a patient has removed the stent?  
12 Could they take a picture and send it on an app to say  
13 "This is my stent, I've taken it out", rather than  
14 Jason Young phoning them up. It's saying we need to  
15 move and look towards the fact we're in 2023. That's 11:23  
16 still a project in development, because we don't have  
17 the resources to undertake that technology move, which  
18 would free up Jason from having to call someone.  
19  
20 Number 3, "Follow-Up of Long-term..." -- so this is 11:23  
21 once again me saying, as a complex stone surgeon, you  
22 want me to see the toughest cases, the patients who are  
23 going to come to harm from recurrent stones, and it's  
24 trying to show that in splitting the work into the  
25 right silo to see the right person, I can concentrate 11:23  
26 on making sure that the highest risk people, I see, and  
27 my time then is looking at the real complex cases. And  
28 this then develops into what's then known as a complex  
29 stone unit and that's how, in Northern Ireland, we're

1 moving to a complex stone unit model where there will  
2 be in the Southern Trust -- and hopefully from the  
3 start of some time in 2024 we will move to that model.  
4 And that's in negotiation with the Civil Service, with  
5 David McCormack from the regional meetings each month, 11:24  
6 that we have developed that model. So that's looking  
7 to the future to say: How do we as an entire region  
8 have equity for Northern Ireland? So that's number 3.

9  
10 The next paragraph then is the Jason to take 11:24  
11 responsibility for the work he does -- so to make sure  
12 he signs off to say "I've signed off those renal  
13 function tests -- they're abnormal", or to say "Hang on  
14 a minute, they're abnormal, I'd better bring it to the  
15 attention of the consultant." 11:25

16  
17 The following paragraph then is regional ESWL. So  
18 Northern Ireland now has a regional ESWL centre, which  
19 started a few months ago, and that's, once again, me  
20 looking at how is the day-to-day management of 11:25  
21 a regional service best delivered. Yes, I have  
22 oversight and I have helped to develop the actual  
23 centre and I'm available, but the day-to-day running  
24 has to be the up-skilling of the staff who will provide  
25 those treatments -- in this case, it's the 11:25  
26 radiographers -- and up-skilling of them and them  
27 having oversight to a service which they are  
28 predominantly delivering the treatment, whereas urology  
29 obviously books to the ESWL service and we have

1 oversight of it and we do run it, but it's in  
2 combination with Radiology as well, with the  
3 radiographers. So that's me stating that we need  
4 a proper remuneration to a radiographer to run  
5 a regional service, so it works. 11:26

6 78 Q. And was it a mixed success in some of the suggestions  
7 or was -- what was the outcome of your suggestions?

8 A. So to run through them again -- number 1, I still have  
9 advocated there needs to be at least two nurse  
10 specialists for stones to successfully run the volume 11:26  
11 of patients that come through it. We currently don't  
12 have a full-time nurse specialist for that role.  
13 Jason's time is also split into the lower urinary tract  
14 symptom clinic as well. So for the model which I would  
15 propose for the safety and the efficacy and the 11:27  
16 governance and the best model for patients, you need  
17 two stone nurses for that service. So that's something  
18 which I've advocated and I think the service needs, but  
19 we don't have two at present.

20  
21 To number 2, I know my colleagues have all moved more 11:27  
22 towards putting stents on strings. The automated  
23 approach is something which, until we can be provided  
24 with the correct technology to achieve that or  
25 resources to undertake that, that won't happen. 11:27  
26

27 Number 3, my clinics are mainly made up of the highest  
28 risk patients, but that's based on also the fact that  
29 I need to see the highest risk patients because they



1 are more likely to come to harm.

2  
3 And then the regional centre, as I said, is now  
4 a regional centre and it's probably also important to  
5 note, because the team worked hard on that, that they 11:28  
6 -- that we have been awarded, for the quality  
7 improvement and the process we've put in place, an  
8 award from the Civil Service for -- and the Department  
9 of Health for setting up the regional centre and the  
10 model which we created. 11:28

11 79 Q. So, in general terms, it's a mixed bag of results.  
12 Some of the things you've suggested are pragmatic and  
13 practical and achievable in the short term. Some are  
14 more long-term and some are visionary in some respects  
15 of what, hopefully, will happen in the long-term? 11:28

16 A. Yeah, but I will say the staffing issue is achievable.  
17 You just have to staff the unit properly. You need two  
18 nurse specialists. We don't have two nurse  
19 specialists.

20 80 Q. And did anyone meet with you after this e-mail? Did 11:28  
21 Mark Haynes come and speak to you or Wendy Clayton or  
22 was there a follow-up meeting about some of the  
23 suggestions? What do the suggestions around improved  
24 governance actually look like at your level? What  
25 happens after this e-mail? 11:29

26 A. So following on from this e-mail, I met regularly with  
27 Mark Haynes and Wendy. Mark Haynes and Wendy Clayton  
28 have been very big advocates and supporters of this  
29 model, and it's -- without their help and without their

1 knowing who the stakeholders are in order for this to  
2 be achieved, without them then it would me be having  
3 conversations with myself.

4 MS. McMAHON: Chair, I wonder if that would be  
5 a convenient time to take a break? 11:29

6 CHAIR: It's now half past eleven. We will come back  
7 at quarter to 12.

8  
9 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED, AS FOLLOWS:

10  
11 CHAIR: Thank you, everyone. 11:36

12 81 Q. MS. McMAHON: Mr. Tyson, I just want to go back to your  
13 addendum statement. I said I would come back to it and  
14 I just want to go into it at this point and read some  
15 of it into the record. It's at WIT-104212. And I just 11:47  
16 want to read the first five paragraphs. You start at  
17 paragraph 1:

18  
19 "I commenced my employment as a consultant with the  
20 Southern Trust on Monday, 25th February 2019, and not 11:47  
21 Sunday, 24th February 2019."

22  
23 And then you give us a list of paragraphs that require  
24 amendments. At paragraph 2, you say:

25  
26 "At paragraph 14.2, WIT-42202, I have stated 'Low 11:48  
27 staffing, however, from a nursing and doctor  
28 perspective leads to a tired and stressed workforce and  
29 increases the probability of things going wrong from

1 a clinical perspective' . . . "

2  
3 -- and you've told us that there's just an error in  
4 typo -- it should be "tired". At paragraph 3, you say:

5  
6 "At paragraph 66.3, at WIT-42222, I have stated 'I have  
7 been made aware that there was administrative issues of  
8 triage not being returned in a timely manner and that  
9 the administration team now ensures that they have  
10 accounted for all referrals and that the triaging  
11 doctor returns the outcomes in a timely manner.'

12 This should state 'I have been made aware that there  
13 were administrative issues of triage not being returned  
14 in a timely manner not related to myself and that the  
15 administration team now ensures they have accounted for  
16 all referrals and that the triaging doctor returns the  
17 outcomes in a timely manner.' "

18  
19 You've given evidence on that as well.

20  
21 You say at paragraph 4:

22  
23 "Upon review of my witness disclosure bundle, I have  
24 noted at WIT-13114 that Mr. Carroll has stated that I  
25 was the Standards and Guidelines Lead. In relation to  
26 this reference by Ronan Carroll, I would say  
27 as follows: I was the Standards and Guidelines Lead  
28 for benign urology. The cancer-related guidelines were  
29 incorporated into the roles of Mr. Glackin and

1 Mr. Haynes for their specialist roles with Cancer  
2 Services and the cancer MDM. I undertook my role from  
3 24th October 2021 until July 2023. The role was for  
4 mainly urology stone-related guidelines, to help  
5 transform the stone pathways for the SHSCT and  
6 development of regional ESWL stone service. "

11:50

7  
8 Just stopping there, in relation to that role,  
9 Standards and Guidelines, you've mentioned that in your  
10 e-mail about NICE and the EAU Guidelines as well, and  
11 you are clarifying at this paragraph that it was for  
12 non-cancer in relation to your development of the stone  
13 service?

11:50

14 A. Yes.

15 82 Q. At paragraph 5, you say:

11:50

16  
17 "Upon review of my attendance record for MDMs from  
18 January 2022 until May 2022, WIT-24251, I would make  
19 the following comment: Attendance at MDM was affected  
20 by annual leave, birth of my son, occasional elective  
21 theatre lists, and a possible virtual attendance  
22 episode not recorded. I am no longer part of the  
23 cancer MDM due to my subspecialist role and development  
24 of regional stone services. "

11:50

25  
26 Now, before we move on to paragraph 6, I just want to  
27 take the Panel to two pieces of documentation, to give  
28 them context for this. The first one could be found at  
29 PAT-001698. And for the purposes of the cipher list,

11:51

1           it refers to Patient 82. This is an operation note.  
2           we'll see the hospital, Craigavon, and the operation  
3           performed. Is that your writing?

4           A.    No.

5   83   Q.    No. You didn't fill in the operation note? 11:51

6           A.    No.

7   84   Q.    who fills that in?

8           A.    well, this is a -- I am a registrar here, as a first  
9           year registrar -- this is Aidan O'Brien doing the  
10          operation note. He is my supervisor, I am the trainee. 11:52  
11          I am performing this procedure, which is injection of  
12          botulinum toxin into a patient's bladder who has  
13          urodynamic proven detrusor overactivity.

14   85   Q.    Thank you for filling that background in -- it saves me  
15          trying to struggle with the pronunciation and the 11:52  
16          writing! But the date on this is 29/5/2013, so it's  
17          during your registrar time. The surgeon is down as  
18          Matthew Tyson, as you've said you've performed that.  
19          And if we just go to the bottom of the operation note,  
20          we will see the -- Mr. O'Brien has signed as a surgeon. 11:52  
21          Is that because of the supervisory nature? Is that the  
22          process? Just so we understand the process, you were  
23          doing this under supervision?

24          A.    So, on the top left-hand side of the page, it's my name  
25          is the operating surgeon. Aidan O'Brien has signed it 11:52  
26          as the signature of writing the operation note.

27   86   Q.    And just for completeness, the other piece of  
28          documentation that's going to be referred to when  
29          I read out the section of Mr. Tyson's addendum

1 statement is at PAT-001769. And if we go to  
2 PAT-001769, so this is a discharge letter. Consultant  
3 Urologist at the top, Mr. O'Brien, and the GP's name.  
4 All of the information has been redacted. We can see  
5 it's Patient 82. The date of admission was 29th May 11:54  
6 2013, which we saw on the previous letter. And the  
7 procedure, which you've just explained, is marked in  
8 the table of details. So the body of the letter says:  
9  
10 "Patient 82 11:54  
11  
12 Above operation was undertaken in the day surgery unit  
13 and he was discharged home the same day. I know the  
14 gentleman has a background history of detrusor muscle  
15 overactivity, as well as prostatic carcinoma. I know 11:54  
16 the gentleman is on an antigen blockade and I believe  
17 he currently takes bicalutamide 50 mg once a day and  
18 tamoxifen 10 mg daily. I note his latest PSA is  
19 0.14 ng/ml on 1st March 2013. He appears to have this  
20 well-controlled since 2011. 11:54  
21  
22 Many thanks.  
23 Yours sincerely..."  
24  
25 -- and then your name is typed in as "Mr. Matthew 11:55  
26 Tyson, Urology Registrar to Mr. Aidan O'Brien,  
27 Consultant Urologist." And if we just move down again,  
28 please, and we'll see the date that's dictated is 23rd  
29 June 2013, and typed two days later on 25th June, just

1 a month since the date of the procedure which was  
2 carried out on 29th May 2013.

3  
4 Now, they are the operation notes and the discharge  
5 letter as background, and then I will read paragraph 6 11:55  
6 of your addendum statement -- and we have provided you  
7 with this information, and you say at paragraph 6:

8  
9 "Upon review of Patient 82's notes and records and  
10 specifically the discharge letter at PAT..." -- 11:55

11  
12 CHAIR: Sorry to interrupt, but can we just have that  
13 up on the screen then again, please?

14 MS. McMAHON: My apologies. It's WIT-104213.

15 CHAIR: Thank you. 11:56

16 87 Q. MS. McMAHON: Apologies, Chair. Paragraph 6. So, you  
17 say:

18  
19 "Upon review of Patient 82's notes and records and  
20 specifically the discharge letter at PAT-001769, 11:56  
21 I would like to make the following comments:

22  
23 I was involved in this case from the perspective of  
24 a first year urology trainee in 2013, undertaking  
25 a supervised injection of intravesical botox into the 11:56  
26 bladder for treatment of bladder storage symptoms under  
27 Mr. O'Brien. I note a written discharge from  
28 Mr. O'Brien was provided to the patient and GP upon  
29 discharge from the procedure.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

A further dictated discharge was provided by myself for the procedure as a typed letter. My typed letter states 'I note the patient to be on 50 mgs of bicalutamide and tamoxifen', which will be from reading the paper discharge summary. My role was to provide a discharge summary for the procedure of intravesical botox to the bladder undertaken as a first year urology trainee. The perceived delay in dictation may relate to the time it took the notes to arrive to Mr. O'Brien's secretary's office for dictation, possible annual leave, on call commitment, or the date dictated recorded on the letter may also be inaccurate. This was done at the time on a tape-recorded dictaphone and it was the role of the registrar to provide dictated discharge letters for inpatient activity, both acute and elective admissions.

Current practice is for a dictated discharge to be undertaken immediately following operation, most commonly by the Consultant Urologist via digital dictation software. Further inpatient discharge is generated by the foundation doctor, but with oversight of the Urology team."

And I will just finish the extract from your addendum -- your final paragraph says:



1 "Finally, I would like to state that I handed in my  
2 notice on 25th October 2023 due to my wife needing to  
3 relocate for work and, thus, for family reasons, I will  
4 be leaving my employment at the Southern Trust on 18th  
5 January 2023."

11:58

6  
7 So if we just go back to the Patient 82, the reference  
8 to that, just generally in relation to Bicalutamide 50,  
9 which is, as you know, the reason for bringing you to  
10 these documents, is that something that you prescribe  
11 as a clinician?

11:58

12 A. No.

13 88 Q. Have you ever --

14 A. Not as a monotherapy.

15 89 Q. Have you prescribed it in other forms?

11:58

16 A. To prevent a tumour flare, I would prescribe it in  
17 instigating an LHRH agonist for 28 days.

18 90 Q. So as a combined therapy?

19 A. As a combined therapy, for a short duration of time.

20 91 Q. And do you prescribe Bicalutamide 150 as part of your  
21 practice at all?

11:59

22 A. Not in my practice, no.

23 92 Q. Are there any circumstances in which you would  
24 prescribe Bicalutamide 50 as a monotherapy?

25 A. No.

11:59

26 93 Q. Just generally in relation to the prescription of  
27 medication in a way that is not as per the licence  
28 purpose for both the dose and the drug, have you ever  
29 had to step off licence in your own practice in order

1 to accommodate the certain presentation of a patient  
2 and prescribe something that's not strictly on licence?  
3 A. Well, strictly speaking, tamsulosin does not have  
4 a licence for stone-related -- for ureteric stones.  
5 And in urology practice, we have moved away from 12:00  
6 everyone having a prescription potentially of  
7 tamsulosin for ureteric stone. It's not a licensed  
8 indication per se. It is recognised in the literature  
9 that there are certain events, such as distal ureteric  
10 stones or post ESWEL, that may be of benefit, so from 12:00  
11 that relation we have at times prescribed tamsulosin.  
12 As part of the stone meeting, though, we do not  
13 prescribe tamsulosin, as we are not seeing the patient  
14 face-to-face and, therefore, we do not prescribe it.  
15 94 Q. So, if you are seeing the patient face-to-face and they 12:00  
16 fit the profile by which an off licence or  
17 a literature-supported prescription may be appropriate,  
18 what's the procedure with the patient? How do you  
19 manage that? Do you explain to them or what way do you  
20 get consent -- how does that operate in practice? 12:01  
21 A. You would explain that the drug itself is not  
22 a licensed indication, but for stones it's -- I,  
23 personally, don't use it at present, but you should  
24 inform the patient that it's not a licensed indication  
25 and you should explain the side effect profile; you 12:01  
26 should explain the evidence behind why you're using  
27 that drug and you offer it to the patient -- and it's  
28 an offering the patient the drug, not -- it's always  
29 offering a patient a drug, it's not saying "You must be

1 on this." It's the pros and cons to say why you may  
2 have put a patient on that medication for a short  
3 period of time and not a lifelong indication.

4 95 Q. And would you record that in the patient notes or  
5 somewhere else? 12:02

6 A. We would record why we have put that patient on  
7 tamsulosin and had the discussion with them.

8 96 Q. And would that be information that you would provide to  
9 -- in the GP's letter or discharge letter or review  
10 letter? would you go into that sort of detail or would 12:02  
11 that not be a normal practice?

12 A. It would be normal practice if someone is being  
13 discharged on tamsulosin for a stone-related event to  
14 be on their discharge, yes.

15 97 Q. And the explanation for that prescription on the 12:02  
16 discharge letter or not?

17 A. Well, the tamsulosin should be defined for a short  
18 period of time. So if you are passing a stone,  
19 traditionally people put patients on tamsulosin for  
20 a four-week period, so it will be a short prescription. 12:02

21 98 Q. Now, the Panel have seen and we will just go back to  
22 the discharge letter, PAT-00176 -- PAT-00176. Is that  
23 right? 1769, sorry. The Panel will have seen that the  
24 discharge letter mentions Bicalutamide 50 mg. Now, you  
25 have said in your addendum statement that you would 12:03  
26 have taken this information from the patient's file,  
27 and that would have been information that was recorded  
28 by the consultant -- in this case, Mr. O'Brien. Just  
29 so we understand the procedure by which the registrar

1 does the discharge letter, in your own practice at the  
2 moment, do registrars do your discharge letters?

3 A. Not per se discharge letters, so -- it's probably  
4 easier just to explain from start to finish. So the  
5 patient comes in for an elective or emergency operation 12:04  
6 -- every patient who is operated on, either by myself  
7 or by the registrar on call or someone who I am  
8 training, everyone has a dictated letter, and that  
9 forms part of their discharge, and that has to be  
10 undertaken immediately following the procedure -- and 12:04  
11 that's why we have digital dictation software and I am  
12 insistent upon those letters being done. My backup for  
13 that is my secretary, who, when patients who have been  
14 operated on and discharged in our name, they will tell  
15 me if someone hasn't had a letter done -- and there 12:04  
16 have been a few rare instances where a letter hasn't  
17 been done and so I have then chased up the fact that  
18 a letter has not been dictated.

19  
20 From the perspective of then the patient who is then on 12:05  
21 a ward, they then have a letter which is a digital --  
22 not a digital dictation letter, but a digital discharge  
23 summary which is provided by and typed by the FY1. But  
24 the information which the FY1 gets is from the team  
25 seeing the patient and explaining "This is what the 12:05  
26 discharge plan will be."

27  
28 If the case requires and if I am on call or there is  
29 a case of certain complexity that requires then

1 a further letter, I will also dictate a letter so that  
2 I'm very clear that this has been undertaken in the  
3 right manner, or especially if there is a referral to  
4 another specialty, or certainly another region.

5 99 Q. would it ever be the case that a registrar would 12:05  
6 question the details on the patient's notes that were  
7 to find their way into a discharge letter? Has it ever  
8 been the case either you as a registrar or having  
9 registrars would say " Can I query this with you? I am  
10 not sure about the detail I am putting in here."? 12:06

11 A. Yes, so, if the registrar is unsure what the discharge  
12 follow-up plan is, they ask me and I inform them what  
13 I say -- what I think it should be. And I also, if  
14 I come across a discharge plan that has been typed  
15 wrongly, I send it to the doctor who has typed that to 12:06  
16 have it amended.

17 100 Q. The Inquiry has heard from a relative from Patient 82  
18 in evidence and, if we go to TRA-01869, and this is  
19 just an extract from that in relation to this letter.  
20 Now, the Chair has asked the question at line 21 about 12:07  
21 the individual circumstances of the patient and the  
22 patient's relative refers to bicalutamide. It's  
23 artificial reading from a transcript to give you the  
24 sense, but the point is in the next paragraph -- this  
25 is just the preceding paragraph: 12:07  
26

27 "In terms of the Bicalutamide, you know, somebody has  
28 mentioned a -- just to I get all this terminology -- a  
29 pathway, a clinical -- a standard for clinical

1 practice. "

2

3 And the Chair says:

4

5 "Sorry, you are reading from a document there?" 12:07

6

7 And she said:

8

9 "No, it's my own words. "

10 12:07

11 And she then says:

12

13 "It refers to standard clinical practice for Daddy's

14 management, so I presume that's something that's

15 written down that doctors are meant to follow. I would 12:07

16 have expected. . . "

17

18 -- and she mentions another doctor and you.

19

20 "...and Mr. O'Brien to have known that. Yet, 12:07

21 [the other doctor] and Mr. Tyson seen Daddy's

22 medication and never queried why he was on a low dose

23 of Bicalutamide. "

24

25 And this is the letter that she's referring to. 12:08

26

27 Now, whenever you were a registrar, were you aware of

28 the use of Bicalutamide 50 at all or in certain

29 circumstances?

1 A. No. But I clearly have done a discharge documenting  
2 it!

3 101 Q. Yes, yes, and it's really just to unpick the procedure  
4 around that. The Inquiry is looking at governance and  
5 perhaps how things get repeated or where there may be 12:08  
6 fault lines that could inform any of their  
7 recommendations. So it's just to see the way in which  
8 the procedure operated for the family we have raised  
9 this as an issue as well, obviously, and we just want  
10 to just understand. So from what you've said so far, 12:08  
11 you look at the patient's notes and you dictate the  
12 discharge letter based on the notes and is it the case  
13 that, in your position as a registrar and your  
14 knowledge at the time, that there was nothing to  
15 trigger a query from you around Bicalutamide 50 being 12:09  
16 prescribed as it was in this letter?

17 A. There was nothing at the time, as a first year  
18 registrar, for me to suddenly go "There's a pattern,  
19 there's something going on." It's a first year  
20 registrar doing a discharge for someone who has come in 12:09  
21 to have intravesical botox to the bladder, reading the  
22 paper, discharge summary of medication, and then also  
23 then moving on to the next summary of discharge,  
24 because our role at that point was to discharge -- to  
25 do dictated letters on all the inpatient activity. So 12:09  
26 I am sat there with lots of notes, going "Right, next  
27 one...". so I'm now looking at the function of that  
28 interaction, which was to come in and have botox in the  
29 bladder, and noting they are on medication and

1 follow-up with Mr. O'Brien.

2 102 Q. And we noted that the dates of the letter, the  
3 dictation and the date of the procedure was roughly  
4 a month apart. Was that normal procedure, that there  
5 could be a delay? I know in your statement you've, if 12:10  
6 I can say, you've made some guesses as to why there may  
7 have been delay but there's no other evidence to  
8 support any of that. And I know that you were on  
9 annual leave for a week and study leave for a week in  
10 June and it may have just been sitting there -- we 12:10  
11 don't know the background. But just as a general  
12 question, did you think that there was an issue around  
13 delay and dictation? Was it something you noticed? It  
14 does seem, at this remove, to be quite a long time  
15 after the procedure. 12:10

16 A. Without reviewing all -- without reviewing the year and  
17 looking to see what the average time of dictation was  
18 for in the procedure, I wouldn't be able to give you  
19 a reliable answer to that. But what I would say is --  
20 I'd say two things -- I'd say the first thing is all 12:11  
21 patients had a discharge upon leaving hospital, which  
22 was the paper discharge, and there is a paper discharge  
23 which Aidan O'Brien has undertaken for this patient  
24 from that inpatient episode. The second thing is at  
25 the time, there were two registrars, myself and one 12:11  
26 other person, and it was a very, very busy job, and our  
27 time to do discharges, we mainly did these when we were  
28 on call. So, there may well be a difference between  
29 the patient coming in and then patient having



1 a dictated letter. But between the two of us, we were  
2 fulfilling the roles of on-call clinics, theatre, and  
3 then discharges to dictate -- and, of course it's a  
4 very busy unit so there are lots of discharges for  
5 between the two of us to then sit and dictate. And, 12:11  
6 also, we're reliant upon a set of notes to physically  
7 arrive from where they prior were to the office to  
8 where we would then have to dictate, and there was  
9 likely a delay potentially in that as well, but also in  
10 the time which we could go and sit down and potentially 12:12  
11 do them.

12 103 Q. And what was your experience of what that was like for  
13 other registrars when you went back as a consultant in  
14 2019 and 2021? Did you think, well, this system has  
15 improved, or is it the same -- does it still operate 12:12  
16 the same way now?

17 A. No, so it operates differently now and that's why the  
18 patient leaves with the electronic discharge summary,  
19 which is printed out for them, copied to the GP and put  
20 onto the Electronic Care Records for Northern Ireland. 12:12  
21 So that's where it has improved. There is an immediate  
22 visible discharge and it's online. So that bit's  
23 improved. I can only speak from my practice and  
24 certainly my colleagues there at present who dictate  
25 letters after procedures, which is the correct thing -- 12:13  
26 even if I'm on call and it's late at night, that  
27 patient will have a dictated letter from me encountered  
28 from theatre.

29 104 Q. And is that your own practice or is that something that

1 is a standard throughout the Trust or throughout  
2 urology in Craigavon at the moment? Do you understand  
3 the way other people do it?  
4 A. That's the way I believe my current colleagues all  
5 work. But to apply the word "standard" and "policy", I 12:13  
6 am not aware of any standard or policy for the Trust  
7 that states that must be done in that way.  
8 105 Q. I think we've covered the issue that you felt there was  
9 sufficient lines of access and support when you were  
10 there, was in 2019, and as a registrar should you have 12:14  
11 any concerns, and you have referenced in your statement  
12 that you felt that there was an assurance around risk  
13 by the availability of those systems in place, such as  
14 Datix that you've mentioned?  
15 A. Yes. 12:14  
16 106 Q. I just want to go to your statement again just to look  
17 at the learnings, some of the issues that you've  
18 provided us with some of your comments on -- WIT-42222,  
19 paragraph 66.2, and I just want to read this in. We  
20 have asked you: 12:14  
21  
22 "Are you now aware of governance concerns arising out  
23 of the provision of Urology Services which you were not  
24 aware of during your tenure? Identify any governance  
25 concerns which fall into this category and state 12:15  
26 whether you could and should have been made aware and  
27 why."  
28  
29 And you say:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29

"I was a consultant between 24th February 2019 and 16th July 2019, including annual leave. I restarted working for the Trust on 24th October 2021. I am now aware of the following governance concerns:

12:15

I have been made aware that there was administrative issues of triage not being returned in a timely manner and that the administration team now ensures that they have accounted for all referrals and that the triaging doctor returns the outcomes in a timely manner. I had no triage concerns during 24th February 2019 to 16th July 2019, as my triage was always undertaken and returned during the on-call week."

12:15

Just stopping there for a moment, in relation to triage as it currently is -- I know we've have confined it to 2019 -- currently, what's the position regarding triage? Is that something that is manageable and managed by the consultants at the moment?

12:16

A. Well, we did advance triage in 2019. It's no longer completely advance triage now. But, yes, I still fulfil all the triage would be in the on-call week.

12:16

107 Q. And when you say it's not advanced triage now, has the system changed again somewhat since 2019?

12:16

A. It has, yes. So we used to do advance triage for a lot of the patients, especially the red flags and the urgents, and even just for some routines to try and prevent them from having an appointment if they're not

1 required. Given, however, there is very much a lack of  
2 consultants and the backlog, in doing advance triage at  
3 current, what that then does is if you have a hundred  
4 patients to triage and say you do a hundred scans, when  
5 are you physically going to follow those up? It's not 12:17  
6 physically possible, at present, to do advance triage  
7 in the way we used to do it.

8 108 Q. And that's because of the numbers, the staffing  
9 numbers?

10 A. That's due to staffing, yes. 12:17

11 109 Q. Then you say at 66.4:

12  
13 "The significant waiting times, Outpatient and Surgery,  
14 for Urology, from becoming aware that the Trust had  
15 long waiting list times for Outpatient routine 12:17  
16 appointments and routine surgery as of 24th February  
17 2019 to 16th July 2019 as a consultant, which were  
18 known to management team and the Urology Department, I  
19 have been since informed this was indeed on the Risk  
20 Register in 2019 from discussions with Mr. Young in May 12:17  
21 2022, and the number of patients awaiting surgery and  
22 Outpatient appointments greater than I would have  
23 expected."

24  
25 So in relation to the waiting times, Outpatient and 12:18  
26 Surgery For Urology, you've mentioned about 2019 again,  
27 that period. In your return in 2021, I know you  
28 mentioned it was the tail-end of Covid, but what's the  
29 position now?

1 A. Well, from a -- well, from a stone perspective, much,  
2 much better.

3 110 Q. And do you have any knowledge of any other perspective?  
4 A. For the routines, it has improved because of the  
5 outsourcing to the private sector. But, overall, there 12:18  
6 are still very considerable waiting times for, I would  
7 say, the majority of procedures.

8 111 Q. And again we mentioned the staffing issue just a moment  
9 ago -- would it be your view that the staffing is the  
10 major contributor, the sole factor, or are there other 12:19  
11 areas that you see could have been improved that might  
12 assist the Inquiry's considerations?

13 A. The predominant issue is a resource and staffing  
14 perspective. During the Covid period, there clearly  
15 wasn't enough theatre and capacity to keep on trying to 12:19  
16 decimate what was long lists and, therefore, you have  
17 a result of waiting lists going up exponentially, in  
18 a way. And therefore, when I returned, I have come  
19 back to very long considerable lists of patients who  
20 potentially haven't had operations for years. 12:19  
21

22 So the access to a theatre and then a surgeon to  
23 undertake it, if it hasn't been going on for a period  
24 of time, you are going to have a huge backlog. And  
25 then you'd have a period of time whereby you are 12:19  
26 overrunning everything to get rid of the backlog, but  
27 it is a considerable backlog to undertake. So an  
28 example would be the PCNLs for the complex stones, in  
29 the past two years we've undertaken or I've undertaken

1 predominantly a huge number of those surgeries,  
2 including extra weekends, operating on Saturdays and  
3 Sundays, and extra lists to reduce that list  
4 considerably, but it's only by over-working can you  
5 decimate what is a backlog. 12:20

6 112 Q. And the availability of those weekend slots to try and  
7 catch up, is that something that's regularly provided  
8 or is it on an ad hoc basis when the staff can manage  
9 to fulfil those roles at the weekend?

10 A. So it's predominantly on ad hoc basis when there is 12:20  
11 funding and provision for that to undergo. So  
12 I offered myself to do those weekends, but there is  
13 limited number of theatre nurses (a) to undertake those  
14 extra weekends. So I can offer up weekends and then  
15 I'm given a certain number and then we undertake them, 12:21  
16 but it's not something which I found that every weekend  
17 you could just go and work and try and reduce these  
18 lists.

19  
20 Then the other thing is I offer extended days too, so 12:21  
21 my wednesday operating list, can I work and put a third  
22 case on in the evening -- so we're trying to find  
23 nurses for the next few months to try and extend the  
24 day of the operating. So instead of being from 9:00 to  
25 5:00, can we go from 9:00 to 8:00 and add an extra 12:21  
26 complex case upon them?

27 113 Q. At paragraph 66.5, you said:

28  
29 "I have been informed of the recommendations from a

1 department meeting from 31st March 2022 - I could not  
2 attend meeting due to clinical commitments - referring  
3 to SAI recommendations MDT action plan."

4  
5 And then you say at 66.6:

12:21

6  
7 "66.6. Wendy Clayton, Urology Manager, has provided  
8 assurance that any urology governance concerns are now  
9 discussed at Head of Service meetings.

10  
11 66.7. The Head of Service, Wendy Clayton, now provides  
12 a weekly update to the Urology team on a Thursday at  
13 12:15 each week, providing any Urology Inquiry updates,  
14 team performance and including waiting list times and  
15 initiative work to external providers. Vacant urology  
16 consultant posts x 2 impacting on the delivery of  
17 urology waiting lists."

12:22

12:22

18  
19 So you've mentioned the staffing previously, but that  
20 seems to be a slight change in the weekly updated  
21 Urology team meetings on a Thursday; is that a  
22 generally, if I could describe it, as an open forum for  
23 people to discuss any issues arising or of concern or  
24 potential concern?

12:22

25 A. It is. And the other thing to note is it's changed  
26 from a weekly to a monthly meeting, and that's to  
27 ensure that everyone can attend and be present, rather  
28 than having people missing from a meeting and then  
29 decisions being made where people need to be present to

12:23

1 hear what's going on. So it's important to have  
2 a meeting with everyone in and flag the time so we can  
3 all attend. And the only exception to that is there  
4 will always be someone on call and you can't say to  
5 someone unwell and needs to be seen by the on-call team 12:23  
6 during that meeting -- I mean, occasionally, that does  
7 happen, as it happened to myself on that meeting, I was  
8 the on-call surgeon.

9 114 Q. And do you think the attendance is good at the monthly  
10 meeting then? 12:23

11 A. Yeah, the attendance is very good. And the other thing  
12 -- credit to, I think, to Wendy Clayton -- it is a very  
13 open meeting whereby the middle grades are invited to  
14 the meeting. The nurses are invited to the meeting.  
15 Because what you want at a department meeting is the 12:24  
16 department -- the consultants don't make a department,  
17 it's the whole team makes the department.

18 115 Q. If we move down to 67.1, we have asked you at 67:  
19  
20 "Having had the opportunity to reflect, do you have an 12:24  
21 explanation as to what went wrong within Urology  
22 Services and why?".

23  
24 And you say at 67.1:

25 12:24  
26 "what appears to have gone wrong is failings in a  
27 process, a process of ensuring that concerns of staff  
28 shortages from a doctor and nursing perspective are  
29 addressed to provide suitable care, a process of



1 ensuring that regular audit of processes is undertaken  
2 and disseminating to the department. Audit is a cycle,  
3 not a single occasion event, and resources and time to  
4 the provision must be provided. "

12:24

5  
6 Now, your experience has focused on the staffing issue  
7 that you consider were the contributor during that  
8 period of time. The Inquiry has heard evidence more  
9 broadly. But the mention of the audit, the regular  
10 audit of processes, what's your understanding now of  
11 what the audit of processes are that are undertaken  
12 that would provide some reassurance about the  
13 non-reoccurrence of the issues that we have been  
14 discussing?

12:25

15 A. Well, it's probably best to split that between benign  
16 and then cancer because I can speak of my experience of  
17 being with the MDM, the audit processes that are now in  
18 place are very reassuring -- they are reassuring to  
19 many parties, to patients, but also to as yourself, as  
20 a clinician, you want to know that what you are doing  
21 is right, and what you're doing happens, and so there  
22 is an audit process in place to make sure the decisions  
23 that are made are undertaken. There are audit  
24 processes to show that are the right number of people  
25 at meetings and, if not, why not? So audit is  
26 massively important.

12:25

12:25

12:25

27  
28 From a stone perspective, which I can speak of in  
29 certainly a lot more detail, in 2019 I instigated an

1 audit on the outcomes of ESWL to make sure that what  
2 treatments patients were having were in keeping with  
3 recognised standards and, therefore, the outcome from  
4 it is they are in keeping with the recommendations as  
5 regards success rates, as well as very low complication 12:26  
6 rate, and so we have made sure that we have looked at  
7 that. It's also a rolling process, so this isn't  
8 something which you do once and forget about. Audit is  
9 a cycle.

10  
11 So we then have to have periods of time of when do we  
12 then re-audit to make sure that these things are still  
13 maintained. And from the audit itself, if improvements  
14 are required to meet a standard or a guideline, that  
15 then things are improved, and just not changed. 12:26

16  
17 And then there's other audits we undertake as well for  
18 the stones, such as the calcium audit which has been  
19 undertaken numerous times, to ensure that patients who  
20 do present to the Emergency Department, part of the 12:27  
21 protocol which we wrote ensured the patients who came  
22 in had a calcium done, because we know very rarely if  
23 you're high in serum calcium, it could be very  
24 dangerous to a patient. And there is a World Health  
25 Organisation case study of a patient who presented in 12:27  
26 another hospital somewhere else who died of a high  
27 calcium that wasn't picked up.

28  
29 So it's having these processes in place and making sure

1 that you recognise what the standard and guideline is,  
2 and then to re-audit, is vitally important for the  
3 running of a department and a process.

4 116 Q. And does that take place currently?

5 A. Yes.

12:27

6 117 Q. And when you talk about the stone, I know that's your  
7 area of expertise, is there an appetite or, in reality,  
8 does it happen that there's shared best practice  
9 between, for example, benign and cancer, and you talk  
10 to each other about what works for each specialty?

12:27

11 A. Yes, so it's very important that as a team and  
12 a department, also viewing the wider view of urology in  
13 Northern Ireland, that we all talk and we are all on  
14 the same page. And this is where we move towards  
15 having regional services, but also in the departments  
16 themselves, everyone is on the same page of what is  
17 going on -- because you have to understand what is  
18 going on to understand how you access even services in  
19 your own specialty, and what is available and how these  
20 things work. So it's vitally important that any  
21 process in any department and the wider picture,  
22 everyone is on the same page of understanding how these  
23 things work and how things can be improved and where  
24 we're going. So you need to have a roadmap and  
25 everyone on the same page.

12:28

12:28

12:28

26 118 Q. And while that may be the ideal scenario, in practice  
27 has it been your experience that when you do identify  
28 potential areas of improvement -- I know we talked  
29 about one of them earlier in relation to your specialty

1 -- that management, medical management, other types of  
2 management within the Trust, is that embraced when you  
3 bring those suggestions to them? Is there an appetite  
4 to bring about change that will result in a better  
5 service?

12:29

6 A. In our department at present, there's definitely an  
7 appetite of improvement to make things better.  
8 Bringing it to, say, more senior aspects of management  
9 in a Trust and then the broader picture of Northern  
10 Ireland itself, there's always an appetite to improve.  
11 What I can't comment on is the pressures that are put  
12 on then on other parts of services and how can they  
13 provide for us, when knowing they have other things to  
14 provide for as well. There are other factors which I  
15 can't per se take into consideration from their  
16 decisions. An example being is that I would recommend  
17 there are two nurse specialists for stones -- there are  
18 not two nurse specialists for stones. But from  
19 a funding perspective and a management perspective, I  
20 can advocate and say why that needs to happen. But  
21 from their perspective, they then have to look at the  
22 broader picture of saying, well, how do we fund all  
23 these services and provide for them? I can only  
24 advocate and then keep on advocating why that needs to  
25 happen.

12:29

12:29

12:30

12:30

26 119 Q. I have covered a lot of topics with you. We've gone  
27 through the main parts of your statement that I want to  
28 highlight. Given what you have read about the Inquiry  
29 and the information you have been provided to inform

1 your statement, and the ultimate aim of the Panel is to  
2 make recommendations that might assist in preventing  
3 any recurrence of governance failings that they may  
4 consider have been found on the evidence, is there  
5 anything you'd like to add or to contribute at this 12:30  
6 point, given your experience to date?  
7 A. On the top of my head, no, but if you come back to me  
8 when I leave, probably, yes!  
9 120 Q. If you think of something on the way home! But just at  
10 the moment, are you content that we have covered all of 12:31  
11 the information you consider relevant for your  
12 evidence?  
13 A. Yes.  
14 MS. McMAHON: Chair, I have no further questions.  
15 CHAIR: Thank you, Ms. McMahon. We can't just let you 12:31  
16 go just yet, Mr. Tyson! I am going to hand you over  
17 first of all to Mr. Hanbury, who I am sure will have  
18 some questions for you.  
19  
20 MR. TYSON WAS THEN QUESTIONED BY THE PANEL, AS FOLLOWS 12:31  
21  
22 121 Q. MR. HANBURY: Thank you very much, Mr. Tyson, very  
23 interesting. I've just got a few clinical questions,  
24 which hopefully you can answer them fairly quickly.  
25 Your research in Birmingham, what was that related to? 12:31  
26 A. That was medical education.  
27 122 Q. Do you still do a lot of that now or...?  
28 A. Yes, I'm the Urology lead for Ulster University -- the  
29 module lead for Urology at Ulster university. I also

1 have responsibilities for training the registrars as  
2 their clinical supervisor or educational supervisor, as  
3 well as a role of the FY1 for their clinical  
4 supervision as well. And I have also had a lot of  
5 students for projects for audits. I also help to 12:32  
6 facilitate the current registrars -- I have a quality  
7 improvement for audit projects as well.

8 123 Q. Okay. So, moving on to -- then, you did a research  
9 project at the Southern Trust?

10 A. Yeah. 12:32

11 124 Q. That was stone-related again, was it?

12 A. That was stone-related, yes --

13 125 Q. And --

14 A. -- in the ESWL.

15 126 Q. -- were there particularly sort of audits you did or 12:32  
16 part of that that drove your enthusiasm for what came  
17 next and the regional initiatives?

18 A. Yes, it comes down to the obvious thing. It's when you  
19 have a single centre that has an on-site lithotripter  
20 and you have a region and you have one area that has 12:32  
21 access to it and everyone else doesn't, or some centres  
22 have access to it but the rest don't and other centres  
23 have a lithotripter coming on the back of a lorry, on  
24 a ferry, may or may not arrive, depending on if there's  
25 a storm, isn't there all the time, it seems like a very 12:33  
26 obvious thing to offer your neighbours equity.

27 127 Q. So, going on from that, in your statement, it seems to  
28 be only running, or was in 2021, about three days  
29 a week, or something like that; I mean, has that been

1 a source of frustration, to not get that --

2 A. Yes, it was a huge source of frustration, back when  
3 I did the research for them, to show that you could  
4 reduce your inpatient elective -- sorry, your inpatient  
5 operating on ureteric stones, you could decrease the 12:33  
6 number of patients who went to theatre by using the  
7 machine that's not being used.

8 128 Q. And so how did you take that forward - with the  
9 Clinical Director or the Head of Service?

10 A. So, myself and Mr. Young presented the data at a senior 12:34  
11 management meeting, to show that, I think it was around  
12 55% of patients could avoid going for theatre but be  
13 offered ESWL. It's not to say every patient would want  
14 that choice; it's about giving patients choice. But  
15 running a lithotripter three days a week - which often 12:34  
16 wasn't even a full three days a week, I think it was  
17 two-and-a-half sessions - doesn't really make much  
18 sense. So we were trying to give the data to show  
19 that, actually, if you provide and resource this piece  
20 of equipment, we could reduce the number of patients 12:34  
21 and the pressure on an emergency list and, electively,  
22 you could do more patients by giving them timely  
23 treatment because they will opt for it if they say,  
24 "right, what's the current waiting list for ESWL?" I  
25 can tell you, currently, you could have it within two 12:35  
26 weeks. Back then, it was months to years. So,  
27 patients would look at it and go, "well, hang on  
28 a minute, I will probably just go for the operation  
29 then".

1 129 Q. Okay. So, thanks for that. When you came back in  
2 2019, you then ran a prospective audit of the  
3 lithotripter again. Did that seem to stop when you  
4 left or did that carry on?

5 A. So, it carried on, and Una Lappin was the research 12:35  
6 radiographer. I tasked her with the -- in one of her  
7 parts of her role was to audit the outcome and  
8 complication from using the lithotripter, to ensure  
9 that the treatments we were providing were in keeping  
10 with the treatment success rate in current literature, 12:35  
11 and they are, and also to reassure that the machine  
12 itself didn't have overly high complication rates, and,  
13 reassuringly, it doesn't. It also then raised other  
14 aspects of, how do you then future-plan for a regional  
15 service as regards staffing? And also, even the 12:36  
16 machine we use, based on, can we get parts for it? And  
17 the parts need to be on the island of Ireland, the  
18 engineer needs to be on the island of Ireland to keep  
19 the service running.

20 130 Q. Yes, okay. Thank you. So, you came back to Southern 12:36  
21 Trust, and then moved on after six months or so; that  
22 was a fellowship, was it?

23 A. Yeah, yeah, a fellowship.

24 131 Q. What was the subject? What was that?

25 A. That was only into complex stones, so I only took a lot 12:36  
26 of PCNL surgeries.

27 132 Q. And that was in?

28 A. New Zealand.

29 133 Q. You seemed to stay at that a long time; was that --



1 that was Covid-related, was that --

2 A. Subject to Covid- and family-related meant we couldn't  
3 come back, so I stayed on and then I came back in --  
4 I restarted in October 2021.

5 134 Q. But your original intention was not to stay quite that 12:36  
6 long, was it?

7 A. No.

8 135 Q. Okay. Thank you. That's enough on stones. We have  
9 heard quite a lot about waiting-list management and how  
10 it's done differently, perhaps, in Southern Trust. I 12:37  
11 mean, what was your view of the -- being sent Excel  
12 spreadsheets of all the patients under your name every  
13 week or every period to try and sort out -- I mean, did  
14 you think that you needed more help in that respect, or  
15 what was your personal view on that? 12:37

16 A. My personal view is that there now is a urology  
17 booker --

18 136 Q. Yes.

19 A. -- and you need administrative help to fulfil that role  
20 because the waiting lists are so large that they can be 12:37  
21 a little bit overwhelming; you are thinking, right, who  
22 do you pick and how do you operate? The obvious thing  
23 everyone says is, right, well, it's the person who is  
24 last on the list. The reality of that is, it isn't the  
25 case, and the reality is you need a three-pronged 12:37  
26 approach and then it is very time consuming. So I give  
27 an example of PCNLs, is, I can't just take the exact  
28 last person, but I'm very aware of them and I plan to  
29 then do them, but I have to update their imaging, I

1 have to see them in clinic, because time has changed  
2 that person, their comorbidities in the situation. So  
3 you have to be very mindful of taking the next person  
4 who is due on the list, and, at the same point, you  
5 have to say, right, who on this list is going to come 12:38  
6 to harm? who is hiding in that list that needs to  
7 actually be next on that list? And then the third  
8 thing is, you have to be aware of, well, what happens  
9 if you have cancellations? You need to maximise the  
10 resources you have. So I have been very clear on 12:38  
11 having a shortlist of people I can bring in very last  
12 minute who I know are really well and aren't going to  
13 cause the anaesthetic department -- and I know their  
14 urines will be negative when they get tested, so the  
15 list is used. So you have to do it in three different 12:38  
16 approaches to try and maximise, one, your resource and  
17 also try and tackle the problem.

18 137 Q. So when did that schedule come in?  
19 A. So the schedule had started in the past few weeks.

20 138 Q. Right. So, up until then, it was purely down to the 12:39  
21 Urologist to sort it out?  
22 A. Yeah.

23 139 Q. Yes, okay. Thank you. We are aware of one particular  
24 sort of poor outcome when the theatre checklist, the  
25 pre-ureteroscopy urine culture hadn't been done or 12:39  
26 there was a problem with pre-assessment and it went  
27 ahead and there was perhaps a poor outcome there. I  
28 mean, do you have rules that you abide by in terms  
29 of --

1 A. Yeah.

2 140 Q. -- that particular surgery?

3 A. I do, and I want just to state that patient was not my  
4 patient. I chaired the SAI for that case. It is very  
5 clear that stone surgery has risk and it's very 12:39  
6 important to have a negative urine culture or, if you  
7 have a positive urine culture, to undertake antibiotic  
8 either treatment or prophylaxis, and I say prophylaxis  
9 because certain patients you can only decolonise, you  
10 can't eradicate them of their infection until you have 12:40  
11 removed, often, an infected stent or the infected stone  
12 itself, but there are very clear guidelines in the EAU  
13 and NICE on a requirement of urines, and the NICE  
14 guideline, I think, states, if it will change your  
15 practice, you should undertake a urine culture. If 12:40  
16 that urine culture is positive for stones, it would  
17 change your practice because you wouldn't operate on.

18 141 Q. So, looking back, that patient should not have got  
19 through the surgical huddle or the WHO checklist --

20 A. I believe when we look -- 12:40

21 142 Q. How do you think that should have went?

22 A. I believe the one from which I -- which I am  
23 recollecting for the SAI which I chaired on behalf of  
24 the Trust, that patient had had a urine and that  
25 patient had been on antibiotics. 12:41

26 143 Q. All right. Just a couple of things on the Urologist of  
27 the week and job planning. You've stated that  
28 recruitment was a problem, you never really had more  
29 than about five urologists, but yet it seemed to be

1 done on a one-in-seven, is that correct?

2 A. Yes.

3 144 Q. why did you do that rather than just doing  
4 a prospective cover and then -- I don't quite  
5 understand the thinking behind it?

12:41

6 A. I think before I had taken my first consultant role  
7 there, there was six consultants, seven to be  
8 appointed. I have -- I would have to go back and do  
9 the maths exactly on how many were there. The unit was  
10 set up to provide a one-in-seven consultant unit and  
11 they wished to make sure they filled these vacancies.  
12 why have they not decreased it to a one-in-five? It's  
13 because, if we are always on call, then a lot of  
14 elective work will not be getting done. So the unit  
15 has relied on locums to come and do on-call weeks in  
16 order for elective work, to ensure that also then keeps  
17 on going.

12:42

12:42

18 145 Q. Okay. Thank you. That clarifies it. Just in terms of  
19 the always being on-call every day for a whole  
20 seven-day period, most departments I have had -- asked,  
21 don't do that. I mean, that's a lot of time without  
22 downtime, without rest, whatever, and you have a busy  
23 night. what's your view on that? Do you think, you  
24 know, if you have got a young family, do you think that  
25 fits well with family life and other responsibilities?

12:42

12:43

26 A. It's not something which you would want to undertake  
27 for the rest of your career, because it is a very busy  
28 unit. If a unit wasn't that busy, then it would be  
29 a very reasonable on-call period, potentially, but

1 given the busyness of the service, I would personally  
2 advocate to splitting the on-call week up into two  
3 sections, to have two separate on-call periods.  
4 I agree with you, from a personal perspective and  
5 a career-longevity perspective. 12:43

6 146 Q. And did you have those discussions at your management  
7 meetings or --

8 A. Yes, we have, and there are proposals to split the  
9 on-call week up into two sections.

10 147 Q. To change things, okay. That's very useful. I guess 12:43  
11 one other thing: You specialise more in benign cases,  
12 so just my question really is, referring more complex  
13 cases, is that easy, say - I am thinking about  
14 paediatrics, andrology, complex gynae, and things like  
15 that - is that easy to do or are you -- do you feel 12:44  
16 that -- is there a departmental feeling you have to do  
17 it in-house?

18 A. No, there's definitely not that feeling. It's  
19 providing the best form of care for a patient to go to  
20 the best person who should do that, and that's why the 12:44  
21 regional -- looking at our regional models is  
22 incredibly important, and sometimes looking outside of  
23 Northern Ireland, to make sure that person goes to the  
24 right place, and so there are times we've referred --  
25 have referred to David Ralph in order to make sure 12:44  
26 patients go to the right person with the right  
27 experience. As regards paediatrics, ideally, from  
28 a stone perspective, we should have a paediatric stone  
29 service. The only paediatrics I provide for stones is

1 ESWL, but we are not funded for a paediatric service  
2 and nor do we have the numbers of consultants to  
3 undertake that.

4 148 Q. I suppose, maybe, mid/lower tract paediatric  
5 dysfunction -- 12:45

6 A. Well, then we refer to the paediatric urologists in the  
7 Royal Victoria.

8 149 Q. Okay. One final question: This is the sort of --  
9 there seems to be a lack of weekly X-ray meeting.  
10 I know it did happen historically on a Thursday 12:45  
11 morning, maybe before you started or maybe it was there  
12 when you were a registrar. What's the opportunity for  
13 you and your colleagues to discuss complex cases, not  
14 necessarily stones - say, renal abscesses, prostate  
15 abscesses, complex duplications, PJ obstructions, that 12:45  
16 doesn't fit into a cancer MDT obviously, and there  
17 doesn't seem to be a forum for that?

18 A. So there used to be an X-ray meeting where there was  
19 the forum for that. Certainly, in returning in 2021,  
20 that forum no longer exists. The radiologist -- the 12:46  
21 Radiology team themselves are very short-staffed in the  
22 Southern Trust, and it is something which I believe  
23 everyone is aware that does need to happen, but we need  
24 the numbers and the time to undertake that, and  
25 I completely and 100% agree with you, that forum is 12:46  
26 required.

27 150 Q. Okay. Thank you very much. Thank you.

28 CHAIR: Thank you, Mr. Hanbury. Dr. Swart?  
29

1 151 Q. DR. SWART: Just following on from that, we have, I am  
2 sure you know, seen a lot of evidence in relation to  
3 various lookback reviews and the whole variety of  
4 cases. When you were a registrar, for example, and  
5 certainly when you came back, was there any kind of 12:46  
6 regular meeting where the consultants would challenge  
7 each other on perhaps unusual operations or things that  
8 were extremely tricky, such as benign cystectomy or  
9 various operations of that sort? Were you exposed to  
10 that as a registrar at all? 12:47

11 A. Not as a meeting, no, not that I can think of.

12 152 Q. No. Was there any sort of practice of discussing it at  
13 the end of ward rounds or any other forum that you came  
14 across? You may not have been as a registrar, but...

15 A. There was a, what they called a grand round in 2012. 12:47

16 153 Q. What happened at that?

17 A. So that was a ward round where all the consultants  
18 would be present to view -- to go around the patients,  
19 to discuss their management.

20 154 Q. And what was the level of challenge provided to 12:47  
21 people's management in that atmosphere, or can you not  
22 remember?

23 A. I can't remember anything overtly that would come to my  
24 mind of saying that...

25 155 Q. But in the Outpatients scenario, would people have 12:48  
26 a way to bring difficult cases? Because we have seen  
27 some of these that have come through --

28 A. Yes.

29 156 Q. -- and I wouldn't want to comment on the -- the actual

1 clinical cases themselves, but just to think of the  
2 forum for saying, "Look, I have got this really tricky  
3 case, you know, what would you do? what would you do?  
4 who would you ring in England, or in America, even?  
5 what would you do?" Did you come across any of that? 12:48

6 A. Well, certainly, in 2012, there was the X-ray meeting  
7 still being present, so there was the ability, at that  
8 meeting, to bring cases to say --

9 157 Q. But it might not have been an X-ray type of  
10 meeting/discussion. Were there any other quality 12:48  
11 meetings that you were aware of?

12 A. No, no. But certainly, I don't think the title of the  
13 meeting should stop someone bringing --

14 158 Q. It shouldn't, but it's a question of what the practice  
15 was. 12:48

16 A. Right, okay, yeah.

17 159 Q. So, you could say, "while we are all here together, can  
18 I ask you", but do you think people were open to that?  
19 Do you think they discussed each other's practice to  
20 that degree, going back then? 12:49

21 A. I mean, certainly from the time of the X-ray meeting, I  
22 can only --

23 160 Q. Yes.

24 A. -- that's the only forum I can think and describe,  
25 there was conversation of "what would you do? I am 12:49  
26 bringing this case. what would you do? what's  
27 everyone's view?" And from that perspective, yes, from  
28 there, yes.

29 161 Q. And you felt that was an open atmosphere? It wasn't --



1 A. That X-ray meeting was an open atmosphere. It was  
2 early, I think around eight or half eight on a -- I  
3 can't remember the day.

4 162 Q. Okay. Just going on to audit, clearly that's improved  
5 in recent years. When you were a registrar, was there 12:49  
6 a big focus on audit at that time, that you can  
7 remember?

8 A. I wouldn't say there was an overly big push on audit,  
9 so to speak. I did undertake audits --

10 163 Q. Mm-hmm. 12:50

11 A. -- because, as a trainee, we recognise the importance  
12 of undertaking an audit.

13 164 Q. Yeah.

14 A. And so, as trainees, we did undertake them.

15 165 Q. But there wasn't a regular programme that you were 12:50  
16 aware of, in terms of the department having prioritised  
17 audits along a --

18 A. No, not that I can remember and, once again, I was  
19 there for a short period of time and I -- they may or  
20 may not have had a role in an audit programme that we 12:50  
21 were unaware of, but we come in for a short period of  
22 time, we do an audit, we go, and they then do it again  
23 the following year or the year after. I couldn't  
24 comment on that time because -- we did do audits.

25 166 Q. But you are doing them now for -- 12:50

26 A. Yes, yes, I did them as a registrar and I do them now.

27 167 Q. Yes, okay. There's a nice little e-mail where you come  
28 up with your ideas for improving the stone service, and  
29 we have talked about that. My question to you was:

1 was that worked up into a proper business case with an  
2 agreed incremental approach and did they involve you in  
3 that? Did they sort of say, "well, this is what's  
4 happening, this is the cost, this is the cost benefit"?  
5 was that given any kind of formal credence? 12:51

6 A. So the cost benefit side I had already done myself and  
7 presented to them, so they had the data from me, and  
8 that, then, formed the business case with the managers'  
9 - and the managers then showed me the business cases.

10 168 Q. But did you get a formal idea of the desire to 12:51  
11 strategically implement that over a period of years in  
12 terms of the staffing and resource that you have drawn  
13 attention to?

14 A. Yes, so if I give you an example of ESWL, there was  
15 a strategic plan from Wendy Clayton to show how we roll 12:51  
16 out the service, for which I was involved in how we  
17 clinically roll it out, to make sure that we don't sort  
18 of jump too fast --

19 169 Q. Yes.

20 A. -- and make sure we roll it out. The staffing thing 12:51  
21 has always been an issue.

22 170 Q. But you can't roll it out without the staff, so that's  
23 really my question: where does that sit? From your  
24 perception, where did that sit in the Trust hierarchy?  
25 was your Clinical Director involved, for example, or 12:52  
26 did you have any other information as to how that sort  
27 of tension between finance and quality and other  
28 priorities was going to be resolved? Did you get any  
29 feedback from people about that?

1 A. So I received feedback from Wendy Clayton and Lynn  
2 Lappin, who is now the Acute Director of Surgical  
3 Services, on what is currently available and what  
4 funding we have to advertise for those roles, so there  
5 is funding, and I was very, very clear that a service 12:52  
6 doesn't get rolled out if you don't have people to do  
7 the work.

8 171 Q. No. I mean, again, though, did you have support from  
9 a Clinical Director in that, or who was your main  
10 support? You have mentioned Mark Haynes? 12:53

11 A. So, Mark Haynes and Wendy Clayton were two big  
12 supporters, but I think it's very, very important, in a  
13 regional service, to note the other supporters and the  
14 other stakeholders involved in this, and that would be  
15 David McCormack from the Civil Service, who was 12:53  
16 massively proactive and behind us.

17 172 Q. I am just trying to get a sense of where it went in the  
18 Trust hierarchy, because, theoretically, you have  
19 a Clinical Lead, a Clinical Director, an Associate  
20 Medical Director, a Medical Director, plus all the 12:53  
21 management hierarchy and Acute Services, and there  
22 needs to be a link in terms of how the Trust supports  
23 you with the Civil Service, as you state. Did you  
24 think that -- was that clear to you, how that worked?

25 A. It was clear that Wendy Clayton and Mark Haynes were 12:53  
26 talking to the management structure above them within  
27 the Trust, and I and Mark Haynes and Wendy Clayton  
28 spoke directly to the Civil Service for our  
29 requirements as well.

1 173 Q. Okay.

2 A. So -- but it's not for me to jump up above Mark Haynes  
3 and Wendy Clayton --

4 174 Q. No, no, I am not suggesting that --

5 A. -- those conversations -- 12:54

6 175 Q. I am trying to sort of get a sense of how you were  
7 interacting with some of the other intermediaries in  
8 the Trust, because mostly it goes through a Clinical  
9 Director kind of structure?

10 A. Yes. 12:54

11 176 Q. It's not material in any other way, just how you were  
12 supported. It's really obvious, we have got huge  
13 numbers of patients waiting in every corner of every  
14 service to do with elective surgery in Northern  
15 Ireland. These patients, as you have said, will be 12:54  
16 coming to harm, they will be changing, things will be  
17 happening. Who do you think is setting the tone for  
18 dealing with this and is there anybody giving direction  
19 to clinical teams as to how they should approach  
20 assessing the harm for people on waiting lists and 12:55  
21 prioritising it in the way you have described? Are you  
22 getting any sense of that?

23 A. Well, I can only speak from experience from urology,  
24 and it's very important to appraise the waiting lists  
25 to find those patients and know what's going on, know 12:55  
26 who still needs an operation, know who needs one sooner  
27 and know people who can actually come off the waiting  
28 lists, because there will be people who will come off  
29 it, and so I can speak from a stone perspective. We

1 did a piece of work where either I, myself, or Laura  
2 McAuley have appraised parts of our waiting list, but  
3 also David Connolly has also appraised the Southern  
4 Trust's ureteroscopy waiting lists as well, to ensure  
5 that those patients are appraised, and so it's very 12:55  
6 important that that actually happens; it forms  
7 recommendations as part of, I think, the GIRFT report  
8 as well, so we are reviewing what's there.

9 177 Q. Is there any central direction in this regard? Do you  
10 think that Northern Ireland, as a whole, is saying all 12:56  
11 teams must do this, or is this something you just  
12 realised you had to do?

13 A. No, certainly David McCormack, at our regional  
14 meetings, as well as being very clear upon making sure  
15 we are appraising waiting lists, so David McCormack has 12:56  
16 been excellent and certainly champions to make sure  
17 those things are happening, and if we need help --

18 178 Q. You can get it?

19 A. You can get it. And it's about knowing the  
20 stakeholders involved in order to benefit these 12:56  
21 patients. Can I talk for all the other specialties and  
22 everything else in Northern Ireland --

23 179 Q. No, no, I realise you can't. I just wondered whether  
24 there was a general direction to this very obvious  
25 problem. 12:56

26 A. Yeah.

27 180 Q. What do you think should be done at this point? You  
28 have, several times, mentioned Northern Ireland as  
29 a whole. Reorganisation, you know, if you had a blank

1 page, what sort of approaches are needed to actually  
2 overcome this problem, which is now not that obviously  
3 easily soluble?

4 A. To sum it up in a very brief way would be very  
5 difficult and I am very mindful of not oversimplifying 12:57  
6 the issue in hand. There are multiple problems and I  
7 -- and I like your approach of saying, if we had  
8 a blank page, what would we do, and certainly I would  
9 agree that may be a very good way of looking at it,  
10 going "hang on, how do we start again?" It's very 12:57  
11 important to look at the Bengoa Report and GIRFT  
12 Reports and actually look at their recommendations and  
13 action them. We have actioned certain parts in  
14 Urology, such as ESWL and what will be a complex stone  
15 service, but I completely agree that, from the broader 12:57  
16 picture - I can't speak for all other specialties - but  
17 certainly, as a region, that is what needs to happen.  
18 There are five Trusts for a population of 1.9 million.  
19 Why are there five Trusts for a population of  
20 1.9 million? How much duplication of work is there 12:58  
21 potential? Do patients all have equity depending on  
22 where they live? I am going to guess the answer to  
23 that is no. So I think the Bengoa Report and the  
24 recommendations need to be --

25 181 Q. And are you aware of any progress that's actually been 12:58  
26 made against the Bengoa Report?

27 A. So I can only speak for the part I'm involved in, for  
28 Urology, so an example of that would be an elective  
29 care centre, such as Lagan Valley.

1 182 Q. Yes.

2 A. So, there, that got started in 2022, and the idea  
3 behind that is, patients who are fit and healthy enough  
4 to be discharged the same day, so, for that, that is  
5 a lot of ureteric stones, to try and prevent stents 12:58  
6 being in for a long time; that is, potentially, bladder  
7 outlet surgeries and that is inguinal scrotal  
8 pathologies. So, from that perspective, that has been  
9 really good, and that is something which could be, for  
10 other specialties, looked at as well. Is Lagan Valley 12:59  
11 enough for Urology in Northern Ireland? The answer is  
12 no, you need more than one centre. And I have said  
13 this at many regional meetings, that Omagh needs to  
14 come online as is the next elective-care setting,  
15 because Lagan Valley is not enough. 12:59

16 DR. SWART: Okay. Thank you, that's all from me.

17 183 Q. CHAIR: Thank you. Mr. Tyson, just a couple of things  
18 that I'm not clear about in respect of triaging. The  
19 expression "advanced triage", what exactly do you mean  
20 when you talk about "advanced triage"? 12:59

21 A. So, advanced triage is looking at the referral you have  
22 from the GP and going, does this patient require a scan  
23 or a blood test before that patient arrives to the  
24 service as regards urology? So it could be that that  
25 patient requires a CT urogram for visible blood in the 13:00  
26 urine, which means that, when they turn up for their  
27 flexible cystoscopy, their imaging has already been  
28 done, so you can -- you reduce, potentially, the number  
29 of appointments the patient has, for urology, to be

1 seen, so it's -- it's facilitating investigations in  
2 many ways. What's the outcome of that? Well, that  
3 means the person who has ordered them will get all the  
4 results.

5 184 Q. Yes. And you have said that, because you may have 100 13:00  
6 patients who you engage in this advanced triage for,  
7 you then don't have the time to follow up, is that what  
8 you are saying? Is that why the advanced triaging has  
9 gone by the wayside?

10 A. It's -- probably one of the predominant reasons it's 13:00  
11 gone by the wayside is because there's a lack of  
12 consultants in the Trust, which means all the elective  
13 work and day-to-day work that has to go on, and on top  
14 of our virtual work because that would then form  
15 virtual work, so we have to physically operate and see 13:01  
16 people, at the same point then review, dictate and  
17 action virtual scans. And I already do a lot of  
18 virtual work; if I added onto that a huge amount of  
19 virtual triage, when would I do it?

20 185 Q. And coming back to your terminology so that I am clear 13:01  
21 in what you mean, virtual triage and virtual --

22 A. Sorry, triage. Just ignore the word "virtual".

23 186 Q. Okay. So you talked about virtual follow-up, and by  
24 that do you mean having a virtual meeting with  
25 a patient or -- 13:01

26 A. Not necessarily. So, certain patients, you will put  
27 a plan in place that they will have a serial number of  
28 scans, so to speak, for follow-up for certain  
29 pathology, or a surveillance, say, of a stone-related



1 incident, and then you are writing to the patient to  
2 say, "This is your result. We agreed this plan. I  
3 have booked you another scan for one year's time. If  
4 you wish to see me in clinic or wish to see me for any  
5 other reason, please let me know and I will see you, 13:02  
6 otherwise all the information has been given."  
7 So, every month, I will sign and dictate potentially  
8 around 200, so I -- so I, sign off, sorry, around 200  
9 scans a month; the majority of those are virtual.

10 187 Q. Okay. Now, coming back to what you are now doing in 13:02  
11 terms of triage, is there a risk there, if the scans  
12 aren't done, does that mean that the person languishes  
13 on a waiting list for longer and may be deteriorating  
14 on that waiting list?

15 A. The answer is yes, there is always that potential, but 13:02  
16 not every Urology Service in the UK and Ireland  
17 undertake advanced triage, so it's not a standard upon  
18 which we've suddenly stopped, and there is still the  
19 ability to bring a patient to a hot clinic to see that  
20 week or to book that patient to scan, so there will 13:03  
21 still be certain occasions when you think they are not  
22 quite wanting to be seen in a hot clinic, you know that  
23 they're a red flag patient, I am going to book them  
24 that scan because there is something in it that's  
25 worrying from the GP information given. But can you do 13:03  
26 it for every single person then? well, there's not the  
27 resource at present to have that time, at present, to  
28 do it for everyone.

29 188 Q. Thank you, that's helpful. Just one final question

1 from me: Are you -- you have obviously given in your  
2 notice and you are moving on to pastures new, but are  
3 you aware of any steps that the Trust have taken to  
4 fill your role?

5 A. Yes, so recruitment and retainment are two different 13:03  
6 things, but recruitment is something I have been very  
7 vocal about at our meetings, on how we recruit. And  
8 there are, I'm told, three new urologists coming in  
9 some part of the first half of 2024, which have been  
10 recruited from the initiative in India. 13:04

11 189 Q. And again, retention is something that clearly is still  
12 in issue for the Trust?

13 A. It is, but, in leaving, I have also been very mindful  
14 of making sure that everything I have left has  
15 a succession plan in place, to make sure services do 13:04  
16 keep on running.

17 CHAIR: Thank you very much, Mr. Tyson, I have no  
18 further questions. Ms. McMahon?

19 MS. McMAHON: I have no further questions.

20 CHAIR: Okay, ladies and gentlemen, that concludes 13:04  
21 today. We are due to sit again at 10 o'clock tomorrow  
22 morning and, unless you hear otherwise, we will see you  
23 all then.

24  
25 THE INQUIRY WAS THEN ADJOURNED TO WEDNESDAY, 13:05  
26 8TH NOVEMBER 2023 AT 10 A. M.

27  
28  
29