



Urology Services Inquiry

Oral Hearing

Day 76 – Thursday, 7th December 2023

**Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)**

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

INDEX

	<u>PAGE</u>
Mr. John O'Donoghue Examined by Mr. Wolfe KC	3
Lunch adjournment	67
Questioned by the Inquiry Panel	108

1 THE INQUIRY CONTINUED, AS FOLLOWS, ON THURSDAY, 7TH
2 DECEMBER 2023

3
4 CHAIR: Good morning, everyone.

5 1 Q. MR. WOLFE KC: Good morning, Mr. Donoghue. Welcome 10:06
6 back and thank you for coming on that miserable
7 morning.

8
9 You were last with us on 11th October. Apologies that
10 I was hospitalised, I'm not sure that you were the 10:06
11 cause of that, and the conclusion of your evidence has
12 been delayed.

13
14 Just for your note, members of the Panel, the
15 transcript for Mr. O'Donoghue's first day of evidence 10:06
16 is to be found at TRA-08452 and it runs through to
17 08592.

18
19 Just by way of recap, Mr. O'Donoghue, you'll recall
20 that we covered a wide range of issues associated with 10:07
21 your experience of working in the urology department of
22 the Southern Trust since August 2014, and your evidence
23 included discussion of methods of working, aspects of
24 the multi-disciplinary team mode of working, which
25 we'll look at further today. Urologist of the week, 10:07
26 we'll commence this morning by just going back on a few
27 aspects of that. We looked at management arrangements,
28 governance arrangements, including appraisal, incident
29 reporting, SAI, and the Patient Safety Meeting.

1 We spent some time focusing on stent management and the
2 sign off of results. We also looked at the role of
3 admin support and the delegation of tasks, and we took
4 some account of the environment in which you worked in
5 terms of the pressure placed on services and the impact 10:08
6 of that pressure on staff and patients. I think
7 we closed on the last occasion, having had a fairly
8 in-depth look at triage?

9 A. Yes.

10 2 Q. I just want to commence this morning by going back 10:08
11 a step into triage and just asking you a few questions
12 in terms of triage and its impact on other urology or
13 urologist of the week duties.

14
15 Could I ask you this: Did the emphasis, if that's the 10:09
16 right word, which was placed on the need to complete
17 triage when Urologist of the week, did that impact
18 markedly on the other duties that were fundamental to
19 the UOW model? Here I'm thinking, obviously you were
20 responsible as Urologist of the week for the care and 10:09
21 oversight of all acutely admitted and electively
22 admitted patients, and you also had an advisory role
23 across the three hospitals in the Southern Trust
24 estate, patients coming in to the emergency department
25 and other inpatients, for example, with urology 10:10
26 problems. It's a long way round to get back to the
27 question: Did triage impact markedly on the time that
28 you could give to these other duties?

29 A. Well, it didn't take away from the other duties.

1 I managed my time, I think, reasonably well. I mean,
2 triage I usually did later in the day when the other
3 activities had all been completed, so when patients had
4 been taken to theatre, when the ward round had been
5 done and more urgent things had been dealt with. So if 10:10
6 I needed to stay in the evening, I stayed in the
7 evening and did it. So, you know, I could be triaging,
8 8, 9, 10 o'clock at nighttime but I completed it on the
9 day, it was done every day. It wasn't at the expense
10 of other activities, it was a lot of work but I don't 10:10
11 think other activities suffered.

12 3 Q. Maybe another way of looking at it is that the emphasis
13 on triage diminished the time that you could and would
14 otherwise might have liked to give to the other duties
15 associated with UOW? 10:11

16 A. No, again, I think I spent enough, the amount of time
17 needed on the other activities, I spent on those
18 activities. Triage was something that didn't need to
19 be done immediately and so it was dealt with when I had
20 time to do it. So I didn't sort of cut corners in 10:11
21 other activities or do less in the other activities at
22 the expense of triage.

23 4 Q. One of the things you spoke about on the last occasion
24 was the ward round when, I suppose Thursday morning, if
25 my recollection is right -- 10:12

26 A. That's right.

27 5 Q. It had been built into the model, at least originally,
28 that the person ending his UOW week would hand over to
29 the incoming consultant. I think you explained to us

1 that that has now fallen away. I think I took from
2 your evidence that it has fallen away completely, at
3 least so far as your arrangements are concerned, and
4 it's more typically done and more conveniently done,
5 I think you said, over the phone the night before you
6 would come on --

10:12

7 A. Or the morning after because admissions would come in
8 overnight, so you would do that in the morning.

9 6 Q. Yes. And I'm not sure if you used the term 'it was
10 a better use of time' to do it that way, but I think
11 that was the impression that you gave me, and gave us?

10:13

12 A. Yes, I think you're quite right and I probably did use
13 that term. I felt that morning ward round went on for
14 most of the morning, particularly when Mr. O'Brien used
15 to hand over to me which went from 9 o'clock in the
16 morning until practically 1 o'clock. It might have
17 been Mr. O'Brien being overly verbose, spending a lot
18 of time on each patient, not necessarily gleaning
19 anything useful for a lot of the patients, the sicker
20 patiently certainly but that information can be -- you
21 don't have to be standing next to somebody to relate
22 what's going on with a patient.

10:13

10:13

23 7 Q. Could I bring you to a minute or a record of the
24 Urology Service Development Meeting which took place in
25 September 2018, AOB-81797. I don't know if you recall
26 this. I think the meeting took place 24th
27 September 2018. You joined the meeting late, it would
28 suggest. And just there was a discussion of the
29 Urologist of the week model and it says that:

10:14

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"This topic was discussed tentatively with each consultant able to contribute to the discussion. The consensus was that the inpatient ward round was of prime importance requiring consultant presence. The structure for referral and advice provided needs to be improved and where possible definitive care should be delivered during the current inpatient stay."

10:15

The word consensus suggests agreement across the team that the ward round was of prime importance. This is September 2018. Was that your view or did you share that view at the time with colleagues?

10:15

A. I'm sure I did at the time, if it was consensus, but I think things evolve. And I think as the years went by, I think it was -- I probably didn't agree with it as much, probably after Mr. O'Brien retired. Because I felt five hours of not contributing much apart from very sick patients, the patients -- when you could be doing other things was probably a waste of time.

10:16

8 Q. Yes. The current position where you don't have a formal ward round but conduct it essentially remotely by telephone with your partner, when I say partner, the person handing over to you; is that the approach now across the urology team at Southern Trust?

10:16

A. To the best of my knowledge, because it works very well. We have also reconfigured how the registrars work, because the registrar who has been on earlier in the week is also on the Thursday. So they actually

10:16

1 know the patient even better than the consultant
2 because they're on the ground, they're seeing the
3 patient all day. The junior doctors are there. So
4 it's probably better for the consultant coming on that
5 way, I think. Because doctors who see the patients 10:17
6 every day will know the patients intimately. The
7 consultants see them in the morning on the ward round
8 and that's it.

9 Q. I've put to you or asked you to respond to the
10 suggestion that putting priority on triaging might have 10:17
11 compromised the time that you could spend on other
12 duties, and you've dealt with that. I suppose,
13 conversely, did these other duties associated with UOW
14 compromise or impact on the time that you would have
15 liked to have spent on triage? 10:18

16 A. Well, there are always competing duties for a doctor
17 and, you know, if you're going to theatre you can't
18 triage. But going to theatre is obviously more
19 important than triaging because the patient is an
20 emergency. So, again, it's prioritisation. 10:18

21 10 Q. You explained on the last occasion that when you were
22 urologist of the week you had to spread yourself,
23 I think you used the term "sensibly and safely", and
24 that the sheer numbers of referrals coming in precluded
25 you from booking investigations for them all or for all 10:19
26 that might otherwise have been appropriate to book.
27 You had to be selective, was the term that you used.
28 You would recognise, I think, the scenario that if
29 a patient is referred in as routine or urgent, the

1 likelihood is that they are not going to be seen at
2 a clinic for some time. Is that something you
3 recognise?

4 A. Yes, but in saying that, GPs may prioritise a patient
5 incorrectly, so you have to read it carefully. If a GP 10:19
6 has referred a patient with an elevated PSA as routine,
7 one would obviously upgrade that to red flag.

8 11 Q. Of course?

9 A. So you obviously don't just follow what the GP writes.

10 12 Q. Yes. I suppose my point is a slightly different one. 10:20
11 where you have routine and urgent referrals coming in
12 and you are not able to find the time during urologist
13 of the week to go through them other than to confirm
14 that they are urgent or routine, and not take any
15 additional steps by way of investigation, does that 10:20
16 create a risk for a patient where they're not going to
17 be seen at an outpatient's clinic for 12 months or
18 longer, given the waiting lists that were in play?

19 A. I suppose it may do in that you're only as good as the
20 information that's related to you by the GP. But, in 10:21
21 saying that, I look at NIECR anyway so I get a feel for
22 what's going on with the patient. So a patient whose
23 coming in with voiding difficulty doesn't necessarily
24 need a scan. In fact, if they are going to be seen
25 a year down the line, the scan is going to be -- you 10:21
26 would have to repeat the scan, probably, anyway. So
27 I think you've got to look at it sensibly, and those
28 patients, you know, you -- I think patients who need
29 scans more urgently could end up suffering at the

1 expense of patients who don't need scans more
2 immediately. You can also overbook, you know,
3 overburden the extra service, although that wouldn't be
4 something in my mind.

5 13 Q. Should I interpret your answer as painting a picture of 10:22
6 scans are booked as a result of the triage process in
7 all cases, whether routine, urgent or red flag where it
8 is appropriate or, just to be clear, are you finding
9 yourself in a situation where you're being selective
10 and not booking scans for some routine and urgents 10:22
11 because you know that the system wouldn't be able to
12 cope, wouldn't have the capacity to cope with that kind
13 of approach?

14 A. Scans would be booked, I think, where it is clinically 10:22
15 indicated, where I think where a patient needs a scan
16 in the foreseeable future. I don't book scans for
17 every single patient that I triage.

18 14 Q. And where you don't book a scan, is that simply
19 because, having reviewed the referral papers quickly,
20 as you must do to move on when you are the urologist of 10:23
21 the week, is that because at that time you have reached
22 a clinical decision that it is not urgent or necessary
23 to have a scan booked at that time?

24 A. Yes, that would be my decision making. So I would
25 decide the patient doesn't need a scan at that time. 10:23

26 15 Q. Could I ask you just a practical question. Do you
27 think that enhanced or advanced triage could be
28 effectively undertaken by personnel other than
29 consultants?

1 A. It could be undertaken by a Clinical Nurse Specialist,
2 certainly, with wide experience, I would have thought.

3 16 Q. You had spoken a moment or two ago about the need, when
4 looking at referrals, to be careful to position
5 yourself so that you're able to upgrade, where it's 10:24
6 appropriate to upgrade, such as from urgent to red
7 flag?

8 A. Yes.

9 17 Q. Do you consider that the pressurised environment, which
10 is the lot of the Urologist of the week, you explained 10:24
11 on the last occasion how, I think you said you didn't
12 like it very much because it was so busy. If that's
13 a false memory you can correct me. But you gave the
14 impression of an extremely busy environment. Maybe
15 just deal with that? 10:25

16 A. Well, as a personality I don't like lots of competing
17 things at the same time anyway, whether it is a work
18 environment or any environment.

19 18 Q. Do you think that that environment placed you at any
20 risk of not having adequate time to always correctly go 10:25
21 through the process necessary to determine whether
22 a referral needed upgraded?

23 A. No. I think I would have examined each of them as
24 carefully as I could. But, human nature being what
25 human nature is, you can never get something right 10:25
26 100 percent of the time. So if you're looking at 50
27 referrals, you may get it wrong. But, I mean, whether
28 you have an hour to do it or ten hours to do it, you
29 can still make that error, it's human nature. So I'm

1 sure that 100 percent of the time I didn't get it
2 right. I would be foolish if I said I did.

3 19 Q. Yes. Could I refer you to one case, it concerns
4 a Patient 205, which you may recognise the name from
5 the -- so we'll deal with the number as opposed to the 10:26
6 name on the designation sheet. There's a record of an
7 MDT meeting concerning this patient. If we can pull up
8 AOB-80120, and just at the bottom of the page we can
9 see reference to this patient?

10 A. Yes. 10:27

11 20 Q. The name has been removed, which is why I was
12 struggling to recognise it. It is Mr. O'Brien's
13 patient.

14 A. Yes.

15 21 Q. The MDT is taking place in November 2017, and the 10:27
16 suggestion that is made on Mr. O'Brien's behalf is that
17 you triaged this patient in or about May of 2017
18 pursuant to an urgent referral and didn't upgrade it,
19 the suggestion being that it would have been an
20 appropriate case for upgrade. Subsequently, a CT 10:28
21 urogram was arranged in July of that year leading to
22 a diagnose of right ureteric carcinoma for which a
23 right nephroureterectomy was performed in November of
24 that year. Do you remember the case?

25 A. I don't. And I've only seen this in the last hour, and 10:29
26 so I probably need to see the original paperwork before
27 I sort of give any pronouncement on my decision making.

28 22 Q. Yes. I did ask you in the general, before coming to
29 the specific, and I think you fairly admitted that

1 everyone is -- you are, like everyone else, capable of
2 human error.

3 A. Absolutely, yes.

4 23 Q. And you accept that there may obviously be cases where
5 an upgrade should have been the decision. 10:29

6 A. And if I had seen haematuria, visible haematuria
7 I would certainly have upgraded it to red flag. So
8 that certainly would have been a red flag.

9 24 Q. So if the referral had come in mentioning haematuria,
10 the correct decision would have been to upgrade. If 10:30
11 the referral didn't mention haematuria, you would
12 forgive yourself for not upgrading, but if it did you
13 would...

14 A. Yes, but I suppose one can also say the patient was
15 triaged on the day that the patient was seen and so the 10:30
16 patient got into the system and was picked up, so the
17 patient was triaged, albeit red flag would have been,
18 certainly, if it was sent in -- if the referral letter
19 had mentioned haematuria, certainly I would have
20 upgraded to red flag, maybe. But I don't know the 10:30
21 particular circumstances.

22 25 Q. Yes but back, I suppose, to my original point. Is the
23 pressure of time a factor in terms of your ability and
24 your colleagues' ability to get this right, or do
25 you stand by the point you made earlier that you could 10:31
26 still make a mistake, even with the luxury of time?

27 A. I think it's human nature. You know, I wouldn't rush
28 through triaging because it's a recipe for disaster.
29 So I'm sure if I had ten hours and I had missed it, it

1 would happen anyway because you can never get anything
2 100 percent right all the time. But triaging, you
3 know, it is important to triage because at least the
4 patient will get into the system and hopefully the
5 other mechanisms along the way will pick this up as, 10:31
6 seemingly, it had been picked up. So the patient
7 wasn't sitting, not triaged.

8 26 Q. The suggestion would appear to be that at the time you
9 were triaging the patient it would have been
10 appropriate to request a CT urogram. Again, you can't 10:32
11 answer specifically whether that would have been an
12 appropriate decision for you at the time, but -- sorry,
13 go on?

14 A. Visible haematuria would have certainly made me book a
15 CT urogram. 10:32

16 27 Q. Is that a time consuming process to arrange that during
17 the triaging process?

18 A. It adds on another five or six minutes because it is
19 done online. You have to go into the X-ray part of the
20 patient's record and you have to enter all the details. 10:32
21 If you miss a detail, the record won't -- it won't go,
22 so you have to make sure you have all the boxes ticked.
23 So it is five or six minutes usually.

24 28 Q. Yes, but that's --

25 A. And you have to put clinical details, obviously, so... 10:33

26 29 Q. So it is time consumption to that extent but it doesn't
27 appear, from your answer, to be suggesting
28 a disincentive to doing it properly?

29 A. No, it wouldn't be a disincentive, no. If the patient

1 needed it doing, it would be done.

2 30 Q. Just going back to a particular point that you made in
3 association with Mr. O'Brien's practice around triage.
4 If we can bring up your statement at WIT-50551. Just
5 go to 69.1. You've remarked:

10:33

6
7 "I think there was a failure to engage by Mr. O'Brien
8 with the Urology Service. Mr. O'Brien failed to triage
9 urology referrals and he failed to refer a patient from
10 the uro-oncology MDM onto another clinician."

10:34

11
12 That's an incident report that you raised and we'll
13 look at that later. You say:

14
15 "With regard to his failure to triage, he should have
16 let the head of service know that he was struggling to
17 complete the triage."

10:34

18
19 We have heard from Mr. O'Brien in his evidence and he
20 says that he made it clear to the head of service, to
21 relevant personnel that he found it impossible to
22 complete the triage. Let me just bring you to what
23 Mr. Young says about that. He commented on this just
24 this week when he gave evidence. If we go to
25 WIT-51820. And at 64.14 he records:

10:35

26
27 "It was appreciated that Mr. O'Brien was vocal about
28 saying he had a difficulty in completing triage as he
29 did not have enough time."

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

So a bit of a difference between what Mr. Young recalls and what Mr. O'Brien is saying, I found it impossible and I communicated that, and that was clear, it should have been clear that I wasn't able to do routines and urgents, seems to be his line. Mr. Young's line is that Mr. O'Brien at no point came to me and said I wasn't doing it, but it was appreciated, nevertheless, that he had great difficulty in completing triage as he did not have enough time. So there's that distinction.

would you agree, upon reflection, that there was knowledge across the team that Mr. O'Brien was at least struggling, even if you didn't appreciate that he had stopped doing it?

A. Well I felt he was very inefficient doing his triage because he did letters on patients, which I said before, and they were four A4 pages long on a patient and, really, they were just crowded in facts. I'm not entirely sure how useful they were. The people afterwards reading those letters, they were just too full of facts. Also, to compose all the letters must have taken Mr. O'Brien half an hour, I mean they were so full of detail. So if you have a couple of hundred referrals a week and you are doing letters like that, you can't, nobody in their -- no one person could possibly complete triage with that in-depth.

1 Also, I tended to follow him on call and I noticed on
2 ECR or even when the hard copies were there that
3 he didn't do them every day. There were days upon days
4 of triage not done and there were often emails back and
5 forth saying that the red flags hadn't been done during 10:37
6 his week. So you could see virtually the entire week
7 not triaged, because I tended to look at it the day
8 before I came on to see what was waiting there.

9 31 Q. Okay. Just getting back to my original point, and
10 we'll come to some of those other points, you're saying 10:38
11 Mr. O'Brien ought to but failed to engage with Urology
12 Service to inform Head of service that he was
13 struggling. Were you unaware that he was making it
14 clear, and Mr. Young vouches this, he was making it
15 clear and was vocal about saying he had a difficulty in 10:38
16 completing it. Did you not hear that?

17 A. I knew that he was struggling but not to the extent
18 that he was struggling. I mean, it's a workload for
19 everyone and perhaps he was more vocal than others.
20 But was I aware that things were not triaged apart from 10:39
21 what I could see? I mean possibly not. But I knew he
22 was struggling, certainly.

23 32 Q. But you weren't ever aware of him saying "this is
24 impossible"?

25 A. Well, I can remember an instance, him saying it's 10:39
26 impossible? I don't think so, no. But I remember him
27 saying he was finding it difficult. That doesn't mean
28 he wasn't doing it.

29 33 Q. Your earlier answer pinpoints something you had said

1 before in your evidence. It's essentially your
2 diagnosis of why he would find it difficult, and that
3 is he was going into too much detail composing letters
4 that, I take it from your evidence, you felt were
5 unnecessary and unhelpful and time consuming? 10:39

6 A. Certainly I think it was a contributing factor. I am
7 sure it's not the entire cause of the problem, but
8 I think certainly it was a contributing factor, a major
9 probably contributing factor.

10 34 Q. Did you ever speak to him about his technique or his 10:40
11 approach to it?

12 A. No.

13 35 Q. Why not? Is that not something you would feel
14 a responsibility to do?

15 A. I think at the time I was a more junior consultant so I 10:40
16 think coming up to the senior consultant in the
17 department and saying, 'I think you are doing this
18 totally wrong'. Perhaps I should have, but it's not
19 something I thought about doing, no.

20 36 Q. You refer to four-page letters, I think that was the -- 10:40
21 A. Yes.

22 37 Q. I mean, is that just a phrase that's maybe --
23 A. No, no, I have counted the pages.

24 38 Q. -- slight hyperbole?
25 A. No. I counted the pages, full A4 pages on patients 10:41
26 that have been referred in.

27 39 Q. Are you describing here a triage letter or the outcome
28 of a triage?

29 A. So is a patient is referred in with visible haematuria,

1 Mr. O'Brien would have dictated a letter with all the
2 clinical details for the last several years and most of
3 it irrelevant or certainly not relevant to the problem
4 at hand I think.

5 40 Q. I think I picked up on you saying earlier -- sorry, 10:41
6 just before leaving that point, you're not able to
7 pinpoint any particular letter or particular patient in
8 terms of lengthy letters?

9 A. No. Because I think if you look at Mr. O'Brien's
10 letters in general, they're all quite lengthy. I don't 10:41
11 think I've ever seen a short letter from Mr. O'Brien,
12 on any patient.

13 41 Q. In terms of him being behind in dealing with triage,
14 I mean it's clear, we've lots of evidence of that. But
15 focusing on urologist of the week period from tail end 10:42
16 of 2014, that model of working was introduced. The
17 sense of it perhaps on the evidence before this Inquiry
18 was that ultimately The Trust found that there were
19 a large number of routine and urgent referrals simply
20 not done, simply not touched, maybe glanced at on 10:42
21 Mr. O'Brien's account every so often to check whether
22 the patients are progressing through the system in any
23 event. But in terms of the red flags, again, seeing
24 some evidence of delays around that, but your evidence
25 this morning was you were seeing evidence sometimes of 10:43
26 two week delays?

27 A. Well certainly when I would come on call there would be
28 triage from his on call left, and sometimes I would do
29 them, sometimes I would leave them for him, let him

1 know they were there.

2 42 Q. In terms of red flags, your observation is that you
3 were seeing delays even on those?

4 A. Whether I can say there were red flags, I mean, there
5 were referrals. I'm not probably willing to say they
6 were red flag, whether they were urgents. 10:43

7 43 Q. Can I move from the issue of triage to dictation and
8 the compilation of records as a result or as
9 a consequence of engaging with a patient at clinic.
10 You will know, obviously, by now that one of the issues 10:44
11 that fed into the MHPS investigation was a failure on
12 Mr. O'Brien's part to promptly deal with his
13 responsibilities as The Trust viewed it to promptly
14 dictate and make records after a clinical encounter.

15 10:45
16 we've heard from you on the last occasion, albeit
17 briefly on this broad issue. You said, for example,
18 that you always dictate letters when you receive
19 results. But I want to hear from you in terms of your
20 approach to dictation, say, following an outpatient 10:45
21 review clinic. What records were you responsible for
22 making and when did you make them and for what purpose?

23 A. So at the end of clinic I used to dictate. I didn't
24 leave clinic until I dictated. I now actually do it
25 after each patient encounter because I find it easier 10:45
26 to do it that way. But I never left a clinic without
27 dictating. That's what I have done as a registrar and
28 when I was a consultant in England. In fact when I
29 arrived in Craigavon, the first week I arrived in

1 Craigavon, I noticed from Mr. O'Brien's side the lack
2 of dictation.

3 44 Q. I think you spoke to us on the last occasion about that
4 first week. I think you were covering a theatre
5 list -- 10:46

6 A. Yes.

7 45 Q. -- for Mr. O'Brien and when you went to the chart you
8 realised there were no letters. Your language "no
9 letters in the charts" and it took a long while for you
10 to work out why the patient was on the list. 10:46
11 Just coming back to your own practice. To whom would
12 you direct letters following a clinic?

13 A. So, if it's a clinic letter I direct it to the GP. If
14 it's results I direct it to the patient and copy to the
15 GP. When I was in England I copied letters to the 10:47
16 GP -- to the patient, but since I've come here,
17 I haven't been doing that.

18 46 Q. There's some interest on the part of the Inquiry in
19 terms of communication with the patient. What was the
20 thinking in England in relation to writing to the 10:47
21 patient, and why is it different here, do you think?

22 A. Well, I think in England it was that the patient would
23 know what is happening. You obviously have to write
24 a different kind of letter if you are writing to the
25 patient and the GP. You have to dumb it down a little 10:47
26 bit. I think Roger Kirby said a couple of weeks ago
27 that he actually enjoyed doing letters to patients. It
28 just wasn't done here, so that's why I didn't do it
29 here. But it is not something -- I wouldn't be adverse

1 to doing.

2 47 Q. Mr. Young spoke yesterday about perhaps an increasing
3 trend in Northern Ireland or a movement towards writing
4 to patients. Do you think there's merit in that and
5 has it caught on with you yet? 10:48

6 A. As I said, I write to the patient with results but
7 I haven't yet done clinical letters.

8 48 Q. Would there be merit in doing that do you think or do
9 you see merit in it?

10 A. It is, because patients may not always pick up what 10:48
11 you're saying in clinic because there's a lot of
12 information overload. So when they go home, if they
13 get a copy of the letter, it sort of certainly informs
14 them and lets them know what's happening in case
15 they didn't pick it up in clinic. 10:48

16 49 Q. Back to Mr. O'Brien's practice and what you noted and
17 what others noted. Could I draw your attention to
18 Mr. Haynes' evidence. He has commented, and I don't
19 need to bring it up on the screen, TRA-00867. He
20 remembers that when the service moved up to six 10:49
21 clinicians, when you started you would have tried to
22 work as a team and yourself and Mr. Haynes seeing some
23 patients who Mr. O'Brien had seen previously and
24 you both raise a concern. He said, along with
25 Mr. Glackin and Mr. Young, when you were doing that, 10:49
26 when you were doing Mr. O'Brien's patients because
27 you didn't have any documentation about the decision
28 making that had gone on before.

29

1 To what extent was that a real problem or was it maybe
2 just a small problem that you could easily work around?
3 A. Well, it's not really -- it's quite a big problem. In
4 patients who have rather thick notes it can be
5 difficult to find exactly where doctors write their 10:50
6 notes. Mr. O'Brien wrote notes but they were always,
7 probably for his benefit than anybody else coming
8 afterwards, you know, they were short, they were a few
9 lines long. So he obviously knew what he was trying to
10 say but anybody else coming in, 2 or 3 lines may not be 10:50
11 enough to give the whole picture of what is going on,
12 particularly if there isn't a letter.

13 50 Q. So the gap was the letter, as you saw it, that was the
14 important communication tool so that you would
15 understand what would come next for the patient? 10:51
16 A. Yes. I found that very difficult because I had been
17 brought up doing correspondence for everything, so
18 I found it very strange.

19 51 Q. Another feature of Mr. O'Brien's practice that we have
20 heard about in evidence was the not irregular 10:51
21 occurrence whereby patient charts wouldn't be available
22 in the hospital when a patient perhaps came in as an
23 emergency or where he or she was coming into clinic.
24 Was that something you experienced?

25 A. It was something I was aware of and, again, something 10:51
26 I found very strange because I trained in Oxford and
27 one of the urologists there has a big medicolegal
28 practice and we were constantly reminded that it should
29 be a never event to take notes outside the hospital.

1 So I found that bizarre when I arrived and didn't agree
2 with it obviously, particularly when there were no
3 letters. So if the notes were home and you had no
4 typed letters, you know, you had no idea in an
5 emergency situation what was going on. 10:52

6 52 Q. Could I draw your attention to, I suppose, one such
7 emergency arrival or arrival at the emergency
8 Department of a patient which Mr. Haynes has drawn our
9 attention to. If we go to WIT-54882. Here he is
10 explaining a problem he experienced in 2016 when 10:53
11 a patient called Patient 103 arrived at the hospital.
12 I don't know, if you glance at the designation sheet,
13 whether the name Patient 103 has any meaning to you.
14 So this patient, Patient 103 according to Dr. Beckett,
15 is it? Are you familiar with him? 10:53

16 A. I'm not familiar with -- the name Beckett is obviously
17 something I'm aware of but I don't know him in person.

18 53 Q. As he records this girl, it was at the emergency
19 department at Daisy Hill with him that morning. There
20 was the some suggestion of a further USS, is that ultra 10:54
21 scan?

22 A. Ultrasound.

23 54 Q. "But I deferred organising that until I hear what the
24 urologists are doing".
25
26 so this is brought to Mr. Haynes' attention by
27 Martina Corrigan. If we scroll up, she explains to
28 him -- or, sorry, she is explaining to Mr. Beckett this
29 patient was admitted under Mark Haynes via A&E and,

1 scrolling up, Mr. Haynes then explains the problem that
2 he faced:

3
4 "I saw this lady this morning on my ward round.
5 I have not been involved in her care to date. I have 10:55
6 not received a referral. There are no letters on the
7 ECR, and her notes detailing previous consultations
8 were not available to me on the ward."
9

10 He discussed the plan going forward which will depend 10:55
11 on how her current pain settles.
12

13 So he came to the Inquiry and he spoke about this case
14 and he explained how the absence of appropriate
15 documentation on the ECR really placed him at 10:55
16 a disadvantage, coupled with the fact that the notes
17 were not available to him for whatever reason. Is
18 that -- maybe you don't recognise the case, but is that
19 a scenario that is typical of what you were
20 experiencing? 10:56

21 A. As a scenario, I mean, how many times it happened to
22 me, I don't know because it wouldn't have been that
23 common. But I mean certainly it's an example of what
24 can happen by not dictating, by not having paperwork.
25 Because it demonstrates somebody who has all the 10:56
26 information on the patient himself, but other people
27 are involved and if he's not there nobody knows what's
28 going on. I say to my registrars, you know, you have
29 got to dictate because if I'm knocked down by a car,

1 nobody will know what's going on so at least if it is
2 all dictated somebody can take over, know what's going
3 on.

4 55 Q. You said it didn't happen terribly much for you.
5 A. Not that I remember. But I'm sure it probably has, 10:56
6 just nothing is coming to mind right now.

7 56 Q. Dr. Chada looked at this issue for the purposes of her
8 investigation and a bit of a dispute on how many cases
9 and how many clinics there was an absence of dictated
10 letters. Mr. O'Brien would put it at the low couple of 10:57
11 hundreds, a higher figure from Dr. Chada. Regardless
12 of the precise numbers, clearly an issue of concern for
13 Mr. O'Brien's colleagues?

14 A. Absolutely. Because, as I say, if you don't have the
15 notes or if you only have 2 or 3 lines on the notes and 10:57
16 you don't have letters, it takes a lot more effort as
17 well because you have to go through -- you know, it is
18 like starting from scratch. You have to piece it
19 together, work out what is going on.

20 57 Q. You noticed this the first week in the job -- 10:58
21 A. Yes.

22 58 Q. -- in August 2014. It's still a feature of his
23 practice, it would appear, into 2016, and then comes to
24 a head, I suppose, with the MHPS investigation. Did
25 you ever speak to him about his practice 10:58
26 and "challenge" might be the wrong word, but seek to
27 persuade him to a better course?

28 A. I didn't and perhaps I should have. Perhaps I just got
29 on with things. I was new in the job, by 2016 I had

1 been there two years. At that point I was still aware
2 that he probably wasn't dictating, but I just got on
3 with things.

4 59 Q. Yes. We can see from what Mr. Haynes and perhaps
5 others have said that there was clearly a conversation 10:59
6 going on between you and him, and you would agree with
7 that?

8 A. Yes.

9 60 Q. Probably reflecting the inconvenience and, to some
10 extent, difficulties posed for patients. I don't know 10:59
11 if you would put it as high as patient risk?

12 A. Well, it is a patient risk. I mean if you don't -- if
13 a patient can't tell you what's going on and you need
14 to act quickly. So it's certainly a potential risk,
15 yes. 10:59

16 61 Q. Yes. Can you help us understand why this was allowed
17 to fester, if "fester" is the right word. It wasn't
18 challenged certainly by you?

19 A. It certainly wasn't challenged by me and, you know, on
20 reflection I should have challenged it. It's always 11:00
21 a bit difficult, I would have thought, with a senior
22 colleague. But that shouldn't have stopped me,
23 I suppose. I should have said it to him really,
24 I suppose.

25 62 Q. I suppose when the Inquiry is reflecting about issues 11:00
26 such as this, it sees the potential for patient harm
27 and it sees that colleagues in the team are aware of
28 the problem. And on your account it is put into the
29 "too difficult to challenge" box and the problem goes

1 on. And you have expressed it, perhaps, on
2 understandable human terms, I'm the junior consultant,
3 he's the senior, it's difficult. But reflecting on
4 that, and we can look at other issues where that seems
5 to be the explanation for the behaviours, it's not good 11:01
6 enough, would you agree, and, secondly, is that -- is
7 these kinds of behaviours, can they be cured, can the
8 culture be changed?

9 A. Certainly it's not good enough. On reflection
10 I probably would -- if I was in the same situation now 11:01
11 I probably would and with another colleague I probably
12 wouldn't let it continue, I would certainly act on it.
13 Can it be changed? You are probably trying to change
14 a personality to some extent. I don't know what
15 Mr. O'Brien did earlier on in his career. I don't know 11:02
16 whether he dictated letters in those days, I don't
17 know. But, certainly, it shouldn't have been left to
18 go on. It shouldn't have been left to fester, as you
19 said.

20 63 Q. Your options, you are on, I suppose, the receiving end 11:02
21 of these behaviours and your patient is. You are
22 facing into the frustration of not knowing what's going
23 on with this patient and having to dig a bit around the
24 edges to come up with a viable plan. Your option,
25 having faced into this issue, maybe across a number of 11:02
26 patients, is to speak to Mr. Young, the clinical lead,
27 or perhaps the Clinical Director, Mr. Brown and/or to
28 complete an incident report. It would merit an
29 incident report, do you think?

1 A. Absolutely, it would have. I certainly should have
2 taken more action -- I should have taken any action,
3 I should have taken action on the matter because it is
4 a risk and I hold my hands up, I should have acted on
5 it.

11:03

6 64 Q. For fear that you may think I'm beating up on you,
7 I asked Mr. Haynes -- Mr. Haynes was aware of the
8 example I drew to your attention, Patient 103,
9 he didn't raise an incident report on that. He dealt
10 with it by way of airing his frustrations with
11 Mrs. Corrigan, so that the issue was known about but it
12 wasn't put on that formal footing of an incident
13 report?

11:03

14 A. And I think I probably would have aired it as well and
15 I would have talked about it but didn't do anything
16 formally about it. But I certainly would have vented
17 my frustration.

11:03

18 65 Q. Can I move on to the issue of private patients. Again,
19 an issue that was considered by Dr. Chada as part of
20 her investigation was the extent to which, if at all,
21 Mr. O'Brien was giving advantage to patients he saw in
22 his private room ahead of NHS patients. You came from
23 England to working in the Southern Trust in summer of
24 2014. Did you have a sense that private patients were
25 coming into the Urology Service of the Trust ahead of
26 time or ahead of the time that an NHS patient would
27 come in?

11:04

11:04

28 A. Well certainly seeing patients on the ward, I wouldn't
29 have known where they came from. I had heard some

1 rumours from registrars that there may have been
2 private patients had been seen, but I wasn't aware of
3 whether they had gone in early or how they'd got into
4 the hospital, I was just aware they had seen
5 Mr. O'Brien privately in his rooms. It wasn't
6 something I pursued.

11:05

7 66 Q. Yes. It is something that Mr. Haynes pursued. I will
8 just briefly introduce you to what he did when the
9 concerns arrived at his door, TRU-274504. At the
10 bottom of the page, this is May 2015, you are in the
11 Trust just coming up a year or so, or just less than
12 a year. And he is explaining that he is feeling
13 increasingly uncomfortable discussing urgent waiting
14 list problems when he says:

11:06

15
16 "We turn a blind eye to a colleague listing patients
17 for surgery out of date order, usually having been
18 reviewed in a Saturday non-NHS clinic."

11:06

19
20 He says:

11:06

21
22 "On the attached total urgent waiting list there are 89
23 patients listed for an urgent TURP, the majority of
24 them with catheters in situ, and they have been waiting
25 up to 92 weeks."

11:07

26
27 And he contrasts that with a patient who went retention
28 in the middle of March '15, failed the TWOC test, seen
29 in a private clinic two weeks, three weeks later, and

1 surgery a little after a month later. So that's,
2 I suppose, a turn around from problem to procedure
3 within two months, two and a half months or so. Would
4 it be your experience that ordinarily a patient coming
5 on to the NHS waiting list at that time needing a TURP 11:07
6 would rarely be seen within two and a half months?

7 A. Yes. It wouldn't -- unless they had a prostate cancer
8 and they needed radiotherapy or something they may be
9 done quickly because that is time sensitive. But
10 I think a patient being on the list with a catheter, 11:08
11 needing TURP, that would be very unusual to be done
12 that quickly.

13 67 Q. Obviously there may be particular circumstances --

14 A. Yes.

15 68 Q. Clinical features in a specific case that may merit 11:08
16 particular approaches to a patient. Could I draw your
17 attention to a second email that Mr. Haynes sent some
18 six months later, WIT-54106. He is again writing to
19 Mr. Young, Mrs. Corrigan. He is referring to his
20 earlier email and making broadly the same point, that 11:09
21 waiting lists are not being managed chronologically and
22 private patients being brought in on to NHS lists
23 having significantly jumped the queue or the waiting
24 list. So that was his concern. Did Mr. Haynes or
25 anybody else speak to you about it? 11:09

26 A. Not directly. I'm not aware of these patients. I had
27 heard rumours from registrars but I wasn't aware of
28 particular patients who were coming in that quickly and
29 having procedures done, no. But I had heard rumours

1 but they were just registrars on ward rounds saying it
2 to me.

3 69 Q. You've told us already that you have a private
4 practice?

5 A. I do, yes. 11:10

6 70 Q. Did you bring patients from your private practice into
7 the Southern Trust facilities for procedures?

8 A. So the patients I brought in weren't private, they
9 transferred to the NHS and they -- I always tell my
10 patients that they don't get any advantage by going to 11:10
11 the NHS, they go on the waiting list at the point that
12 they have been referred. So obviously clinically
13 dictated but I don't give patients any advantage, in
14 fact I forgot the names very quickly, so they go on the
15 list. There's also an NHS transferral form where 11:10
16 they're transferred into the system.

17 71 Q. So just take us through, so that we can better
18 understand the process. If you see a private patient,
19 say for the first time on a Friday afternoon, I think
20 you've explained to us that your private work is 11:11
21 typically done on a Friday, and you decide that the
22 patient's -- maybe you have done some investigations,
23 but you have reached the conclusion that a TURP is the
24 necessary intervention and you tell the patient that
25 will be a sum of money to deal with that privately and 11:11
26 the patient decides, no, I can wait, I would prefer to
27 have it done via the NHS. What steps do you take from
28 there?

29 A. So, one, they're aware that they are not getting any

1 advantage, they're not displacing an NHS patient. So
2 I dictate a letter to my secretary so that there is
3 a dictated letter gets on the system so that it's
4 copied into the notes and it goes on ECR now as well.
5 There's an online NHS transfer form now which I do, 11:12
6 which has come on recently, before that it was a paper
7 letter.

8 72 Q. To illustrate that, I think we can bring one up,
9 TRU-267692. That's the 2016 form. There have been
10 earlier iterations of it. It may well have changed 11:13
11 since.

12 A. It's gone online now as well.

13 73 Q. You would complete that at the point at which you are
14 dictating a letter in to your secretary?

15 A. Yes or I just ask her to give me the names and then she 11:13
16 lets me know the names and I fill that particular form
17 out afterwards, I do them in batches.

18 74 Q. Where does that go to the best of your understanding?

19 A. I don't know. It goes into the system somewhere. It's
20 emailed, presumably, to -- I don't know where it goes. 11:13
21 But it goes somewhere in The Trust.

22 75 Q. As we understand it, it is ultimately a decision for
23 the Medical Director's office to approve or disapprove
24 of the transfer.

25 A. Yes. I also fill out a waiting list form. 11:13

26 76 Q. Yes. And so do you yourself retain any control over
27 when the patient would then be seen for the procedure?

28 A. No. It goes chronologically on the waiting list and
29 when the turn comes. But down the line I don't

1 remember -- I don't look at a list and know whether
2 were they private, were they originally private or not,
3 I don't remember. So they are just done
4 chronologically.

5 77 Q. Could you, within the system that exists or has 11:14
6 existed, have reached for the patient who you know has
7 been seen by you privately and give that patient an
8 advantage? I'm not saying you would do that, but could
9 you do it, unchecked?

10 A. You certainly could do it, I'm sure. You know, if -- 11:14
11 probably less so now, I think. Systems have tightened
12 up and we have a coordinator who books the lists now,
13 so we just hand that over to her. But I think in the
14 past you certainly could pick a name off a list and do
15 it ahead of other people, yes. 11:15

16 78 Q. And speaking to colleagues who have private practices, 11:15
17 did you form the impression that the process that
18 you've described, which you are describing as being
19 compliant with The Trust's policy, I assume, was that
20 policy well known and observed by your colleagues, do 11:15
21 you think?

22 A. Knowing my colleagues, I'm sure it has, but it's not
23 something I've discussed with them. But I'm sure it
24 has.

25 79 Q. Is there, if you like, any visibility in terms of the 11:16
26 Trust's expectations around the management of private
27 patients into the NHS?

28 A. In what sense? In that they want to be...

29 80 Q. In the sense have you been aware over the years of the

1 message being handed down from senior management that
2 there's a firm expectation of compliance with this?
3 A. Well, I haven't received emails from -- or I'm not
4 aware that emails go to people and says this patient
5 has jumped ahead of or has been done far too quickly, 11:16
6 so I'm not aware of that. But I don't do that so maybe
7 that's why I'm not aware. But I don't know what
8 happens otherwise. But I'm sure it is checked to make
9 sure that private patients aren't given advantage.
10 MR. WOLFE KC: would now be a suitable time for 11:17
11 a break?
12 CHAIR: Yes. we'll come back at 11:35, ladies and
13 gentlemen.
14
15 THE HEARING ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS: 11:17
16
17 CHAIR: Thank you, everyone.
18 81 Q. MR. WOLFE KC: Taking some steps forward now to the
19 period from January 2017 when you, as a team of
20 colleagues, were told that Mr. O'Brien has been 11:39
21 excluded from work and there are issues in relation to
22 triage that you would be expected to assist with, do
23 you recall that?
24 A. Yes. I remember one of our meetings, being told about
25 that, yes. 11:40
26 82 Q. And you and your colleagues in Mr. O'Brien's absence
27 were expected to, I suppose, help out to look at the
28 cases that weren't triaged and form a view and,
29 secondly, to look at cases where there hadn't been

1 a dictated outcome from a clinical episode and, again,
2 fill that gap.
3
4 You've said in your statement that the failure to
5 triage was taken as a serious clinical issue and all 11:41
6 four substantive consultants triaged the patients as
7 quickly as possible and organised appropriate
8 investigations and clinic appointments. You
9 participated in that triaging exercise?
10 A. Yes. 11:41
11 83 Q. Did you, to the best of your recollection, come across
12 cases that you had to upgrade? I think we know that
13 roughly 30 or so were upgraded as a result of this
14 process?
15 A. I can't remember precisely whether I upgraded to red 11:41
16 flag or not. I don't remember that detail, no.
17 84 Q. Assumedly at that time, Mr. O'Brien excluded from work,
18 this news arriving with you that a substantial number
19 of cases hadn't been triaged and then the dictation
20 issue. You were aware of, in a sense, aspects of both 11:42
21 of those issues, but was it the volume that came as any
22 form of surprise when you were told about it?
23 A. Well, no. I was aware that there had been delays in
24 dictation but I wasn't aware that -- I only learned at
25 that meeting that there was dictation that hadn't 11:42
26 actually been dictated and various -- a number of,
27 I think it was 700 and something --
28 85 Q. In terms of charts?
29 A. Not triaged, I can't remember the precise number of --

1 86 Q. Leaving the final number to one side, I don't think
2 we need to worry about that, but what I'm anxious to
3 understand is in terms of the response amongst your
4 colleagues in respect of that. Presumably there were
5 discussions about what this -- I suppose what this 11:43
6 meant, what the implications of this were?

7 A. I think we were all horrified. You know, we didn't
8 expect in our wildest dreams that there were going to
9 be untriaged referrals just left there. And,
10 obviously, the implications of something that's 11:43
11 untriaged and if a patient has been missed, yes.

12 87 Q. You say you were horrified. How would you characterise
13 the significance of this disclosure on the triage side?

14 A. In what...

15 88 Q. How would you characterise it in terms of its 11:44
16 significance?

17 A. Very serious. I mean, something that in my wildest
18 dreams I didn't think could happen. And, obviously,
19 the implications for the patients that were sitting
20 there and hadn't been appropriately dealt with. 11:44

21 89 Q. Yes. Did your view of Mr. O'Brien as a practitioner
22 change as a result of what you were now discovering?

23 A. Yes.

24 90 Q. How did you view him beforehand and how did you view
25 him when you discovered this gap in his practice? 11:44

26 A. I think before this I had, in spite of his failings in
27 updating, I had a lot of respect for him. Perhaps
28 because I didn't know a lot of the problems that were
29 ongoing. I didn't know the problems that were ongoing

1 even before I arrived at The Trust, going back to 2009,
2 issues with management. So, I had respect for him,
3 yes, in spite of him not dictating. Perhaps I didn't
4 know the entire -- I hadn't an entire picture of what
5 was going on in my head. I think as more and more -- 11:45
6 as details were being revealed, I kind of was losing
7 respect, yes.

8 91 Q. Another side of this is that Mr. O'Brien was running to
9 stand still in what we observed on the last occasion
10 was an environment where you said you didn't feel 11:46
11 overly pressured but there was certainly a significant
12 demand on the services of urologists such as himself
13 and yourself. So he was burdened by the expectation of
14 dealing with the need for throughput of patients at all
15 levels and, inevitably, there will be casualties in 11:46
16 terms of his ability to perform all of the duties
17 expected of him; that's the other perspective. Is that
18 one that you share or at least are sympathetic to?

19 A. One can be sympathetic and one can sort of explore why
20 this happened. But at the same time, I mean if you are 11:47
21 not triaging, you're having these problems, say I have
22 this number of notes, I have not done them, and don't
23 bury the problem because that problem will resurface at
24 a later date. So at least put the problem on the table
25 and say there is a problem. It is fine to say I'm 11:47
26 having problems, but actually say 'the problem is
27 I haven't dictated...' however many number of triages.

28 92 Q. Have you reflected at all since that some of these
29 problems were obvious, perhaps more obvious now with

1 the benefit of some hindsight, but they weren't hiding
2 behind the walls, they were the subject of some
3 awareness, as we've acknowledged this morning. Is
4 there a lesson to be learned there on the part of team
5 members about how we responded, realising that there
6 were problems over the years? 11:48

7 A. I mean some of the problems -- I think we couldn't have
8 known that, you know, there would have been untriaged
9 letters. I mean, that's not something one would ever
10 sort of have guessed was going on. So I think things 11:48
11 like that, I think, was a complete surprise to
12 everyone. Because I think, working in a team, if you
13 are working in a team you say 'I am having this
14 problem, I have not done' whatever number, 'can
15 something be done, help me'. So I think perhaps, 11:49
16 rather than going on with -- you know, leaving the
17 problem to get out of hand. And, okay, you can sort of
18 become blinded by everything going on around you, but
19 I think, you know, he just had to ask for help with
20 that particular problem. But, yes, I suppose, to 11:49
21 answer your question, now I think if we knew that
22 a colleague was having problems, we probably would step
23 in earlier.

24 93 Q. There's a fashionable term such called silo working or
25 working in a silo. Perhaps when there are pressures in 11:49
26 the system and you are running to stand still to get on
27 with the day-to-day work, you're not as attentive or as
28 sensitive to what is going on around you. Does that
29 provide any explanation for --

1 A. It does. I think we were all getting on with our own
2 practices, which were busy, you know, dealing with our
3 own issues. So, yes, I suppose that could have
4 contributed to it. But I mean every profession is busy
5 so you're not watching what your colleagues are doing. 11:50
6 You get on and do your own work.

7 94 Q. Yes. I think you said in your statement that
8 Mr. O'Brien returned to work during the middle of 2017.
9 I think you would accept that he came back to work much
10 earlier than that, I think it was around March 2017? 11:50

11 A. Yes.

12 95 Q. Just for the record, you're nodding your head in
13 acknowledgment. Did it surprise you, given what you
14 were hearing about the failure to triage, the number of
15 undictated outcomes, to name just those issues, and 11:51
16 there were other issues obviously being investigated by
17 Dr. Chada. Did it surprise you that he was coming back
18 to work so early?

19 A. Well, I hadn't thought about it too much. I knew that
20 a mechanism had been put in place for him to make sure 11:51
21 that he was triaging. My understanding was he was
22 given the Friday off after on call to try and get on
23 top of his triage. So I think things were put in to
24 support him. So I hadn't really -- because I hadn't
25 known about a lot of the other issues. So, no, 11:51
26 I hadn't thought about it in that sense.

27 96 Q. I'll come back to that issue of support in a moment.
28 You have spoken about having had confidence in this
29 senior clinician prior to this being revealed and then

1 after this was revealed, I'm not sure if you used the
2 words lost some respect for him or lost some confidence
3 in him?

4 A. Perhaps confidence might be a better word than respect.

5 97 Q. Did you and your colleagues, recognising what had been 11:52
6 going on around you before this revelation, discussed
7 at any point whether you would need to work in
8 a different way with Mr. O'Brien or keep him under,
9 I suppose, closer observation as colleagues going
10 forward, or was there any discussion of that type? 11:53

11 A. Well, I certainly wasn't privy to any conversation that
12 we must keep him under closer observation. I mean that
13 wasn't something I was aware. Maybe more senior
14 management may have been involved in those
15 conversations, but I certainly wasn't. 11:53

16 98 Q. We know that in 2020 other issues emerged and they were
17 the subject of the Serious Adverse Incident reviews.
18 The product of the work that you undertook and your
19 colleagues undertook in the early months of 2017 was to
20 triage and to work through -- this is the second 11:53
21 element -- work through the cases that hadn't been
22 dictated. Can you recall what the upshot of that
23 second limb was?

24 A. So I had seen patients in clinic -- you're talking
25 about where I had done clinics of his patients, is that 11:54
26 what you're talking about?

27 99 Q. Well, I'm asking you to try to recall what work you
28 did. It's not mentioned in your statement. So, as we
29 understand it, you had these cases where there was no

1 record of a dictated letter, and those cases were
2 shared around your colleagues to look to see what
3 should come next for the patient, it not having been
4 recorded in a letter. Were you doing any work around
5 that?

11:54

6 A. I think I was. I can't recall now, but I think I was
7 looking at some of the -- so I think I did three
8 things: I triaged the referrals. I think I did look
9 at some patients, where there were no letters. Then
10 I think I did some clinics of his patients who needed
11 to be seen.

11:55

12 100 Q. Yes. When you think about what emerged in 2020 through
13 the SAI reviews following Mr. O'Brien's retirement, do
14 you think that more ought to have been done earlier
15 such as around 2017 to better investigate all possible
16 or potential concerns in his practice?

11:55

17 A. As far as I remember I think that these subsequent
18 things came to light sort of were known about in 2017
19 so I think it hadn't been realised that there were
20 these SAIs, from my understanding out there. I think
21 these came to light as time went on.

11:56

22 101 Q. I suppose what was revealed in the SAIs were behaviours
23 in association with multidisciplinary team working, and
24 there's a range of themes emerged such as failure to
25 engage a key worker for patients, delays in the
26 referral pathway, cases not coming back to the MDT, for
27 example when there was disease progression, these kinds
28 of behaviours. Then there was the issue around the
29 prescription of Bicalutamide, all of which we'll look

11:56

1 at shortly. But would you agree that the behaviours
2 around the MDT should have been looked at at an earlier
3 point as part of an overarching examination of his
4 practice, given what was revealed, albeit of
5 a different nature, but what was revealed as
6 shortcomings in 2017?

11:57

7 A. I'm not too sure whether a lot of those were known at
8 that time. I certainly didn't know that he wasn't
9 involving Clinical Nurse Specialists in seeing
10 patients. But I think if they were known at that time
11 they should certainly have been investigated. If it
12 was known that he wasn't bringing patients back, it
13 certainly should have been investigated at that time.
14 I'm not sure if it was known or not.

11:58

15 102 Q. I'm not suggesting it was known. You were a member of
16 the MDT and I assume you're telling me you didn't know?

11:58

17 A. I didn't know.

18 103 Q. Yes. But it would be possible to take a look at other
19 aspects of his practice to see what is to be found?

20 A. I suppose if you're looking at somebody who is having
21 problems, I suppose you've got to assume that there are
22 problems in other areas rather than just the ones
23 you're seeing. So I suppose it certainly would have
24 been worth looking at the those areas as well, yes.

11:58

25 104 Q. Another issue, perhaps self-evidently, is to sit down
26 with Mr. O'Brien to see what support, if any, he
27 requires. It may well be that his colleagues are
28 capable of meeting the standard set by the Trust, say,
29 in relation to triage, but he is experiencing a genuine

11:58

1 difficulty, whether it's a difficulty of time
2 management or a difficulty of prioritising what he sees
3 as more important, that kind of thing. Was there any
4 discussion amongst you clinicians, as a team, about
5 whether you could better support your colleague or did 11:59
6 you consider that to be a management issue to resolve?
7 A. Well, I'm not aware that we discussed it, but that's
8 not to say that it didn't happen. I'm only surmising
9 that Mark Haynes with his hat as Associate Medical
10 Director, he might not have been in that post in 2017, 12:00
11 might have been involved in that. I suppose the other
12 thing is there's been a long history, going back to
13 2009 and before, Mr. O'Brien sort of engaging with
14 management and not engaging with management. So
15 there's a long history of him not really engaging. So 12:00
16 whether -- but that's not to say -- I didn't sit down
17 with him and see how I could help him.
18 105 Q. You're only surmising that --
19 A. I'm only surmising.
20 106 Q. Yes. You do say, if we could bring up your statement 12:00
21 at WIT-50517, at paragraph 1.2, you say:
22
23 "The first time I became aware of issues of concern was
24 during Mr. O'Brien's sick leave in mid November 2016."
25 12:01
26 I think you have since acknowledged it was later than
27 that, it was January.
28 A. Yes.
29 107 Q. And the point I want to make to you is you say:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"On his return to work in mid 2017 ..."

You acknowledged it was earlier than that.

12:01

"Measures were put in place to enable him to do his triage in a more timely way. Most of the referrals for triage, except those from A&E, were online and he was given the Friday after on call off to triage, and the timeliness of his triage was looked at regularly by Mrs. Corrigan."

12:01

Just a couple of points of strict accuracy arising out of that. In terms of the Friday off, I think it's Mr. O'Brien's unchallenged evidence that he took Friday off when it was his urologist of the week period, but he took that as a holiday or annual leave. So he used his annual leave to perform triage to the standard that he thought was appropriate. In other words, he sacrificed his annual leave rather than simply being given the day off. Were you aware of that?

12:02

12:02

A. No, I wasn't. I assumed he had been given it off. So I stand corrected if that's what Mr. O'Brien was doing.

108 Q. You've described -- you've used the term:

12:02

"Measures were put in place to enable him to do his triage in a more timely way".
The placement of the triage materials online, that wasn't a specific solution fashioned for him. That was

1 a broader innovation to assist the teams?
2 A. Absolutely. It was to keep -- you know, bits of paper
3 can go missing, so having it online, there's a record
4 of what happens to it. And you don't necessarily have
5 to do it in the outpatients, you can do it in your 12:03
6 office, you can bring the computer elsewhere, so things
7 can't get lost.

8 109 Q. Were you aware of any specific Aidan O'Brien measures
9 to assist him, apart from what you referred to here as
10 Mrs. Corrigan keeping an eye on the situation to ensure 12:03
11 that it was getting done in a timely manner?

12 A. I suppose what I thought, Friday was given to him,
13 I was obviously mistaken. But I assumed, I didn't
14 assume, I actually thought he was given it. And
15 certainly that's what I understand and what I thought 12:04
16 I had been told, that he was given the Friday off after
17 on call to do that. But, as I said, if Mr. O'Brien
18 says otherwise, I stand corrected.

19 110 Q. Yes. When he returned to work and was back in the
20 fold, were working relations strained at all? Did the 12:04
21 atmosphere amongst the team change?

22 A. I didn't notice that much. There was just one instance
23 which at the time I didn't -- in isolation it didn't
24 mean very much apart from I was a bit taken aback. But
25 I rang him to see if -- because I was organising 12:05
26 a Christmas dinner and I rang him to see if he was
27 going to the Christmas dinner. He said to me in a very
28 forthright way that he and his wife wouldn't be coming
29 and left it at that and the conversation ended.

1 I thought that was a bit strange, and a bit rude. But
2 he didn't elaborate and with all this going on, that
3 might have been the reason why. But I was a bit taken
4 aback by his brief response, and he just hung up on me.

5 111 Q. Did you speak to him directly about how he was feeling 12:05
6 during what must have been a difficult experience for
7 him?

8 A. No.

9 112 Q. You may have since become aware that Mr. O'Brien got 12:06
10 into the habit, if I can put it in those terms, of
11 recording a number of conversations with colleagues
12 within The Trust, and including a meeting which
13 you attended in December 2018. The transcript has been
14 produced of that meeting. Nothing particularly turns
15 on it. First of all, your reaction to discovering that 12:06
16 this was being done, assumedly without your knowledge?

17 A. My respect for Mr. O'Brien got even less. I felt it
18 was a very underhand, very -- and I heard about
19 particularly some of the circumstances where he had
20 taped and I was very disappointed in him. I've lost 12:07
21 a lot of respect for him over that.

22 113 Q. It may, from his perspective and perhaps even more
23 objectively, be reflective of a concern that trust
24 across the team was not optimal and he felt the need to
25 protect himself because decisions had been made within 12:07
26 The Trust adversely impacting on him. Do you recognise
27 that the circumstances arising out of 2017 and all that
28 had given rise to trust issues on his part?

29 A. I personally don't think there's any excuse for that

1 behaviour. You know, as a team I think I thought we
2 were getting on quite well. I wasn't aware of the
3 undercurrents that were going on. I think that, from
4 my understanding I think The Trust was fairly open with
5 what was going on, and that's from me reading the 12:08
6 documentation that I've had over the last few months.
7 But, in saying that, I don't think there's -- I really
8 can't excuse taping conversations without people
9 knowing about it. Particularly because you can lead
10 a -- you know, you can lead a conversation any way you 12:08
11 want if you're taping it and the person doesn't know
12 about it.

13 114 Q. I move on to a number of discrete issues, just to take
14 your view on them. The Inquiry is interested in the
15 governance arrangements primarily in association with 12:09
16 clinical duties and particularly where there is
17 perceived to be a shortcoming in the performance of
18 a clinical duty or an aspect of a clinical duty and
19 where that might be known the question arises well,
20 what was done by the system of governance to either 12:09
21 prevent it or address it.

22
23 The coroner for Northern Ireland, the senior coroner
24 for Northern Ireland, Mr. Leckey, wrote to the Chief
25 Medical Officer's office in or about 2013, before you 12:10
26 came to The Trust, to raise concerns about the death of
27 a patient in a private healthcare facility who had
28 undergone a procedure and had suffered, I think,
29 hyponatremia as a result the use of the irrigation

1 fluid, glycine. I'm just giving you this by way of
2 background. That led to the CMO directing Trusts to
3 develop policies to move away from monopolar
4 instrumentation in glycine and towards saline and
5 bipolar instrumentation. You're familiar with the 12:11
6 background to that?

7 A. Yes, that was a female patient rather than a urology
8 patient but I am aware of the background and the
9 reasoning for it, yes.

10 115 Q. Yes. Obviously that transition or the need for that 12:11
11 transition was a subject matter for discussion across
12 the urology team and, as part of that discussion, you,
13 as individual clinicians, trialed different types of
14 instrument and then fed back your views. I want to
15 draw your attention to the views expressed by 12:11
16 Mr. O'Brien in association with that. Maybe take you
17 to ne example, in the interests of brevity, if we go to
18 TRU-395978. He is writing to the group, you included,
19 and he is explaining that, just about halfway down,
20 that he last used a bipolar instrument two weeks ago to 12:12
21 resect a moderately enlarged prostate gland of an
22 elderly patient. He had to abandon the bipolar
23 resection after ten minutes because of bleeding and
24 what he describes as poor irrigation and visualisation
25 and moved across to, as he says salvaging the situation 12:12
26 with monopolar resection. He says:

27
28 "I have therefore pledged not to do so again. I will
29 not use or try bipolar resection again."

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

It didn't, I suppose, become an issue for close on two years because it took that length of time for The Trust to purchase the equipment. Did you observe any difficulty, personally, in using the bipolar equipment or, indeed, I should ask you, did you use it from the outset and what difficulties, if any, did you experience? 12:13

A. So I used it from the outset and I still use it. I don't use monopolar at all now, either privately or publicly. It is a slightly different way of doing it and you just have to change the way that you're doing it. It is a bit slower than what we were used to using monopolar. I think if you do it too quickly you don't fulgurate the vessels. One, I don't think it is inferior, it is obviously superior, it's much safer. I have done very large prostates with it and had no problem diatherming vessels I've had no problem with the irrigation. So I think it is a new technique and I think you just have to give it time and get used to it. I mean, it's a slightly different way to doing it to the monopolar, but it is certainly not inferior. 12:13 12:14

116 Q. I have not taken you, again in the interests of brevity, perhaps, to any of the policy documents and what have you, but would you have been making the transition, making the switch upon the purchase of the equipment because you felt an obligation to do so? The Trust were telling you this is the policy, you must do it, or did you feel that you had a discretion in terms 12:14

1 of whether you moved?

2 A. well, I knew it was coming in and so I knew that The
3 Trust was changing over. But I also realised it was
4 a much safer way, safer for the patient. The risk of
5 what we call TUR syndrome, you don't get it with 12:15
6 bipolar. So anything that's safer must be better, you
7 just have to get used to it, and I'm very happy with it
8 now. You know, at that time I was obviously in
9 a period of transition but I certainly didn't have the
10 strong feelings that Mr. O'Brien expressed in that 12:15
11 email.

12 117 Q. This is the clearest, I suppose, indication of
13 Mr. O'Brien's views that we're aware of being
14 expressed, if you like, publicly to you as a group.
15 Did you respond in any way to this, whether directly to 12:16
16 him or to colleagues?

17 A. I certainly didn't send an email to him, because you'd
18 have a copy of the email, and I know I didn't anyway.
19 Two is, whether I had spoken to colleagues about it,
20 I probably did but I don't know what I said and I don't 12:16
21 know what the outcome of it was because it was just
22 a conversation.

23 118 Q. Did you know or did you have any awareness of how
24 Mr. O'Brien responded to the availability of the new
25 equipment in 2018? In other words, do you know whether 12:16
26 he -- did you know at that time whether he made the
27 transition?

28 A. well, I have a vague memory of him saying at a meeting
29 some words to that effect, that he didn't like it,

1 perhaps that he wasn't going to be using it, I don't
2 know. But I was never in theatre with him so, apart
3 from meetings, I don't know what he did. But if he
4 said he wasn't doing it, I assume he wasn't. But, as
5 I said, I wasn't witnessing what he was doing. 12:17

6 119 Q. Yes. Just to broaden that question out, have you any
7 recollection of him being challenged by colleagues,
8 perhaps with Mr. Young as lead, any recollection of
9 that type of conversation?

10 A. I don't have a recollection, but that's not to say 12:17
11 it didn't happen. I just don't have a recollection of
12 it.

13 120 Q. Are you of the view that colleagues were bound to make
14 this switch to bipolar and that, taking into account
15 patient safety concerns, there really isn't any excuse 12:18
16 for not making the switch?

17 A. That was my understanding that, you know, that we were
18 bound to do it and it wasn't a matter of you could or
19 you can't -- you can do what you like. As a team, my
20 understanding is that we were all moving that way. 12:18

21 121 Q. The Trust has produced a paper which might be described
22 as a simple retrospective audit of what was done by
23 clinicians in the urology team when the equipment was
24 purchased. I'll just take your comments on that. If
25 we go to TRU-396059. As I say, a retrospective 12:19
26 produced relatively recently at the Inquiry's request.
27 And the question that was explored was whether it was
28 known if Mr. O'Brien used the bipolar equipment or did
29 he continue to use monopolar. The methodology is

1 briefly described as taking the period January to
2 December 2019 and looking at the behaviours of all
3 consultant urologists. Then if we scroll down to the
4 next page, try and get this table on the same page.
5 We can see, Mr. O'Donoghue, that during the period -- 12:20
6 you weren't limited, just to explain, you weren't
7 limited in what you did to simply five procedures, it
8 was more than that, but in the interests of producing
9 results quickly they looked at a sample of your cases
10 and a sample of everyone else's cases on a pro rata 12:20
11 basis, as far as we understand. So you are said to
12 have -- they have looked at five of your cases and they
13 were all performed by using bipolar instrumentation in
14 saline. That would not be a surprise to you,
15 assumedly, that's what you think you did? 12:21

16 A. Yes.

17 122 Q. That information is readily available to The Trust,
18 isn't it? It's available on the theatre records for
19 patients?

20 A. Yes. It probably would be going in the theatre book as 12:21
21 well.

22 123 Q. Yes. As you can see, Mr. O'Brien, two up from you,
23 consistent with what he said would be his approach when
24 he spoke about it in the email in 2016, there were ten
25 of his patients looked at, nine of which he had 12:21
26 performed the procedure for and the one bipolar was --
27 you performed it for his patient is my understanding of
28 the analysis. So Mr. O'Brien, of the ten cases looked
29 at, nine have been performed with a monopolar

1 instrument, seven in glycine, two further cases where
2 there's no indication of the fluid used because the
3 balance fluid chart has not been found in the notes?
4 A. It must have been lost or something.
5 124 Q. Just from a governance perspective, could you help us 12:22
6 with this. Plainly, Mr. O'Brien had made his views
7 known but there was otherwise a method, even if you
8 weren't in theatre with him, for Trust managers to
9 understand with a little bit of work whether he was
10 complying with Trust policy; is that fair? 12:23
11 A. Yes, absolutely, there's a record there. Is that from
12 2019.
13 125 Q. Yes?
14 A. That's kind of a year after we started or --
15 126 Q. It's a year after the introduction of the new 12:23
16 equipment.
17 A. Okay.
18 127 Q. This is an example of, I suppose, of a safety issue
19 which The Trust were aware of, aware of the potential
20 for difficulty. They had been directed by the Chief 12:24
21 Medical Officer's office to subject the process to an
22 audit. It appeared that one wasn't done
23 contemporaneously. Had you, and maybe you weren't
24 aware of this at the time, but broadening this out, had
25 you any sense more broadly of the Trust's governance 12:24
26 arrangements failing to superintend the work of
27 clinicians?
28 A. Well I wasn't aware they were keeping a -- I just
29 hadn't thought of it, that they kept a record of what

1 we were using.

2 128 Q. This record, just to be clear, this audit has been done
3 within the past several months and it has been
4 performed by looking at available documentation. It
5 wasn't gathered at the time and I suppose that's my 12:25
6 point to you in asking for comment. There's a safety
7 issue associated with a new policy. They have been
8 asked to audit compliance with the new policy. It
9 wasn't done, and I'm asking whether you had a broader
10 sense whether the work of clinicians was the subject or 12:25
11 ought to have been the subject of the production of
12 governance-type data in the context of patient safety?

13 A. I assumed that all our activities were being monitored,
14 obviously, and, if not, that is a governance issue.
15 I mean certainly, if they were introducing a new 12:26
16 technique and there was non-compliance or poor
17 compliance, I mean we're all meant to be moving towards
18 a government directive, well, there's a failing on the
19 part of The Trust not to implement that or -- force is
20 the wrong word -- not to ensure we are all using the 12:26
21 same technique.

22 129 Q. We heard yesterday, in glowing terms, how the work of
23 your Patient Safety Meeting is now, I suppose, much
24 more interesting, much more dynamic in how it
25 approaches matters. Its focus on audit, its focus on 12:27
26 morbidity cases whereas the I suppose somewhat staler,
27 more traditional approach had been to look at mortality
28 as a primary focus. Is this kind of issue something
29 that your Patient Safety Meeting takes on board?

1 A. I'm not entirely sure how it would get into the
2 meeting, but certainly it is something I would have
3 thought that certainly if we are developing or changing
4 over to something, it is something that should get into
5 our Patient Safety Meeting, because it is probably the 12:27
6 forum where everybody is there and you can highlight
7 that somebody is not adhering to it. So it really only
8 gets into the Patient Safety Meeting if something goes
9 wrong. I suppose that is something that has gone
10 wrong, but you have to know about it to look for 12:28
11 something. But I think it's certainly something that
12 should go before the Patient Safety Meeting, but I'm
13 not entirely sure how it would get into it.

14 130 Q. Moving to the issue of actioning the results of
15 investigations, the scenario is you are the consultant 12:28
16 who refers a patient for, whether it is bloods, whether
17 it's pathology, whether it's some form of scan. The
18 practice that you adopt in relation to that is what?
19 How do you action the results, how quickly do you do
20 it, and is there an importance associated with 12:29
21 promptness?

22 A. So what I do now is different to what I did several
23 years ago, the system has changed. So what I do now is
24 that all results come on NIECR, and I sign them off.
25 So I have changed over to that, I don't know, a couple 12:29
26 of years ago, maybe two years ago. And that's a much
27 safer way because all results come through that. So,
28 again, I dictate on all of them but I sign them off as
29 well, and action them. I do get emails from X-ray if

1 there's -- I would pick them up myself anyway, but
2 I also get the emails if there's a CT or MRI or
3 ultrasound that has something concerning on it, I would
4 get an email from them as well. And so I would go in
5 and action that.

12:30

6
7 My secretary also, she gets emails, and even though
8 I've already actioned them, she also gives me a copy of
9 the emails in case I haven't seen them. She looks out
10 and ensures, she is very good at ensuring I get these
11 things done. She keeps badgering me, I mean that in
12 a nice way. We also now get letters and some results
13 as PDFs which my secretary puts into a folder and
14 I deal with those on a weekly basis. Occasionally
15 I get paper copies, but a lot of it has now gone
16 online.

12:30

12:30

17 131 Q. Your system prior to it going electronic?

18 A. So my system prior to it going electronically was all
19 the results came back as paper copies. My secretary
20 put them into a folder and I dictated them from that
21 folder and signed them and passed them back to her.
22 I think I probably got emails from X-ray, I don't know
23 when that started, but I would have got emails from
24 X-ray as well. If something needs to be acted on, if
25 she had been contacted by somebody, she would have
26 highlighted that for me as well. Again she ensured,
27 I met with her and she ensured I did them in a timely
28 fashion. So my secretary is very good for ensuring
29 that they were done previously and they were safely in

12:31

12:31

1 a folder which I kept in the outpatients in the
2 Thorndale unit, and I dealt with them.

3 132 Q. Was the DARO system a feature of your practice.
4 A. It was. So it also came back to her, she put them in
5 the folder so I dealt with them. 12:32

6 133 Q. Was DARO of any assistance to you in managing the need
7 to look at results?
8 A. Yes, because, I mean, patients that had been booked for
9 a scan, the results came back a few months later, so
10 those results were put in front of me. They weren't 12:32
11 appended to notes because that would create a mountain
12 of -- so the paperwork is put in the folder and I could
13 look to NIECR and get the details that way.

14 134 Q. Presumably DARO is for a number of purposes, but did
15 it -- 12:32
16 A. It ensured for me I got the result and I acted on it
17 and I always dictated a letter.

18 135 Q. Thank you.
19 A. To the patient, and copy the GP into it.

20 136 Q. Yes. We can see from your statement that a system -- 12:33
21 I'm not sure if you mentioned it just in passing there,
22 but there's a system now in place where you receive
23 a colour coded reminder of how far you might be in
24 arrears, if ever. If I could just illustrate that and
25 have your comments? 12:33
26 A. Every two weeks, I think.

27 137 Q. We saw it yesterday. TRU-301760. I think this is sent
28 to you --
29 A. Yes, you're not showing the good ones.

1 138 Q. I think the explanation is that you had just come back
2 off leave; is that right?

3 A. Yes. You know, if you have been doing, you know, in
4 Lagan Valley, doing a list or something, you hadn't
5 time that day to do it. It depends on your week. But 12:34
6 in general I think that they're good. They don't look
7 good there. But you know about it and just act on it.

8 139 Q. Does this kind of system give clinicians, perhaps you
9 have spoken to colleagues about this, additional
10 confidence that things don't get lost? 12:34

11 A. Well, I haven't talked to colleagues about it but
12 I find it useful. You know, if I'm -- you know,
13 I don't need that to know that I need to do some stuff,
14 to do some paperwork. But it does remind me, you know,
15 every week to get the numbers down on your results so 12:35
16 that I don't have a red box. So, yeah, it keeps me on
17 my toes, which is fine. I'm not unhappy with that
18 system. I just don't like being in the red and
19 I haven't been for quite a while.

20 140 Q. Thank you. The Inquiry has observed through a number 12:35
21 of examples, not just associated with Mr. O'Brien, but
22 there are some examples associated with him where there
23 is a tendency to let the result sit in the expectation
24 that the patient would be coming in for review and
25 then, for waiting list reasons or perhaps other 12:35
26 reasons, the review doesn't happen and the result goes
27 unread and unactioned. If I could bring you to
28 DOH-00041 by way of example. These are the findings
29 that, essentially -- it's obviously a bit of a complex

1 background to this patient. But the important fact is
2 that a scan was performed on 17th December 2019,
3 reported by radiology on 4th January, but no follow-up
4 occurred and the patient came back into the system then
5 in July of that year and the scan itself had identified 12:37
6 a suspicion of metastatic disease. Mr. O'Brien's
7 response to that, if I could have that up please,
8 AOB-41615. Commenting on the findings of the SAI
9 report, if I can just move down the page, please. Yes,
10 the point he's making is that the conclusions of the 12:38
11 SAI that this result should have been read and
12 actioned...

13
14 "Does not take account of the many administrative tasks
15 and expectations which competed for my inadequate time, 12:38
16 never mind provided to act upon. By the time I was
17 able to act upon the reported finding, I was even more
18 concerned with regard to the risk of this comorbid man
19 who would have been particularly vulnerable had he been
20 infected with the SARS corona virus". 12:39

21
22 That's a reference to the time in which we lived in the
23 spring of 2020. Plainly, if a scan is available
24 showing a suspicion of metastatic disease, I think
25 Mr. O'Brien would accept this is something that 12:39
26 requires urgent treatment in an ideal world.

27 A. Yes.

28 141 Q. But the mitigation that he puts forward is that he was
29 fighting to deal with the many other competing

1 administrative tasks and this case, presumably, slipped
2 down the priority list. Is that something that you
3 recognise as an occupational hazard?

4 A. There are lots of competing duties, but I think
5 responding to results is a very important one and, by 12:40
6 not looking at them, you end up with an issue like
7 this. I think my understanding is that Mr. O'Brien
8 used to not act on results until the patient came to
9 the clinic, the results were appended to the notes,
10 which, in itself, is a very dangerous activity because 12:40
11 our clinics are so busy, so booked up, you may not see
12 a patient in a timely fashion. So it is just fraught
13 with danger. So I think you can't depend on the
14 patient coming into clinic in two weeks or one month
15 because it may not happen. So that is a danger in 12:41
16 itself. So I think you have to act on the result when
17 it comes to hand. I think you just have to manage your
18 time.

19 142 Q. Can you anticipate getting into these kinds of
20 difficulties where you have other seemingly more 12:41
21 important duties to perform and the actioning of the
22 result gets lost, or do you have a system in place,
23 perhaps with your secretary, that wouldn't allow for
24 that?

25 A. Well, I hope it never happens. I mean, I do everything 12:41
26 in my power to prevent it happening. As I said, things
27 have changed, now it comes through NIECR, we get this
28 tally of how we are doing. So there's lots of built in
29 mechanisms to stop that happening, so I hope it never

1 happens.

2 143 Q. Yes. Just in relation to Mr. O'Brien, we heard from
3 Mr. Young yesterday and his evidence suggested that
4 there was a level of awareness of Mr. O'Brien's
5 approach to actioning results, so much so that on some 12:42
6 unspecified date he couldn't put, other than a broad
7 period of time on this, but the issue was discussed
8 with particular focus on Mr. O'Brien's practice on this
9 at a departmental meeting. Is that you something you
10 recall? 12:43

11 A. No, I don't recall. I have a memory of going to
12 Mr. O'Brien's secretary's office with lots of notes and
13 results stuck on the notes. But that's thinking about
14 things after, now rather than then. I don't think
15 I was aware, personally I wasn't aware that he was 12:43
16 actioning results only when the patient came to clinic.

17 144 Q. Thank you. The issue of preoperative assessment of
18 patients, we touched on it briefly on the last occasion
19 when we were looking at patient 91's case. Patient
20 91's case was a stent management case. I think I was 12:43
21 wanting to focus on stent management and you were were
22 I think driving me toward the preoperative assessment
23 aspects of that case.

24 A. Okay.

25 145 Q. More politely you thought that was the more important 12:44
26 aspect of the case. You did, in your evidence, explain
27 the issues around stent management were primarily ones
28 of resources, and we know from Patient 91's case that
29 there was a failure of preoperative assessment in

1 association with a midstream urine test.

2
3 The issue of pre-op assessment more generally,
4 particularly where there are patients with significant
5 comorbidities, is it written in practice and, perhaps 12:44
6 more importantly, is it written into The Trust's
7 systems that effective preoperative assessment has to
8 be performed?

9 A. That's my understanding and that's the way I practice.
10 Particularly, a lot of our patients are elderly, 12:45
11 infirm, and not very fit, so I would want all of my
12 patients preassessed. If I had even greater concerns
13 I would want one of the anaesthetists attached to
14 preoperative assessment to review the patient. I have
15 done that when I think they may not get enough 12:45
16 assessment from one of the nurses, I would get an
17 anaesthetist to look at the patient, particularly
18 complicated patients I would.

19 146 Q. How is that managed administratively? Say there's
20 a clinician not as focused as you on the importance of 12:45
21 it, how is it managed administratively to ensure that
22 it is done?

23 A. Well there's a preoperative form that we fill out, and
24 that goes to pre-op, so the patients are pre-oped. So
25 I think in general in my understanding the patients are 12:46
26 all preassessed but if a patient ends up on the ward on
27 the day of surgery and has not been preassessed, the
28 anaesthetist doing the operation will see the patient
29 and I will see the patient. If they are having a stone

1 procedure, a kidney stone, and they haven't had urines
2 done, that would be enough for me to cancel the
3 patient. I would certainly want, if the anaesthetist
4 was concerned about the medical side of things, they
5 would cancel the patient. So it is not just the 12:46
6 surgeon, it is the anaesthetist as well. What I'm
7 really saying is if they have got through without
8 having a preassessment and they are seen by an
9 anaesthetist on the day and the anaesthetist is
10 concerned about the medical aspects of the patient's 12:47
11 health, that patient would be cancelled.

12 147 Q. We have, from time to time, looked at the case of
13 patient 90. I think it is a case that made its way
14 into the Patient Safety Meeting several years ago.
15 You'll see the name of the patient in the list in front 12:47
16 of you. You may be familiar with aspects of the case.
17 But, in essence, that was a case of a patient with
18 significant comorbidities. Mr. O'Brien was the
19 surgeon. The case was, in late 2016, assessed and
20 found to be in need of an echocardiogram. That wasn't 12:48
21 performed, it wasn't signed off. Two years later, in
22 May 2018, the patient comes in for surgery and there
23 is -- at least the findings of the SAI show there was
24 insufficient time to perform an adequate preoperative
25 assessment and he wasn't -- so, for example, the 12:48
26 echocardiogram issue wasn't addressed. The patient
27 regrettably died shortly after surgery.

28
29

1 Knowing your case -- you are nodding your head,
2 suggests you have some familiarity with it?

3 A. Yes, I know that case.

4 148 Q. I'm not going to take you to the SAI. I suppose the
5 question that arises out of that is do you think that 12:49
6 the issue of -- the importance, I should say, of
7 preoperative assessment has been emphasised as a result
8 of learning deriving from that case?

9 A. I mean that case, that patient had, as you said a lot
10 of comorbidities. The patient had something called 12:49
11 myelodysplasia. I think he needed a transfusion
12 preoperatively. He obviously had cardiac issues if he
13 needed an echo. He was having quite a major operation,
14 he was having ureterolysis which is where you free up
15 the ureters so a big operation. So, you know, 12:49
16 something like that, you don't just tag on the end of
17 your list. You know, it should have gone through
18 preoperative assessment. It should have been planned,
19 put on the list weeks down the line. An operation
20 that's not done that often, either, in our hospital, it 12:50
21 should have been well planned and not quickly put on
22 the list and booked for surgery. I think it should
23 have been worked up more fully.

24 149 Q. I'll read the recommendations that arose from that case
25 and, in essence, it was: 12:50
26
27 "The Trust should develop and implement guidance for
28 clinical results signoff."
29

1 which is the echocardiogram point. Secondly:
2
3 "All cases undergoing elective surgery must have
4 a formal pre-operative assessment."
5
6 Nice words, but how has that case, in practical terms,
7 change the emphasis, if at all, in terms of the
8 assessment issue?
9 A. Well, my understanding is that all patients coming to
10 theatre now have been preassessed. I haven't seen a
11 patient -- I can't remember the last time I've seen
12 a patient that hasn't been preassessed for a list.
13 They're taken off the list, the waiting list, patients
14 who have been preassessed. So I would have thought
15 patients wouldn't be picked who are not preassessed,
16 who are not ready for theatre. 12:51
17 150 Q. Yes, but we saw in the case of Patient 90 that, whether
18 it was the surgeon or whether it was the anaesthetist
19 who ought to have taken responsibility, the patient
20 underwent the procedure notwithstanding the absence of
21 the assessment? 12:52
22 A. I don't know how he was picked, this patient, how this
23 patient was put on the list, whether he was just taken
24 off the list or how he was put on the operating list.
25 151 Q. So I suppose the question is in governance terms, is it
26 possible to circumvent the requirement on the part of
27 a decision by the surgeon, we're just going to get on
28 with it, is it possible -- 12:52
29 A. I suppose somebody can actively, if they want to, avoid

1 having a patient who has been preassessed, if you want
2 to do something like that, but why would you want to?

3 152 Q. Thank you.

4 MR. WOLFE KC: I'm just about to move on to another
5 topic. Maybe, unusually for me take an earlier lunch, 12:53
6 all seven minutes of it.

7 CHAIR: we'll come back again, I will give everybody an
8 extra five minutes and come back at 2 o'clock. Thank
9 you.

10 12:53

11 THE INQUIRY THEN ADJOURNED FOR LUNCH

12

13 THE INQUIRY RESUMED, AS FOLLOWS:

14

15 CHAIR: Good afternoon, everyone. 14:05

16 153 Q. MR. WOLFE KC: Good afternoon, Mr. O'Donoghue.

17 A. Good afternoon, Mr. Wolfe.

18 154 Q. Could I begin by just asking you about an answer you
19 gave from the transcript about an hour before lunch.
20 Unfortunately the transcript is still live, I can't 14:06

21 bring you to the matter on the screen. But if I could
22 read it out to you. I asked you a question to the
23 effect of whether you and your colleagues considered
24 offering support to Mr. O'Brien when he came back to
25 work or did you consider that that was a matter for 14:06
26 management to resolve, and your answer was:

27

28 "I suppose the other thing is there has been a long
29 history going back to 2009 and before with Mr. O'Brien

1 sort of engaging with management, sort of not."

2
3 Can you help us to understand whether you were
4 personally aware of him not engaging with management
5 over that period of time or what do you rely on as the 14:07
6 source for that answer?

7 A. I didn't know at the time. I subsequently knew from
8 the paperwork I received in preparation for this. So
9 that's why I became aware of it.

10 155 Q. So you are interpreting the paperwork that you have 14:07
11 read that has been supplied to you for the purposes of
12 the Inquiry?

13 A. Yes, it wasn't something I knew personally.

14 156 Q. Is there any particular aspect of it that suggested to 14:07
15 you that he wasn't properly engaging with management,
16 as you saw it?

17 A. Well, from what -- I can't remember the details but
18 I think there were lots of Medical Directors and
19 Clinical Directors and various other management people
20 who were -- I can't recall one particular instance but 14:07
21 I just remember that there was a constant to and fro.
22 And I did see a comment last night where he said he
23 wasn't going to be engaging with Mark Fordham for some
24 reason. I didn't see why not. Maybe they had some
25 issues, but I saw he wasn't having anything else to do 14:08
26 with Mark Fordham so I don't know why.

27 157 Q. You formed a general sense --

28 A. I formed a general feeling rather than anything in
29 particular. That was the impression I got.

1 158 Q. Just to be clear, you're not relying on any particular
2 direct witnessing of a lack of engagement or anybody
3 telling you that there was a lack of engagement, you
4 formed this view from your reading?

5 A. Formed the view from my reading.

14:08

6 159 Q. Very well. Thank you. Moving on, I want to spend,
7 I suppose, the remainder of our time on the
8 disciplinary meeting in urology and aspects of that,
9 that's the uro-oncology meeting. Just a brief issue in
10 relation to quoracy of the meeting. The Inquiry has

14:09

11 been on this ground several times with several
12 witnesses, but just to orientate you, it was the case
13 for a number of years that the uro-oncology meeting
14 struggled to secure the attendance, primarily of
15 oncologists but also, on a regular basis, radiology.

14:09

16 2016, 51 percent attendance by radiology, 28 percent
17 from clinical oncology, to quote the statistics from
18 one year, and it continued over a lengthy period of
19 time. Just pulling up a particular observation in
20 relation to it, November '18 we look at this email,
21 AOB-81751. This is an email, just scrolling down,
22 where Arthur Grey is saying in the context of radiology
23 presence at uro-oncology MDM, that he hasn't reviewed
24 the cases but he would be happy to display the cases
25 and read out the reports. He says:

14:10

26
27 "The whole situation is dangerous and unsatisfactory.
28 The issue has been raised numerous times before. It is
29 up to the Clinical Director to assign a radiologist to

1 cover Dr. Williams. This may involve having to
2 outsource clinical work or to allocate as a waiting
3 list an initiative to accommodate it. An MDM cannot
4 function without a radiologist."

14:11

5
6 That's it, I suppose, it encapsulates the problem.
7 I suppose at a later point Mr. Glackin reflects that
8 urologists are in a very exposed position. Reference
9 for that is AOB-81757.

14:11

10
11 Did you feel, as a urologist participating in the MDM,
12 that the absence of oncology frequently, radiology
13 perhaps less frequently, was a major issue for the
14 quality and the safety of the MDM?

15 A. Well, I suppose, when we didn't have a radiologist and 14:12
16 there was only a single radiologist at that time, that
17 reflects, I think, the difficulty in recruiting senior
18 doctors in Northern Ireland. We would have to roll the
19 patients over very often. So, in other words, if there
20 wasn't a radiologist and we wanted an opinion, we would 14:12
21 have to roll them over to the following week or the
22 following week, depending on if a radiologist was there
23 or not, which was far from satisfactory. And I think
24 to be fair to Mark Williams, he was probably being
25 pulled in other directions by management and the 14:12
26 radiology department as well, or he was away,
27 depending.

28 160 Q. So there was a work around, rolling a patient over to
29 the next meeting?

1 A. Yes, which again is unsatisfactory because it delays
2 a decision.

3 161 Q. Just reflecting on that, were you, I suppose,
4 a straightforward participant in the MDM hoping that
5 somebody on the outside was going to resolve this? Did 14:13
6 you feel I suppose powerless in terms of improving
7 matters?

8 A. I knew that emails were going to various people. So
9 I knew that was happening. So I knew that the people
10 who could change it were informed about it. But it's 14:13
11 not as easy to pick a radiologist, more so
12 a uro-radiologist, which is a subspecialty of
13 radiology, you know, they're not that easy to get,
14 particularly in Northern Ireland.

15 162 Q. We have the figures for more recent times and there 14:14
16 does seem to be some improvement, albeit not complete
17 perfection in terms of attendance. Just briefly
18 looking at it, WIT-24251, which is the figures for the
19 first five months of last year. You can see in red
20 those meetings where there is an absence of one of the 14:14
21 standing members or standing disciplines of the
22 meeting.

23 A. I think if you were even to look at it now, last week
24 we had three radiologist, you know, so things have
25 certainly got better. I think you have obviously less 14:14
26 oncologists. We tend to have two medical oncologists
27 at the moment and one clinical oncologist, which is
28 a radiation doctor. I suppose if the radiation doctor
29 isn't there, we roll it over, if we want an opinion,

1 until the next week she is there. Things have got
2 significantly better, much, much better than in the
3 past.

4 163 Q. Do you think back on those, a period of several years,
5 where the attendance couldn't be secured of these key 14:15
6 disciplines that you were really operating in a meeting
7 that didn't provide the kind of quality of
8 multi-disciplinary involvement that patients had
9 a right to expect?

10 A. Well, I suppose it wasn't a multidisciplinary meeting 14:15
11 by definition, in that sense. So looking back on it,
12 it was far from satisfactory.

13 164 Q. Yes.

14 A. I think. But in saying that, you know, if there was
15 any -- as I said, if any patient needed an opinion from 14:16
16 whichever specialty was absent, it could be rolled over
17 and was rolled over until they were available.

18 165 Q. Could I move from that specific issue to an issue
19 surrounding behaviour at MDM and try to get a sense
20 from you as to the approach adopted, whether it was 14:16
21 a collegiate atmosphere, whether colleagues could
22 challenge each other in terms of the management of
23 patients and the direction of travel for patients or
24 whether there was any overbearing behaviour that might
25 have impacted on the performance of the MDM. 14:17
26

27 I ask about that latter aspect, whether there was any
28 overbearing behaviour, in light of the evidence
29 we received from Kate O'Neill, Leanne McCourt, and

1 Mrs. Corrigan in relation to Mr. O'Brien's approach to
2 you. It appears to be one incident, you can maybe help
3 us on this. If I could set it up by just referring to
4 Kate O'Neill's evidence, WIT-80959. She records, at
5 48.4, that:

14:18

6
7 "In the main communications were courteous in nature.
8 Only on a few occasions have I ever felt a little
9 ill at ease. One example I can recall was when
10 Mr. O'Donoghue was chair of the MDT. The meeting
11 commenced a few minutes ahead of the agreed start time
12 of 14.15 p.m. Mr. O'Brien joined the meeting at the
13 agreed time or a few minutes later, I cannot be sure.
14 Mr. O'Brien expressed dissatisfaction that the meeting
15 had commenced ahead of schedule. He directed his
16 dissatisfaction toward the Chair. His voice was raised
17 and tone forceful in nature. Mr. O'Donoghue apologised
18 that the meeting had commenced ahead of time and after
19 approximately five minutes, during which time
20 Mr. O'Brien expressed his discontent, the MDT continued
21 to a conclusion. As none of the content of the
22 communication was directed towards me, I did not dwell
23 on this encounter, although at the time I felt
24 embarrassed for Mr. O'Donoghue. I thought the
25 encounter was unnecessary as the discussion and
26 outcomes up to that point could have been recapped. At
27 no time did I feel that patient care or care planning
28 was impacted upon."
29

14:18

14:18

14:18

14:19

1 So, to summarise, has felt ill at ease on a few
2 occasions, generally communications were courteous,
3 recalling one particular incident concerning you.
4

5 I want to ask you, was it a one-off incident or was it, 14:19
6 as Mrs. Corrigan has reported in her evidence, that she
7 couldn't actually believe the way Mr. O'Brien had
8 spoken to you and she said that you told her that it
9 was a regular occurrence.

10 A. Maybe "regular" is overstating. Probably a few 14:20
11 occasions, I could probably count them, maybe two or
12 three, it probably wasn't too many. I can remember
13 that incident, certainly.

14 166 Q. Is it appropriate to put it down to somebody maybe
15 having a bad day and it's no more significant than 14:20
16 that, or did it affect relationships between you and
17 him or relationships within the team?

18 A. I don't think it affected relationships between us.
19 I was obviously quite miffed at the time because I did,
20 I probably bumped into Martina and said it to her. But 14:20
21 I forgot about it. I wasn't storing it up for future
22 reference. But other people, lots of other people
23 there noticed it and, obviously, didn't think it was
24 appropriate. It wasn't appropriate in front of people.
25 I mean, as I said, I had forgotten about it but it 14:21
26 wasn't an appropriate way to act.

27
28 The circumstances was that I was chairing the meeting.
29 Everybody was there, we were all sitting around.

1 I wasn't too sure whether he was going to come or not,
2 so I started, probably two or three minutes before the
3 actual start time, and that obviously annoyed him. He
4 arrived and then spoke to me.

5 167 Q. Yes. So from his perspective he regarded it as 14:21
6 a discourtesy perhaps, that you started it early and
7 ahead of his attendance?

8 A. Sure. But I probably wouldn't speak to somebody in
9 public like that. I think it probably wasn't an
10 appropriate way to speak to somebody. If he had an 14:22
11 issue, he probably should have done it privately, not
12 in front of 10, 12 people. It wasn't an appropriate
13 way to speak to somebody, not a colleague. Saying
14 that, I had forgotten about it and I expected never
15 again to remember it. It was brought up by other 14:22
16 people.

17 168 Q. Within Mr. O'Brien's witness statement he has worked
18 through his various colleagues and offered comments in
19 respect of how he viewed them as clinicians or in other
20 activities and he has drawn critical attention to you 14:22
21 in particular. If I just bring it up on this screen,
22 please, WIT-82540. It is paragraph 400. He says:

23
24 "The only reason for my having any concern regarding
25 the practice of my former colleague, 14:23
26 Mr. John O'Donoghue, was in his previewing of cases in
27 preparation for urology MDMs which he chaired, and in
28 the chairing of them. I have no doubt that he did not
29 adequately preview cases for MDM. On inquiring why he

1 had not adequately previewed a case while that case was
2 being discussed, he explained that he did not have
3 adequate time to do so. In that regard, he could
4 hardly be faulted as we did not have adequate time to
5 prepare for MDM as Chairs, if at all. The lack of 14:23
6 adequate preview probably also contributed to the
7 quality of his chairing, as his dictation of the
8 outcomes of MDM discussions was often truncated or
9 incorrect, as in the case of Service User A."

10
11 I'm going to give you the opportunity to deal with each
12 of the aspect of that, but he points to a specific
13 occasion when he says he enquired from you whether you
14 had adequately prepared. Can you remember him speaking
15 to you in those terms? 14:24

16 A. I can't remember him speaking to me about it, but I can
17 answer that statement very strongly. I mean, it's
18 complete rubbish. I mean that sincerely. I put a lot
19 of effort into the MDMs. I've asked my colleagues
20 since then, since I've seen that because Mr. O'Brien 14:24
21 never spoke to me about it, what they felt, and they
22 totally disagreed with it. It is far from true. I put
23 a lot of effort into -- you could not turn up to an MDM
24 without preparing it because there's too much work,
25 there's too much information that you can just read it. 14:25

26
27 If there was an incident, I don't know, maybe he asked
28 me about something and I probably -- I might have
29 been -- sometimes if I had a clinic or something or if

1 I had been on call, I may have said that I didn't know
2 one particular minutiae of a patient, but I don't
3 remember the incident. But I think that is complete
4 rubbish.

5 169 Q. I want to be clear about what I'm asking you again. 14:25
6 I think you've answered the question when I say he
7 seems to be pointing, albeit to -- without identifying
8 a case, seems to be saying 'I spoke to you and asked
9 whether you were unprepared' and you gave an
10 explanation but you don't remember him speaking to you? 14:26

11 A. I can't remember the incident. Certainly, if I did say
12 something and I would have still prepared the patient
13 because I spent, in those days I spent until 1 or 2 in
14 the morning preparing, so I put a lot of effort into
15 them. 14:26

16 170 Q. The Panel will recall your evidence from the previous
17 occasion when you went into some depth about the
18 preparation requirements. I don't propose to rehearse
19 that.

20 14:26
21 Just expanding it out from this, he says, with regard
22 to service user A, who we know as Patient 1, and I'm
23 going to come to that specifically, but the question to
24 you is did he ever come to you to say, with regard to
25 the outcome recorded for this patient, its 14:26
26 unnecessarily truncated and you have recorded something
27 that's incorrect?

28 A. No. Not at all. And none of my colleagues have ever
29 complained about the outcomes being truncated. But

1 then Mr. O'Brien, as I said, is very verbose and would
2 have -- a short outcome to him would have been
3 completely opposite to what he would do. He prefers
4 much longer outcomes.

5 171 Q. Yes. The outcome, which we will come to look at it in 14:27
6 a moment, is that available to the clinician who has
7 charge of the case after the MDMs. So in this case it
8 is Mr. O'Brien's patient, Patient 1. Can he access the
9 outcome?

10 A. He would see the outcome afterwards. I know we are 14:27
11 going to deal with it but Mr. O'Brien was also at the
12 meeting. His patient was being discussed. So he would
13 have been taking an active part in the discussion.
14 He would have been listening to the outcome being
15 given. Obviously, if he didn't agree with it, 14:28
16 he didn't say anything at the time. So he was there
17 himself. So I find when I'm at the MDM and my patients
18 are being discussed, I'm listening even more acutely to
19 their outcome because I'm going to be seeing these
20 patients in clinic. He was either at the time not 14:28
21 listening, that's the only explanation I can add,
22 because he would have been listening to the outcome as
23 well.

24 172 Q. I think the outcome he's concerned about was the
25 meeting in late October 2019. If we bring up the 14:28
26 reference for that. It is AOB-40070. So there had
27 been a previous discussion of this case --

28 A. Again by me.

29 173 Q. Sorry?

1 A. Again by me. I had chaired the previous meeting, so
2 I had that outcome previously.

3 174 Q. On that occasion, we can see at the bottom of the page,
4 29th August, the gentleman's disease is described as
5 high-risk prostate cancer. Just above that, the TRUS 14:29
6 biopsy had shown that seven out of 20 cores, it is
7 Gleason 7 case, were impacted by the disease.
8 Scrolling down the page, we can see that there is
9 a description of the regimen undertaken by Mr. O'Brien
10 with the patient, which was the prescription of 14:30
11 Bicalutamide 150 and tamoxifen, leading to what's
12 described as an intolerable adverse toxicity. The plan
13 was -- well, he had stopped, he discontinued, and the
14 plan was to recommence on, coincidentally, the day
15 after the MDM, on 1st November on 50 mg of 14:30
16 Bicalutamide, something I want to ask you about as
17 well.
18

19 Just dealing with the accuracy point, recalling that he
20 said that your work in bringing together the outcome of 14:30
21 the MDM discussions was both truncated and incorrect,
22 the concern is that, just on the last line that we can
23 see on the page:
24

25 "Discussed at urology MDM 31st October. Review with 14:31
26 Mr. O'Brien as arranged. Has intermediate risk
27 prostate cancer. To start ADT and refer to ERBT."
28
29 So his concern is that this disease should have been

1 described as high-risk. Help me with that. Is
2 intermediate risk an appropriate categorisation? Is
3 that --

4 A. No, not for this.

5 175 Q. Okay. Is that incorrect? 14:31

6 A. It is, and it was probably either a slip of the tongue
7 or it was picked up incorrectly. But, as I said,
8 Mr. O'Brien was actually at the meeting. He would have
9 been listening to the outcome and he didn't at the time
10 pick up on that either. In saying that, it makes no 14:32
11 difference to the outcome because the patient was
12 recommended to start ADT. The patient was already on
13 Bicalutamide 50 mgs, that's not ADT. And ADT, as Mr.
14 O'Brien well knows, whilst it wasn't mentioned there,
15 and I've changed it to an LHRH analogue, he would have 14:32
16 known we were talking about an LHRH analogue. He was
17 at the meeting.

18 176 Q. We'll come to that. Mr. O'Brien, through his
19 representatives, instructed Prof. Kirby to look at
20 these cases. A small point, perhaps, but if we can 14:32
21 bring up his statement with regards to this patient or
22 his medical report. If we go to AOB-42542. Just the
23 bottom of the page, the last paragraph. I just wonder
24 whether there's any -- you say the intermediate
25 categorisation is with -- looking at it again is 14:33
26 incorrect?

27 A. It was correct, the one before that.

28 177 Q. The point of this, that Prof. Kirby looking at this
29 says that essentially at the point where the belief was

1 that it was three plus four equals seven Gleason, that
2 that is -- I'll read the full sentence.

3
4 "The result of the original transrectal biopsies was
5 misleading and had, in fact, undergraded the cancer to 14:33
6 three plus four equals seven, intermediate risk, rather
7 than the later discovered five plus five equals ten
8 high-risk disease."

9
10 Interpreting that he is saying that at the point in 14:34
11 time when the MDM had the case, 31st October, three
12 plus four equals intermediate risk is accurate at that
13 time, on the basis of the knowledge at the time --

14 A. No it's not.

15 178 Q. -- he seems to be saying it was only later when a TURP 14:34
16 was performed. You disagree?

17 A. Yes, because the PSA was 21. So the PSA would bring
18 that into high-risk anyway. So three plus four with
19 a PSA less than 20 would be intermediate risk, but once
20 it goes over 20 it is high risk. So whether it is five 14:34
21 plus five, three plus four with a PSA greater than 20,
22 they are both high risk.

23 179 Q. I do want to unnecessarily develop this. Mr. O'Brien
24 says you got it wrong. He seems to be suggesting that,
25 apart from this example, you sometimes get it wrong or 14:35
26 reach in correct --

27 A. I don't think so, but --

28 180 Q. That seems to be --

29 A. That's what Mr. O'Brien says. But he's obviously

1 defending himself, isn't he? So there's that
2 particular instance. As I said, he was at the meeting,
3 he was listening, why didn't he correct it at the time?
4 181 Q. So you reject the allegation that, to use his
5 language -- 14:35
6 A. Totally.
7 182 Q. -- "often incorrect". This was incorrect, but it was
8 something that could have been corrected at the time --
9 A. Absolutely.
10 183 Q. -- by others? 14:35
11 A. I think often incorrect is disingenuous of Mr. O'Brien.
12 Particularly, he never spoke to me about it so
13 I totally disagree with him.
14 184 Q. Just to be clear, you're saying he was there, what is
15 the methodology at the MDM that leads to the recording 14:36
16 of an outcome such as the one we've just looked at?
17 A. So the chairman presents the case, it's discussed, the
18 histology is presented by the pathologist, the
19 radiologist -- reviewed by the radiologist. The
20 oncologist will have a say, if needed. The urologists 14:36
21 will discuss it, then we form a plan which is everybody
22 agrees upon. It is not just the chairman making up an
23 outcome, it is a collaborative approach. So if
24 somebody says something that's different from what you
25 expect, you would expect a person in the audience to 14:36
26 say, 'hey, you've got that wrong', it is high-risk,
27 low-risk, whatever. Unless you are completely looking
28 out the window and not taking part in the
29 conversation...

1 185 Q. Just taking it back to the representation that emerged
2 from that meeting at AOB-40070. His second point, that
3 is Mr. O'Brien's second point, is that the referencing
4 to the patient, this is Patient 1, to start ADT and
5 refer for ERBT is also incorrect because the ADT 14:37
6 regimen had already commenced with the prescription of
7 150 mgs of Bicalutamide, albeit discontinued for the
8 reasons set out in the record, so it shouldn't have
9 been recorded as "to start ADT"?

10 A. So ADT is either Bicalutamide 150 mgs or what we call 14:38
11 an LHRH analogue. It is an umbrella term for both of
12 those. We would have discussed at the meeting that the
13 patient would be given an LHRH analogue. Okay ADT is
14 not as precise, we changed that to a more precise term,
15 mentioning LHRH analogue now more directly. But 14:38
16 Mr. O'Brien would have known we were talking about an
17 LHRH analogue. So, again, I think he is not being
18 completely honest by saying the patient had -- he knew
19 exactly what was implied unless, again, as I said, he
20 wasn't listening to the conversation at the time. 14:39

21 186 Q. If it was intended as LHRH analogue as opposed to
22 another form of ADT, such as the 150 Bicalutamide, why
23 wasn't that recorded as a specific type of ADT?

24 A. It should have been, but we were already aware he was
25 on the -- he already had the 150. So it would be 14:39
26 highly unusual to go back, taking a treatment he was
27 already on. But I take your point, I should have
28 mentioned LHRH analogue directly. But you have
29 experienced urologists, we're not spoon feeding. But

1 I agree, we should have said exactly what one wanted.

2 187 Q. You question his honesty in that respect?

3 A. Well, in that he knows exactly what was discussed.

4 I think he's playing with -- I think he's playing with

5 what's written there, to some extent. 14:40

6 188 Q. Just to be absolutely plain, what you're saying is that

7 in this case, the discussion was with the knowledge

8 that the 150 mgs of Bicalutamide didn't work for this

9 patient because of the intolerable adverse toxicity, as

10 described there, it was with that body of knowledge in 14:40

11 mind that the expectation was explicitly made known at

12 the meeting that the recommendation was for LHRH?

13 A. It is. And I know because I rarely recommended

14 Bicalutamide 150. I would always recommended an LHRH

15 analogue. So I know that's what we would have been 14:41

16 talking about. I don't really recommend Bicalutamide

17 150.

18 189 Q. You would have observed from the paperwork in

19 preparation, and no doubt at the meeting as well, that

20 it was Mr. O'Brien's intention to commence the patient 14:41

21 on a dose of 50 mgs of Bicalutamide. Was that the

22 first time you had observed that or was that something

23 of Mr. O'Brien's practice that you were familiar with?

24 A. No, I wasn't familiar with it, no.

25 190 Q. Did it strike you as unusual that, as of itself, that 14:41

26 this was the plan for this patient?

27 A. It may have. But as far as I was concerned from the

28 MDT he was going to be going on to the LHRH analogue

29 anyway. He wasn't going to be staying on the

1 Bicalutamide 50, so he was going to be moving on to
2 that.

3 191 Q. Just to expand this. We'll come back to the issue
4 about whether your record is truncated, just to
5 complete that in a moment. But just, it is convenient 14:42
6 to ask you about Bicalutamide as a choice for the
7 purposes of an ADT regime. Is 50 mgs as a dose, is
8 that known to you as an appropriate practice for ADT
9 purposes?

10 A. No, it is not used for ADT. It is basically used to 14:42
11 cover, as you know, the flare, or when you are giving
12 combined hormone therapy, in other words if somebody is
13 developing what we call castration-resistant prostate
14 cancer and they are on a LHRH analogue, you can add in
15 Bicalutamide 50. 14:43

16 192 Q. Just maybe slow up in the interests of the transcriber.
17 I think I see her struggling there. Perhaps your Cork
18 accent is ahead of us.

19 A. Perhaps it is. I'm getting -- yes.

20 193 Q. You had an oncology practice self-evidently. Was the 14:43
21 management of prostate patients, prostate cancer
22 patients a feature of your practice?

23 A. Yes.

24 194 Q. Would you have occasion to deploy an ADT regime for
25 your patients? 14:43

26 A. ADT, as in the wider umbrella of -- yes.

27 195 Q. And I think you've explained that your regime of choice
28 would be an --

29 A. LHRH.

1 196 Q. -- the injections. The Inquiry has observed from
2 evidence presented by The Trust that Mr. O'Brien's
3 patients were, on numbers of occasions, maintained on
4 a 50 mg regime, sometimes for periods of years. And
5 you've told us already that's not something you 14:44
6 particularly recognised.

7 A. Or do.

8 197 Q. Or do. I suppose, just to be direct about it, was it
9 something you recognised in the practice of
10 Mr. O'Brien? 14:44

11 A. No.

12 198 Q. We have received evidence that, for example,
13 Mr. Glackin has told us that the issue of 50 mgs as
14 a dose was briefly mentioned at an MDT meeting where
15 colleagues said to Mr. O'Brien, 'I wouldn't do that' or 14:45
16 'we wouldn't do that', a brief interaction, not
17 minuted. Mr. Suresh has recalled that the issue was
18 discussed at an MDM, the consensus was that treatment
19 long-term with low dose Bicalutamide was
20 unconventional, and Mr. O'Brien agreed to review the 14:45
21 patient. Not memories shared by Mr. O'Brien, I would
22 underline, and not memories shared by you?

23 A. No.

24 199 Q. Very well. Getting back to the final limb, I suppose,
25 of Mr. O'Brien's criticism, and that is where he says 14:45
26 that the record that we have in front of us is
27 truncated. The criticism there is that no account is
28 taken of the patient's stated intolerance to the
29 Bicalutamide regime in the decision that is issued or

1 in the recommendation that is issued. There was
2 a need, Mr. O'Brien will say, to consider this issue in
3 the context of the ADT recommendation that issued. The
4 MDT, knowing that it was Mr. O'Brien's intention to
5 start on 50 mgs of Bicalutamide the next day? 14:47

6 A. The intention of the MDT was never that he was going to
7 be given Bicalutamide, so it wasn't something that was
8 considered. Two is, seven lines above that, quite
9 clearly it's written "medication was accompanied by
10 intolerable adverse toxicity". So its already written 14:47
11 in the narrative. But, as I said, the intention was
12 that the patient wasn't going to be given Bicalutamide,
13 it was going to be an LHRH analogue.

14 200 Q. Just to be clear, this is the decision or the
15 recommendation -- 14:47

16 A. Yes.

17 201 Q. -- of the MDT?

18 A. Yes.

19 202 Q. The MDT was explicitly clear that it was not
20 a Bicalutamide regime going forward, it was LHRH-A? 14:48

21 A. Yes.

22 203 Q. And that removed from the consideration or the concern
23 any element of toxicity?

24 A. Yes, because he wasn't going to be getting it. And, as
25 I said, Mr. O'Brien was at the meeting as well. 14:48

26 204 Q. It is said in this case that the preference for
27 Bicalutamide arose out of a coronary history for this
28 patient. Was that discussed at the MDT, to the best of
29 your recollection?

1 A. It wasn't. But I think you have to risk/benefit and
2 this gentleman had a nasty prostate cancer and so it
3 was felt that an LHRH analogue was more appropriate.
4 But there is a slightly increased risk of coronary
5 events in patients who do have LHRH analogues.

14:49

6 205 Q. Now, as it happens, and we'll use this case for this
7 further vehicle, or use it as a vehicle for this
8 further issue. As it happened, Mr. O'Brien, after
9 consulting with the patient tells us that, for various
10 reasons, he felt it necessary to start the patient on
11 50 mgs of Bicalutamide by, I think, the end of January.
12 He had increased the dose to 100 but hadn't yet
13 referred to radiology for the purposes of fulfilling
14 the recommendation around ERBT, but that was being held
15 in consideration. In other words, he hadn't found it
16 possible, because of patient considerations, to
17 implement the recommendation of the MDT. He didn't
18 return to the MDT. The patient's case doesn't ever
19 come back to the MDT.

14:49

14:50

20
21 Is there a practice in the Southern Trust with this
22 uro-oncology MDT which would, if not require, but
23 perhaps indicate that where you can implement the
24 recommendation you should bring it back for further
25 consideration?

14:51

14:51

26 A. Absolutely. Mr. O'Brien should have done that. I have
27 brought patients back where I might have disagreed with
28 the outcome or the patient wants something totally
29 different. So it should go back to the MDT, and

1 there's no problem about bringing it back. Everybody
2 is very receptive about rediscussing the case.
3 You should bring it back. You shouldn't go off and do
4 your own thing.

5 206 Q. It is often said before this Inquiry that the 14:51
6 recommendation of the MDT is no more than that, it is
7 a recommendation. You need then to bring the patient
8 into the fold. How do you do that? Do you have
9 a review shortly after the MDT with the patient?

10 A. Yes, it's usually the following week or the following 14:52
11 two weeks. And, you know, if a recommendation is for
12 radiation treatment and nothing else and the patient
13 says no, I don't want it, I want an operation, I would
14 certainly bring it back, no matter how wrong that
15 decision of the patient is, but I would bring it back 14:52
16 for discussion to let them know that's what the patient
17 wants. I think if you start going off doing your own
18 thing, because patients always want different things
19 which aren't necessarily medically indicated. I think
20 you have got to let the MDT know. 14:52

21 207 Q. Why do you consider it important to bring it back to
22 the MDT?

23 A. Well, so that there's consensus on what's happening.
24 I think you need -- that's the reason for the MDT. You
25 need some consensus. There's no point of an MDT if 14:53
26 people are going to go off and do their own thing
27 anyway.

28 208 Q. If you find there's a situation where the patient is
29 rejecting the recommendation, is that something you

1 would record?

2 A. Of course. You know, I mean, it's a holistic approach.
3 Or if I see the patient and there's a recommendation
4 for treatment and then I see the patient and they're
5 very unwell and not fit for active treatment, I would 14:53
6 bring that back and say can we change it to a watch and
7 wait approach, which is where we just keep an eye on
8 the patient. But I do it in a controlled fashion, I do
9 it with the blessing of the MDT.

10 209 Q. Yes. In terms of where the recommendation is for 14:53
11 a referral for radiotherapy in this instance and the
12 patient is content with that, is that something that
13 you delay until you get a satisfactory response from
14 the ADT regime, or does the referral take place if the
15 patient is content with it? Does the referral take 14:54
16 place fairly seamlessly, fairly quickly after the
17 meeting with the patient?

18 A. It is a bit senseless waiting for a PSA response. If
19 you are going to refer the patient for radiotherapy
20 I would do it immediately, the next time I meet the 14:54
21 patient I will refer them on. Whether the PSA responds
22 or doesn't respond, you're going to refer them to
23 radiotherapy, you're going to involve the
24 multi-disciplinary team. Things can be modified at a
25 later date but holding on to them, waiting for 14:55
26 a response is a bit pointless, and it's not good
27 practice.

28 210 Q. Again going back to Patient 1, obviously the early
29 months of 2020, we're into the pandemic. The patient

1 runs into greater difficulty in March of that month.
2 It's observed at the emergency department that he's in
3 retention, there's a need to catheterise him. The
4 regime, in terms of the referral to radiotherapy,
5 hasn't taken place. With there being information of 14:55
6 disease progression or at least the basis for
7 a suspicion, given the retention and the need for
8 a catheter that there may be a complication or
9 a progression here, is that a point in time where
10 a case should go back to the MDT? 14:56

11 A. Yes, it should, because it may need to be restated, in
12 other words it may need to be reimaged to see has the
13 disease progressed. We saw that this gentleman had
14 a Gleason five plus five. He had a very nasty,
15 aggressive prostate cancer. So, yes, it should have 14:56
16 gone back to the MDT. Particularly when the initial
17 recommendations hadn't been followed.

18 211 Q. Just going back to the issue of accuracy of MDT
19 outcomes, is that something you, as the Chair, would
20 check at the end of the meeting or the day after, after 14:57
21 things are written up, or is it unnecessary to check
22 for accuracy in light of the description you've given
23 of the process at the meeting itself?

24 A. No. The outcomes are emailed back to us, either that
25 evening or within a few days of the meeting where 14:57
26 we check over it. We make any corrections that are
27 necessary, then it's distributed to everybody else. So
28 it comes back first to the chairman to correct.

29 212 Q. Okay, so let me just drill into that a little. So who

1 types it up? Is that the --

2 A. The person coordinating the meeting.

3 213 Q. Yes. So it comes back to you to run your eye over?

4 A. Yes.

5 214 Q. And then this patient's outcome would be emailed to 14:57
6 who?

7 A. The outcome is emailed to everybody who needs it, so
8 all the urologists, oncologists.

9 215 Q. If it is Mr. O'Brien's patient, he would see it?

10 A. He would see it, yes. You know, if you disagree with 14:58
11 an outcome, you could bring it back and have it
12 rediscussed.

13 216 Q. You record in your statement that in October 2019 you
14 raised an incident report in respect of Mr. O'Brien and
15 his attention to a particular patient. If I can just 14:58
16 bring up your witness statement in that respect. It's
17 at WIT-50543. You say:

18

19 "The only issue I raised was an SAI from the uro-
20 oncology meeting in 2019. I submitted an IR1 on 14:59
21 3rd October 2019 when I was chairing the uro-oncology
22 MDM. This was in relation to a patient of Mr. O'Brien
23 who had not been referred for a kidney biopsy as per
24 MDM advice on 27th June 2019. He was seen in clinic
25 the following week and arrangements were made for him 14:59
26 to have surgery in the next few months. He had
27 a nephrectomy in early January 2020. His latest review
28 in relation to this was in early 2022, and he has
29 suffered no consequences as a result of the delay up to

1 now. The investigation with regard to the
2 circumstances of the delay is ongoing."

3
4 I wonder, Mr. O'Donoghue, are you unsighted on aspects
5 of the developments in this case? You seem to be 15:00
6 laboring under the misapprehension, perhaps, that this
7 patient received a biopsy, albeit that it was delayed.
8 It would appear that on other accounts before the
9 Inquiry that a biopsy was contraindicated in
10 circumstances where the patient was the subject of 15:01
11 a chemotherapy regime in association with other
12 disease. Were you aware of that?

13 A. I wasn't. We had discussed it at the meeting so maybe
14 we weren't aware of that. As far as I remember this
15 was brought back by someone because the patient hadn't 15:01
16 had the biopsy, and that's why it came before the MDM
17 again.

18 217 Q. Yes, let me just --

19 A. But I don't know the further details you have been
20 describing. 15:01

21 218 Q. Let me work through it and we can have your comments on
22 it. The IR1 which you filed can be found at WIT-50555.
23 I should say this concerns Patient 112. You record
24 essentially what I have already rehearsed, that this
25 patient was discussed at the uro-oncology MDM on 15:02
26 3rd October 2019. It would appear outcomes from the
27 previous uro-oncology MDM have not been actioned. So
28 you're writing that some two months -- sorry, three
29 months after the MDM recommendation of late June 2019

1 because, assumedly, you have not seen and your
2 colleagues have not seen any action in association with
3 the recommendation that it issued in June?

4 A. Yes.

5 219 Q. If we go then to a chronology that was formulated for 15:03
6 the purposes of the Trust deciding or trying to decide
7 whether this case should go to a Serious Adverse
8 Incident Review, the chronology can be found at
9 TRU-258993. I was hoping it was a chronology. Just
10 scrolling down. So the MDM action is contained in the 15:04
11 first entry. It was recommended that Mr. O'Brien would
12 see and advise the patient --

13 CHAIR: Sorry, Mr. wolfe, if I might interrupt, is this
14 a case of two pages, if we put them side by side
15 we might get the chronology. 15:04

16 MR. WOLFE KC: I know that in preparation I was able to
17 have them on screen side by side. We haven't been able
18 to mend it. So if people disagree with anything I say
19 or think it is inaccurate, I'm a bit handicapped
20 from -- 15:05

21 CHAIR: It just looks as though the table has been
22 spread over two pages. I wondered if we put two pages
23 side by side, it might read across.

24 MR. WOLFE KC: I'm not sure we can do it today. We
25 have been trying to speak to one of our colleagues to 15:05
26 prepare this.

27 CHAIR: Can we not do it through this system?

28 220 Q. MR. WOLFE KC: It may not work. I think the key issue
29 I wish to address with Mr. O'Donoghue is to be found --

1 if we can bring up TRU-258996. This, perhaps, brings
2 clarification to how things developed in that month
3 of October.

4
5 You will recall that you filed the Datix on 3rd 15:06
6 October. Here you have the second entry from the top,
7 an update is being provided from Mr. Haynes and it is
8 being provided following the Datix, in other words
9 after the Datix has been entered. And Mr. Haynes is
10 saying: 15:07

11
12 "Mr. O'Brien has responded to me with an update
13 regarding this patient. In summary, the patient is
14 mid- chemo and not able to proceed to management of his
15 renal mass. He also had an up to date CT. Aidan has 15:07
16 listed him for MDM discussion next week. I have
17 planned to see the patient next week and his renal
18 management will be organised once he has completed and
19 recovered from his lymphoma chemotherapy."

20 15:07
21 So the problem here it would appear, Mr. O'Donoghue, is
22 that you appeared to have filed the Datix not knowing
23 that the biopsy had been ruled out or contraindicated
24 because of the nature of the other treatment required
25 by this patient because of a lymphoma disease. 15:08
26

27 At the point of completing the Datix, had you been told
28 by Mr. O'Brien that the biopsy not only was no longer
29 required but would be harmful for the patient to

1 proceed with?

2 A. No. I'm not entirely sure Mr. O'Brien was at the
3 meeting. Because, if he was, he obviously could have
4 clarified it, the reason for it.

5 221 Q. Clearly there are good reasons, there is a good reason 15:09
6 why the biopsy wasn't performed. In terms of how
7 you've drafted your witness statement for the Inquiry,
8 were you not aware of that?

9 A. No. This is the first time I've seen this.

10 222 Q. Yes. You've also described the investigation into this 15:09
11 as ongoing. Is that your understanding?

12 A. Well, it may not be ongoing now because that was
13 written a year ago. My understanding at the time when
14 I wrote it, it was ongoing, but I don't know what the
15 present situation is. Probably not. 15:09

16 223 Q. Mr Gilbert, who was one of the participants in the 2020
17 SAI examination process was, I suppose, handed this
18 case for consideration to help advise The Trust whether
19 an SAI view was appropriate. If we touch upon his
20 evidence. If we go to TRU-0928. So he's explaining to 15:10
21 Patricia Kingsnorth the background to this. He said he
22 was seen by Mr. O'Brien with the written plan to assess
23 after restaging. It is reasonable to assume he meant
24 post chemotherapy staging.

25 15:11

26 "The biopsy was, in my opinion, reasonably deferred."
27
28 And he gives the reasons for that:
29

1 "The potential complications of infection, haematoma,
2 spread during immunosuppression or even the loss of the
3 kidney outweighed any benefit in knowing the
4 histology."

15:11

5
6 He goes on to say that a letter describing this plan
7 was not generated until October 2019. In other words,
8 Mr. O'Brien had delayed in his communication around
9 this and this caused unnecessary concern and work for
10 Mr. O'Brien's colleagues. So that appears to be --
11 there's probably other strands to the picture but
12 that's the thrust of it.

15:12

13
14 Perhaps it points out, in light of what you said and
15 the beliefs you had formed about it in your statement,
16 that although you were the originator of the concern,
17 you seem to be indicating that nobody in the Trust came
18 back to you to inform you of why your concern, as set
19 out in the IR1 was somewhat unfounded?

15:12

20 A. Absolutely. I mean the decision to defer biopsy is
21 very reasonable in light of what's going on with this
22 gentleman's chemotherapy but, yes, as I said the first
23 time I've seen all this information is just now.
24 I suppose, as it says there, a letter wasn't generated
25 until October 2019. If there was a letter summarising
26 what was going on, that certainly would have been
27 helpful.

15:13

28 224 Q. Do you consider that it was any of your responsibility
29 as MDT Chair for that matter to have pursued directly

15:13

1 Mr. O'Brien to obtain an explanation from him before
2 filing an IR1?

3 A. I suppose it would have given more information.
4 I probably felt at the time that I had got it on NIECR
5 but obviously if I got it from Mr. O'Brien it would 15:14
6 have clarified the matters clearly for me, yes.

7 225 Q. Let me move to the issue of safety nets. The SAI
8 reviews that were conducted in 2020, looking at the
9 cases in the round reported that not only was there
10 a prolonged treatment pathway in a number of cases, but 15:15
11 there was no mechanism to check or track that actions
12 were implemented. We saw that just earlier with
13 Patient 1's case.

14 A. Yes.

15 226 Q. The findings were also that the MDT was underresourced 15:15
16 for appropriate patient pathway tracking. Is that
17 a criticism or a concern that you would have been aware
18 of in live time before these SAIs reported?

19 A. In relation to Mr. O'Brien or just in general?

20 227 Q. More generally in terms of the governance of the MDT 15:16
21 within which you worked. You can perhaps think about
22 it in terms of you have a recommendation to implement
23 with the consent of your patient. Was anybody or any
24 aspect of this system going to be looking over your
25 shoulder to ensure it was done? 15:16

26 A. Well, I thought that the cancer tracker was probably
27 keeping an eye on it. I probably had a secretary who
28 was good as well. So if I hadn't done a letter, she
29 will also have the outcome, said have you done a letter

1 to oncology so she would have been looking.
2 I certainly received emails from the cancer tracker as
3 well about sort of booking scans and things. But
4 I don't know how much they actually did. But
5 I certainly had people making sure that I was achieving 15:17
6 what I was meant to do with from the multidisciplinary
7 meeting.

8 228 Q. You make a point in your statement, if I just bring it
9 up, WIT-50539, at 41.1. You say:

10
11 "Cancer trackers ensure that patients with cancer pass 15:17
12 through the uro-oncology MDM in a timely manner.
13 Issues with MDM patients are often only picked up when
14 patients are discussed again at the MDM and this can be
15 several months down the line from the original 15:17
16 discussion."

17
18 Is that pointing -- is that just pointing to the
19 natural flow of activity in the MDM or is it
20 highlighting a concern on your part that there can be 15:18
21 delay in getting to grips with problems in patients'
22 cases because of how the meeting is set up and
23 supported?

24 A. Well, I suppose, one, I felt the cancer trackers were
25 making sure things happened. That was my 15:18
26 understanding. In the last sentence what I was
27 implying was that if there was a change from the plan
28 and if the cancer tracker hadn't picked that up, it
29 wouldn't have been picked up until it had been

1 rediscussed. That's probably what I was thinking about
2 when I wrote that.

3 229 Q. Just looking briefly at some of the examples which
4 emerge from these 2020 SAIs, if we go to DOH-00122. So
5 they're saying that five of the nine patients in the 15:19
6 review experienced significant delay in diagnosis of
7 their cancer. That was related to patients with
8 prostate cancer and reflected variable adherence to the
9 regional agreed diagnostic pathways.

10
11 Just scrolling down. Yes, there's a number of specific 15:19
12 examples beyond the prostate arena. A delay in a
13 penile cancer case and a failure to follow up on
14 a recommendation for referral to the regional small
15 renal lesion team. 15:20

16
17 I suppose the Inquiry's interest is, as well as looking
18 back or looking forward, we are trying to chart whether
19 there's been any remedial action taken around the kinds
20 of concerns which emerged from the SAI. Do you feel 15:20
21 that the MDM is better resourced, better supported for
22 the purposes of governance and keeping patients safe?

23 A. I think it is now, certainly. I'm sure these sort of
24 delays wouldn't happen now. But --

25 230 Q. And why is that, in practical terms? What is the 15:20
26 enhancement that has been brought to bear since these
27 cases emerged?

28 A. Well, I don't know what his title is, but there's
29 somebody now who does snapshot audits and ensures that

1 patients are being referred and their treatments done
2 in a timely fashion. I think this is a lot more
3 auditing going on, that things are happening.

4 231 Q. How is that visible to you? So you get your three or
5 four outcomes for your patients on the Friday afternoon 15:21
6 after the MDT the previous day or whatever day it is.
7 How do you feel the presence, if you like, of the
8 system or the person whose responsibility it is?

9 A. You'll get -- I do the referrals as soon as I see them,
10 but you would certainly get an e-mail from this chap, 15:22
11 I can't remember his title, saying, 'have you organised
12 this MRI, have you done that'? So he would certainly
13 check. And I think the cancer tracker would be
14 checking more closely now as well, as well as my
15 secretary, as I keep saying, she checks as well. She 15:22
16 gets a separate list of the patients of mine and she
17 makes sure she checks them off as I do whatever I'm
18 meant to do.

19 232 Q. Yes. Is there anything about the current working
20 practices of the MDM that you would change or improve 15:22
21 if it was within your gift to do that? Particularly in
22 the area of Patient Safety and the governance of the
23 actions that are part of the everyday life of the MDT?

24 A. Well, it certainly runs much better now. I certainly
25 welcome people looking on, making sure that -- the 15:23
26 cancer tracker is ensuring that the patients are going
27 through the system effectively. I think our Clinical
28 Nurse Specialists also are actively involved with the
29 patients and they're also another failsafe mechanism,

1 and they are ensuring that patients are going through
2 the pathway effectively. So there's lots of people
3 that take part. I think, certainly, the nurse
4 specialists, because they are the key worker for the
5 patient and they make sure the patient goes through the 15:24
6 system as well.

7 233 Q. Could you help us understand how you work with the
8 Cancer Nurse Specialists. The MDT looks at a patient's
9 case, makes a recommendation. You are -- let's deal
10 with the prostate cancer -- you are to see the 15:24
11 patiently within the next week or fortnight to discuss
12 the MDT recommendation. The recommendation is for ADT
13 and referral. Where does the nurse come into it and
14 how? Procedurally or practically how?

15 A. So the nurse is always in the room when I'm seeing the 15:24
16 patient --

17 234 Q. How does the nurse get there, how does the nurse get to
18 know that you want her there this with patient?

19 A. Well the Cancer Nurse Specialists know when I'm seeing
20 cancer patients I always have a nurse. So whatever 15:25
21 nurse is assigned to my clinic, Clinical Nurse
22 Specialist, comes into my clinic from the start because
23 they know I have a nurse all the time. I don't call
24 them in selectively. If I'm seeing cancer patients
25 they're automatically in there, I don't have to ask any 15:25
26 more.

27 235 Q. So the nurses will know that this clinic on this day is
28 your cancer --

29 A. They don't have to be invited. They know that they're

1 going to be there.

2 236 Q. You've given the answer, necessarily, in terms of
3 today. Has it always been like that? What was the
4 position in 2019/2020, several years ago?

5 A. I can't see any difference in my particular practice. 15:26
6 Again, I didn't have to invite the nurses in, they were
7 involved from the start. You know, I always had
8 a nurse there so I don't see any difference from that
9 point of view.

10 237 Q. What additionality or what point of difference in terms 15:26
11 of the services being provided to the patient does the
12 specialist nurse offer in your opinion, which is to
13 contrast with your role?

14 A. One is a point of contact. Very often patients can
15 talk to nurses much more easily. They may not want to 15:26
16 talk to the doctor. So she takes them out of the room,
17 talks to them. She gives them a card and they can ring
18 her up with any issues. She signposts them to various
19 agencies that may provide support, either financial or
20 otherwise. She gives them literature and details on 15:27
21 their cancer and the various treatments they're going
22 to have. She makes sure that they go through the
23 system. I think it's a presence. I think a patient --
24 maybe I'm wrong -- I think a patient feels they can
25 probably talk to a nurse about nonmedical things more 15:27
26 easily.

27 238 Q. The SAIs reported that in nine out of the nine cases
28 that they looked at, the Cancer Nurse Specialist wasn't
29 assigned, wasn't allocated, had no role with these

1 patients. These were 2019, 2020, cases came from that
2 time. To the best of your understanding was there any
3 resourcing issue that would have prevented the
4 allocation of nurses or the assignment of nurses to
5 these patients? The Inquiry understands that over time 15:28
6 the nursing resource has improved.

7 A. Well, I think on occasion if there wasn't a nurse
8 available for some reason I would have copied the
9 nurses into the letter and they would have contacted
10 the patient the following day or when they were back. 15:28
11 So there have been a few occasions, for some reason
12 they weren't there, but they would have contacted the
13 patient afterwards and I would have done that
14 automatically. So the patients would always have had
15 a nurse involved. 15:28

16 239 Q. Thank you. Just finally, I want to ask you about your
17 understanding of the circumstances of Mr. O'Brien's
18 retirement. Were you aware that Mr. O'Brien intended
19 to retire from his consultancy and hoped to return to
20 The Trust in a part-time capacity? 15:29

21 A. That was my understanding and that's what he said to
22 me. I think he had given me the impression that he was
23 going to retire, stay off whatever length of time, then
24 come back in a part-time basis.

25 240 Q. Yes. So that was something you discussed with him? 15:29

26 A. Yes. I think he had mentioned it to me in a social
27 sort of --

28 241 Q. We discussed earlier your concern about his practices
29 at the revelations of 2017 and all of that, you went

1 from a position of confidence in him to something of
2 a situation where you were less confident in him or
3 less trusting of his approach. When you spoke to
4 Mr. O'Brien and he told you about that, were you -- did
5 you form any view in terms of whether it was a good 15:30
6 idea that he should come back?

7 A. I didn't really, no. I took it at face value.
8 I didn't know a lot of these things when we spoke.
9 I obviously had known about the triage, there hadn't
10 been triage, so I'd known about those. I don't think 15:30
11 I knew a lot about the SAIs. No, I hadn't formed --
12 I probably hadn't thought about it too much.

13 242 Q. So when he told you he would be coming back or hoped to
14 be coming back, that --

15 A. I took it at face value. 15:30

16 243 Q. You didn't say that wasn't a good idea?

17 A. It didn't cross my mind as far as I remember, no.

18 244 Q. Mr. Haynes gave evidence to say that he spoke to
19 consultant colleagues, other colleagues in The Trust
20 about the idea that Mr. O'Brien would return or could 15:31
21 return or that was the request. Did he speak to you?

22 A. I think he did. And that probably might have been some
23 time after when Mr. O'Brien had said to me that he was
24 going to come back.

25 245 Q. What was Mr. Haynes' purpose in speaking to you? 15:31

26 A. I'm trying to remember. I think he might have asked me
27 what did I think about him coming back, I think.
28 I think at that point I might have formed an opinion
29 because I'm -- I probably wasn't as enthusiastic as

1 when Mr. O'Brien spoke to me before that. I might have
2 formed an opinion at that point, I think.

3 246 Q. What was that opinion?

4 A. Well, I think Mr. Haynes might have said to me that
5 either they were thinking of -- because of all these 15:32
6 issues -- but I can't remember the exact details.
7 I thought until these issues were sorted out it
8 probably wasn't a good idea that he came back.

9 247 Q. The issues in association with the MDM postdated his
10 requirement? 15:32

11 A. And the triaging and all these things that were coming
12 to light -- that had come to light.

13 248 Q. So what you're saying is your memory is of him saying
14 that there were unfinished issues, the issues from
15 2016, 2017 that had been investigated and were still to 15:32
16 be the subject of a disciplinary hearing after
17 grievance hearings?

18 A. I probably formed an opinion at that time but I think
19 before that, when Mr. O'Brien said something to me
20 about coming back, I probably hadn't formed an opinion 15:33
21 at that point.

22 249 Q. Can you recall, precisely or otherwise, how you
23 expressed that to Mr. Haynes?

24 A. He may have said to me that they were thinking of not
25 bringing back -- I can't quite remember. I'm sort 15:33
26 of -- I'm searching. It is not something I thought
27 about until you've asked me right now so I'm trying to
28 search my memory. I can't remember the finer details
29 of it.

1 250 Q. My question is what did you say to him as opposed to
2 what did he say to you?

3 A. I must have said to him that I probably thought it
4 wasn't a good idea he came back. I assume I said
5 something along those lines, but I'm sort of -- but 15:34
6 I can't remember the details, to be perfectly honest.

7 251 Q. Do you hold a memory of your view on the issue being
8 shared or being communicated to you -- sorry, I'll put
9 this in a different way.
10 15:34

11 You seem to be indicating that you had a view -- that
12 you formed a view he shouldn't come back. Was
13 Mr. Haynes communicating a similar view back to you?

14 A. I think he was but I might do him a disservice if I'm
15 saying strongly that he said yes, so I'm not too sure. 15:34

16 252 Q. Yes. In terms of your other colleagues, Mr. Glackin,
17 Mr. Young, did you speak to them about whether he
18 should be coming back?

19 A. I'm not definite. Because his coming back wasn't
20 something that I was actively pursuing or canvassing or 15:35
21 finding out. I don't know whether I had or not.

22 MR. WOLFE KC: Thank you very much.

23 CHAIR: Ladies and gentlemen, we're going to continue
24 on rather than take a break if that's fine with you.
25 If anybody needs to take a comfort break, please do so 15:35
26 but I think we're all anxious to get today over with.
27 And I'm sure Mr. O'Donoghue is but before you can go
28 anywhere, some questions from us and Mr. Hanbury first
29 of all.

1 MR. O'DONOGHUE QUESTIONED BY THE INQUIRY PANEL AS
2 FOLLOWS:

3
4 253 Q. MR. HANBURY: I just have a few urological questions.
5 Just start off on waiting lists and particularly the 15:35
6 changing of double J stents, it's something that every
7 department struggles with. We were involved in this in
8 the Inquiry, especially with Patient 16. You worked in
9 England in various places and, obviously, in Northern
10 Ireland. Everywhere has its different waiting list 15:36
11 methods of doing it. I was aware that you and
12 colleagues were sent big Excel spreadsheets full of
13 800 cases and upwards. How did you cope with this
14 workload, in particular the routine changes which often
15 are a sort of Cinderella type of case. Did you have 15:36
16 help there or was that all on your shoulders?

17 A. I think things have changed now but in those days
18 we had all our own patients and so we sort of took
19 responsibility for them whereas now it's a pooled list.
20 But certainly I felt pressurised because there were 15:36
21 a lot of patients with stents in, to try to get them
22 done in a timely fashion. So I tried to go through
23 them chronologically or when they were due to be
24 changed, so six months, nine months, whatever.

25 254 Q. That would fall on your shoulders rather than the 15:37
26 schedulers, certainly in the early days?

27 A. Yes, also I had used the BAUS. The BAUS had
28 a database, which they have got rid of now, but they
29 had a database where you could record patients with

1 stents and you got emails back from it. It was quite
2 a cumbersome system, it was quite slow, but I certainly
3 tried using that for quite a while, probably a year or
4 so. But I dictated letters for every patient with the
5 dates the stents went in so there was as much
6 information available as possible, ensuring that the
7 booking forms were done. But I think a lot of it was
8 still on our shoulders individually to change our own
9 stents, so to speak.

15:37

10 255 Q. You mentioned BAUS there, the British Association of
11 Urological Surgeons. I was interested in the last
12 couple of days when Mr. Young was giving evidence, he
13 picked up that Mr. O'Brien, around that time, I think
14 it was around 2013, wasn't a member of BAUS. Would
15 that surprise you or...

15:38

16 A. I don't think he was a member up until he retired, but
17 I might be corrected. But I don't think he was,
18 whereas the rest of us were members of BAUS. So, yes,
19 I thought it was a bit strange that he wasn't a member
20 of our parent organisation, yes.

15:38

21 256 Q. What do you think he missed out on in not being?

22 A. Well, I suppose he could still have gone to the annual
23 meeting. I mean, what he missed out on, day to day it
24 probably doesn't make any difference but at the same
25 time, I think psychologically you feel part of a larger
26 group of urologists and it is our professional
27 organisation. So I would have thought everybody should
28 be a member of a professional organisation. But day to
29 day running of your practice, I don't think it makes

15:38

15:39

1 any difference. Although you do get information on
2 various courses relevant to your practice, which is
3 important.

4 257 Q. So education?
5 A. So education which is important. Although actively you 15:39
6 can find those out, whether you are a member or not.

7 258 Q. National audits?
8 A. Yes, those kind of things, certainly. And, similarly,
9 EAU. I don't think he was a member of that either. He
10 certainly was a member of the Irish Society of Urology. 15:39

11 259 Q. Certainly when he was chairing NICaN, a lot of that was
12 based on UK and European guidance?
13 A. Yes.

14 260 Q. We have heard a lot about TURP and saline TURP, maybe
15 things have moved on but I was struck that there was, 15:40
16 certainly up to a couple of years ago, no Northern
17 Irish urologists interested in laser TUR and other
18 minimally invasive techniques for the bigger prostates;
19 what is your comment there?
20 A. We certainly do green light. We are trying to get 15:40
21 HOLEP up and running, myself and Mr. Glackin. I have
22 done a course previously, but both of us are interested
23 in getting it up and running and that is certainly a
24 plan for the future, to do HOLEP, possibly in
25 Daisy Hill. 15:40

26 261 Q. We heard about the new day case innovations and
27 overnight stays.
28
29 A couple of things on Urologist of the week. When it

1 was set it up, there didn't seem to be prospective
2 cover, it seemed to be you took your turn in a one in
3 seven, although there weren't seven people, which
4 slightly confused me?

5 A. Yes so one of those weeks was a locum week and because 15:41
6 there wasn't, so we covered it. It's a bit like now,
7 that we have two weeks to cover because we don't have
8 -- although we're getting some new consultants starting
9 in December and January. So there are two weeks on the
10 rota which were covered as locum cover. 15:41

11 262 Q. And you usually got that, because otherwise that would
12 affect your scheduling?

13 A. It could affect us, the scheduling. We sort of
14 distributed it among us so it wasn't a whole week or it
15 isn't the a whole week. 15:41

16 263 Q. You mentioned triaging until 9 or 10 o'clock at night,
17 and obviously they were very full weeks. Did you think
18 of just doing office hours, so to speak, not that
19 surgeons ever respect those, and not doing the nights
20 on call or any other manoeuvres to make the Urologist 15:42
21 of the week a little less onerous?

22 A. No, because if I complete the triaging, I probably felt
23 a bit elated and I could start a new day by starting
24 again. So I was much happier sort of clearing
25 everything and then going home, rather than having 15:42
26 something waiting for me the next day.

27 264 Q. That suited your colleagues in general?

28 A. Suited as in -- but I was on call. It didn't affect
29 them, it only affected me, really. The on call is day

1 and night, so whether I'm there at 9 or 10, it doesn't
2 affect them in any way.

3 265 Q. Right. We're aware, looking at one particular case, of
4 a patient who came in with a bleeding kidney tumour on
5 a Thursday and -- this wasn't your week -- 15:42

6 A. No.

7 266 Q. -- that there didn't seem to be much consultant
8 presence over the weekend. What's your comment there.
9 Did it usually work well? The consultants would
10 normally go in to either do a full round or see at 15:43
11 least the unwell patients at the weekend? What is your
12 experience?

13 A. Well I can only speak for myself. So I went in on
14 Saturday, spent all day on Saturday. On Sundays, if
15 I had a locum, I would go in or if there were ill 15:43
16 patients. If I had an experienced registrar and the
17 patients were unstable, I let him do the ward round on
18 Sundays and I came in if the patients needed to go to
19 theatre.

20 267 Q. Would you be surprised if there was a fairly sick 15:43
21 person who had not been seen by someone senior?

22 A. If I knew there was somebody sick, I would certainly be
23 in. I wouldn't leave it to a registrar.

24 268 Q. Okay. Thank you. Just one more thing about pre-op
25 assessment. We spoke about Patients 90 and 91, and 15:43
26 obviously things do slip through with pre-op
27 assessments, but there's another hurdle that should be
28 gone through, the World Health Organisation checklist
29 before things finally click into action. Did you look

1 at that in terms of PATIENT SAFETY and say how did
2 these two get through and perhaps think about that?

3 A. Absolutely. I mean the WHO happens automatically.
4 I've never done an operation in the last few years
5 without the WHO happening. But the WHO is a more sort 15:44
6 of correct side, has the patient been given
7 antibiotics, is the site marked. Any concerns,
8 I suppose, yes, about the patient. But I think if you
9 get on the table and if your comorbidities haven't been
10 set out before, I think the WHO is not going to stop 15:45
11 that, I think.

12 269 Q. A shame, though. Maybe a missed opportunity?

13 A. Maybe I am wrong because the anaesthetist will have
14 seen the patient already on the ward, so if they get
15 past the anaesthetist and get to the operating theatre, 15:45
16 they've already got over the hurdles.

17 270 Q. Just it wasn't really mentioned in the SAI reports.

18 A. Yes.

19 271 Q. One last very quick one. Mr. Wolfe has mentioned,
20 I think, Dr. Gray, a Belfast -- 15:45
21 A. Yes, he is a radiologist.

22 272 Q. You saw the email there. Something that wasn't read
23 out was "debaacle of the small renal masses". I wasn't
24 quite sure what that meant. Was that a reference to
25 radiology or the process of looking after that group of 15:45
26 patients which, in Patient 7, I wondered whether that
27 was a reference to the process of looking at that group
28 of patients or was that a reference to the radiology
29 particularly?

1 A. I'm not too sure what he meant by that. I assume it
2 was the radiology. I don't know what debacle he meant,
3 but I assume it was the radiology side of things, but
4 I can't direct you to any --

5 273 Q. It is a fairly strong term though. 15:46

6 A. Yes, it does sound -- calling it a debacle, it doesn't
7 sound.

8 MR. HANBURY: I think I'll stop there.

9 CHAIR: Dr. Swart.

10 274 Q. DR. SWART: we heard a lot about the waiting list and 15:46
11 the pressure of work in Northern Ireland. I think in
12 the last session you talked about the use of the
13 independent sectors and as offloading patients.

14 We have been quite interested in patients on the
15 waiting list coming to harm and how that's looked at or 15:47
16 not looked at. I think you mentioned that there was
17 a priority group for the independent sector which where
18 people are awaiting TURPs with catheters; is that
19 right.

20 A. Yes. 15:47

21 275 Q. Who made that decision as to which patient should be
22 prioritised, in particular was it a group of
23 urologists, did it come through the CMO office, did it
24 come through commissioning, where did it come from?

25 A. I don't know where it came from. It wasn't just 15:47
26 Craigavon patients, it was Belfast patients as well.
27 There was a certain number of patients were sent to
28 Dublin to The Mater Hospital for TURPs, but we were
29 also sending patients now to the private sector for --

1 some urologists are coming from Sheffield and
2 Manchester who are seeing patients in clinic --

3 276 Q. So it was a directive, was it?

4 A. Yes.

5 277 Q. You weren't asked -- 15:47

6 A. It must be Government, I presume it must be because
7 it's quite a lot of money.

8 278 Q. But you weren't asked which ones should have priority
9 on these waiting lists?

10 A. I wasn't anyway, no. 15:48

11 279 Q. As a group of urologists, as far as you are aware?

12 A. I don't know. I wasn't privy to that conversation.

13 280 Q. I'm just trying to get a sense of how the risk priority
14 is clinically assessed?

15 A. At the same time somebody must have picked them because 15:48
16 you can't just decide what patients are going. In
17 saying that, certainly one of our staff grades, she has
18 left now, she did go through our waiting list of
19 patients waiting for TURPs, and she did prioritise those
20 who were suitable to go to the independent sector. She 15:48
21 certainly looked at those. And there were patients who
22 went to Dublin, I think.

23 281 Q. A few questions which were really around safety
24 culture, safety culture, governance culture, whatever
25 you like. It is quite a complex area and it comes from 15:48
26 both ends, it comes from the department, it also comes
27 from the Board, it is the government to some extent.
28 It is all about how things work rather than what
29 processes you have.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

Just as a starter on that, there's a lot of evidence that the way you work together as a team, the way you support colleagues, the conversations you have, the openness with which those conversations take place is the softer part of safety culture, which is critical. Without that you can have lots of systems, but people don't necessarily give of their best.

15:49

In terms of the safety culture of your department, I'm struck by the fact that there were quite a lot of serious patient issues in terms of just letters, triage, results, pre-op, even I might say the efficacy of the WHO checklists in terms of I would say these pre-op issues should come in the first phase of that. What is your view as to why some of these issues weren't really discussed openly in the first place and, also why, when there was a significant issue when you were sat down in 2017, in the January, why didn't you all individually speak to Mr. O'Brien and why didn't you talk to each other about the atmosphere in the department and how what needed to change to improve this. What is your feeling about the cause of that?

15:49

15:49

15:50

A. There wasn't a negative attitude in the department. I think we all got on well.

15:50

282 Q. If you got on well, why didn't these things come up?

A. Apart from Mr. O'Brien, perhaps. The rest of us got on well. I think it was probably a difficulty -- I think to use a phrase, and it wasn't something I experienced,

1 but a phrase Mr. Haynes had used, a challenge to
2 challenge.

3 283 Q. Do you think it was just that?
4 A. It is probably not as simple as that, I suspect. I
5 think it is probably a complex situation that has 15:51
6 arisen over a long period of time.

7 284 Q. These are really critical issues and it is never just
8 one person. One person may be a catalyst for things
9 not being totally open, but it's clear that these
10 things didn't regularly get discussed in the way that 15:51
11 I would expect. I mean, I can't envisage a department
12 where you have somebody excluded, coming back to work,
13 all these serious issues, and no frank conversations.
14 I can't envisage that. So it does indicate there are
15 some barriers there. You say the rest of you get on. 15:51
16 Do you recognise the fact that building trust among
17 everybody is critical for patient safety?

18 A. Absolutely. If you get on, you can speak to people.
19 You can -- and you are not afraid to bring -- if you're
20 having problems, bring it up. So, no, I think it is 15:51
21 very important.

22 285 Q. And you have said a few times you can't just do what
23 you like, you can't just do your own thing and yet this
24 was tolerated. Now that, I suppose, you would say is
25 the challenge to challenge issue. Who, in your view, 15:52
26 should be dealing with that? Were you clear, for
27 example, on the respective roles of the clinical lead
28 and the Clinical Director and people going up the
29 hierarchy? Did you have a clear view in your own mind

1 about who should be picking up some of these issues,
2 which were evident to various people, even if they
3 weren't totally joined up?

4 A. well, I assumed, more than assumed because I can see in
5 the evidence that lots of people had been trying for 15:52
6 the last 20 something years to get somewhere, not
7 successfully in the slightest. whether people should
8 have been more forceful in getting things agreed --

9 286 Q. Do you have a view as to where that responsibility
10 should sit? 15:53

11 A. I suppose ultimately these things sit with the Medical
12 Director and come down. I mean, he's obviously not --
13 he or she is the last person in the chain. But...

14 287 Q. Is that right or should there be more interaction? How
15 much interaction did you have with people, say, like 15:53
16 the Medical Director?

17 A. I have had no interaction with the Medical Director.
18 I think, serious issues going on like this, you know,
19 would certainly, and the Medical Director would have
20 been aware of it. But no, there are several people in 15:53
21 the chain before the Medical Director who, from what I
22 have read --

23 288 Q. But were you yourself clear on it, I know you have read
24 some things now but at the time did you have a clear
25 picture in your own mind of who did what? 15:53

26 A. well if I had an issue I would probably have gone to
27 Mr. Young first. I would also involve
28 Martina Corrigan. That would have been my direct
29 contact.

1 289 Q. Okay. There's been a lot of favourable comment about
2 the change in the Patient Safety Meeting and the
3 improvements that have happened, which is clearly good.
4 But you said a couple of things today. One of them was
5 it only gets to the Patient Safety Meeting if something 15:54
6 goes wrong. And you've also said you weren't sure how
7 something should get to the Patient Safety Meeting. So
8 I just want to ask you about whether any efforts had
9 been made to support the department to look at data and
10 information in a way that would actually give you a bit 15:54
11 of a heads up. So, for example, you have a nice little
12 scorecard about results. That is helpful if
13 consultants are provided with that. My own experience
14 is that is usually done on a comparative basis and
15 consultants are quite competitive so they don't want to 15:55
16 be in the red, whatever it is, you know. You can do it
17 with triage, for example, you could do it with pre-op
18 assessment compliance, you could have done it with the
19 glycine issue. Have you had any support as
20 a department in terms of developing those sorts of 15:55
21 metrics to be automatically collected for you? Time to
22 stent insertion would be another one?

23 A. Yeah, the clinical governance department, the manager
24 of the clinical -- comes to all our Patient Safety
25 Meetings, she has been coming for the past year, has 15:55
26 been guiding us in audit and has been --

27 290 Q. This wouldn't necessarily be audit. This would be
28 automatic data. Has anybody had that conversation is
29 the question?

1 A. No. But it is something I may visit and add it into
2 the Patient Safety Meeting. I think it would be
3 useful. I will speak to clinical governance about it.

4 291 Q. It just helps to build trust?

5 A. No, I think it is certainly something I will add in. 15:56

6 292 Q. The other aspect of patient safety which has
7 increasingly come to the fore is the patient's role in
8 understanding about their own treatment and in asking
9 questions. Now, you mentioned that you copied letters
10 in England and not here because it wasn't done and 15:56
11 I know it is not mandated in Northern Ireland. What's
12 the barrier? Why are people not keen on it? You
13 yourself didn't seem to be that keen.

14 A. There's no barrier, really. There's nobody said you
15 shouldn't do it. It just wasn't done, but there's no 15:56
16 barrier.

17 293 Q. Would you agree, it is another check. If you are
18 supposed to have a scan and you haven't had it, you'll
19 be on the phone, won't you?

20 A. Saying that, I copy results to the patient. But yeah, 15:56
21 but I do say to patients, you know, I do summarise at
22 the end of the consultation, you are having this, this,
23 this and this --

24 294 Q. I know?

25 A. -- but it is not written in a letter and I think 15:57
26 certainly perhaps I'll change my practice.

27 295 Q. I can remember when it was introduced many years ago
28 now and lots of people were resistant. But actually it
29 seems to have brought benefits generally?

1 A. I think it is not something that would bother me, it is
2 just something I will do.

3 296 Q. The Inquiry must have put an enormous strain on
4 everybody in the department, I imagine. What benefits
5 have you seen, if any, so far, and how do you think you 15:57
6 personally could use the learning from this Inquiry for
7 the benefit of the department going forward?

8 A. Well, I suppose results -- whether it is because of the
9 Inquiry or just has evolved over time, I mean they are
10 now coming electronically. We have a little tally of 15:57
11 how we're doing. So that has improved. You know,
12 it's -- we're not dependent on bits of paper. Even the
13 bits of paper we used to get come as PDFs to us now and
14 we sign them on line. That's become more secure rather
15 than having bits of paper floating around. 15:58
16

17 I think, certainly, we've got more Clinical Nurse
18 Specialists. We had eight or nine. So those numbers
19 have gone way up. So I think things are certainly
20 improving. 15:58

21 297 Q. Those are some specific things. What about, you know,
22 your feeling that you maybe slightly more empowered to
23 raise things for long-term strategic planning of
24 services. That has been a huge problem for a long time
25 in terms of demand and capacity. This has really come 15:58
26 to the forefront. What opportunities does that bring
27 for you as a group of urologists?

28 A. Well, we have a meeting once a month. We can certainly
29 talk about that or if we have any ideas, put it on the

1 agenda for discussion.

2 298 Q. Do you recognise it is your role to do that? I think
3 what I've seen a little bit of, people thinking
4 somebody else is going to do something?

5 A. Some people are better at big ideas than others. 15:59

6 299 Q. Of course.

7 A. And some people are grafters. But I think --

8 300 Q. Because actually you have a lot of good things going
9 on, is my observation.

10 A. Absolutely. 15:59

11 301 Q. What I am trying to say is how you can use this and
12 have you thought of it in this way?

13 A. There's no inhibition. It's a very encouraging
14 department. I mean, it has all these issues but as
15 a department itself, it encourages new ideas and it is 15:59
16 quite receptive to new ideas. It functions very well.
17 MDT functions well. It's not an unhappy place to work.

18 302 Q. That's good. Do you think you'd like to tell us
19 anything that you would like to see as a particular
20 recommendation? 16:00

21 A. Well I personally would like to get the HoLEP up and
22 running, that an operation for -- that's my abiding
23 concern at the moment, that I want to get up and
24 running. That's what I really want to do.

25 DR. SWART: That's all from me. 16:00

26 303 Q. CHAIR: Just one issue that was raised with you first
27 thing this morning, was you were asked specifically
28 about patient 205 and the failure to triage to red flag
29 and you didn't have the notes or records. I just

1 wanted to assure you, if assurance is needed, that the
2 Inquiry is really not interested on whether or not that
3 was an appropriate -- whether it should have been
4 upgraded or not. That's not what the Inquiry is
5 concerned about. When we're looking at triage we're
6 looking at the failure to triage rather than mistakes
7 being made in triage because it is clear that everyone
8 can make mistakes. I just wanted, in case there is any
9 misunderstanding about that, to assure you about that?

16:01

10 A. No, no, I understood that.

16:01

11 CHAIR: Other than that, just to thank you for coming
12 along. I think you're the last of the urologists to be
13 heard from. I know you weren't planning to be the last
14 one but it turns out that you are. So thank you and
15 thank your colleagues for the evidence they have given
16 to us because it has been very important for us to hear
17 from you all.

16:01

18 A. Thank you.

19 CHAIR: You are free to go. I am not letting everyone
20 go just yet because there are a couple of housekeeping
21 matters. Before we do break up for the holiday
22 I wanted to say something about the remainder of our
23 public hearings.

16:01

24
25 The Inquiry team has been working on the post-Christmas
26 timetable which I understand will be shared with the
27 solicitors for all core participants by the end of next
28 week. You will appreciate that there's a lot of toing
29 and froing about that. We hope to finalise it. I say

16:01

1 finalise it, you are well aware at this stage that
2 things change, but we hope to get that out to you in
3 the very near future.

4
5 Our hearings will recommence the week of the 8th 16:02
6 January, we think it is going to be the 9th January,
7 but that will be confirmed. But you can plan to be
8 here on 9th January, currently.

9
10 We considered whether we needed to hear from any 16:02
11 further patients or family members, and you will recall
12 that I asked anyone who wished to contact the Inquiry
13 to do so by 31st October. A few people did do so and
14 the Inquiry has considered what it is that they have
15 told us. We have concluded it is not necessary to hear 16:02
16 any further oral evidence from any more patients or
17 family members. What we have been told recently
18 confirms themes that the Inquiry has already identified
19 from other evidence and will be taken into account when
20 we make findings relevant to Term C of our Terms of 16:03
21 Reference.

22
23 We had hoped that we would be able to conclude our
24 public hearings before Easter. Unfortunately, it is
25 looking that that will not be possible and it is 16:03
26 anticipated that we will have to sit for a short period
27 post-Easter, after the Easter break. How far post-
28 Easter will be dependent on nothing unforeseen
29 happening that might affect our timetable and, as

1 I have said, we have had some hiccups along the way.
2 Obviously we will react to any such events as we have
3 done previously.

4
5 I know you that will all be very anxious to provide the 16:03
6 Inquiry with written submissions and I want you to know
7 that the Inquiry will welcome same, provided they are
8 directed solely to our Terms of Reference. We Have now
9 heard 76 days of evidence and I do not need what we
10 have heard repeated in those submissions, but would 16:03
11 rather welcome reflective views on what has been heard
12 together with the major points that you wish to make on
13 behalf of your clients and referencing the evidence,
14 where appropriate.

15 16:04
16 I'm sure that each team has been working on those
17 submissions for some time, but you should know that the
18 deadline for written submissions will be 31st May.

19
20 Thereafter, the Inquiry will sit again on a date to be 16:04
21 confirmed in mid June, when counsel for each core
22 participant will be given the opportunity, should they
23 so wish, to deliver a short oral closing submission to
24 the Inquiry.

25 16:04
26 I also want to take this opportunity to thank all of
27 those we have heard from to date. Dr. Swart,
28 Mr. Hanbury and I appreciate that, for many, appearing
29 before us has not been an easy experience, but we have

1 found oral evidence to be invaluable in our
2 consideration of the matters that we have to determine.

3
4 Finally, I want to wish each of you a happy and
5 peaceful Christmas. Enjoy the break, and I look
6 forward to seeing you all again in 2024. Happy
7 Christmas, everyone.

16:05

8
9 THE INQUIRY ADJOURNED TO TUESDAY 9TH JANUARY 2024

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29