



Urology Services Inquiry

Oral Hearing

Day 91 – Thursday, 14th March 2024

**Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)**

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

I N D E X

WITNESS	PAGE
<u>DR. MARIA O' KANE</u>	
CONTINUATION OF QUESTIONING BY MR. WOLFE	3
QUESTIONED BY THE PANEL	79

1 THE INQUIRY RESUMED ON THURSDAY, 14TH MARCH 2024 AS
2 FOLLOWS:

3
4 CHAIR: Good morning everyone. Mr. Wolfe.

5 10:01

6 CONTINUATION OF QUESTIONING BY MR. WOLFE

7
8 MR. WOLFE: Good morning. Good morning, Dr. O'Kane.
9 Just going back to something I was asking you about
10 yesterday. We were looking at the outworking of the 10:01
11 recommendations following the Serious Adverse Incidents
12 Reviews, and we were looking at the audits that were
13 and have been carried out in respect of, for example,
14 quoracy, in respect of cross-referencing from
15 pathology, and then we came to nursing and we 10:02
16 identified something of a gremlin in the works in the
17 sense that CaaPS requires further work so that we can
18 have an electronic record of the allocation of key
19 workers to patients, and I was raising that with you as
20 a concern because it's essentially a concern within the 10:02
21 recommendation report that you have helpfully brought
22 to our attention. You did say that there is
23 nevertheless a paper check or a manual check that key
24 workers are being allocated, and I just wanted, after
25 that long introduction, to bring you and bring the 10:02
26 Panel to some references for that.

27
28 If we go to TRU-304474. And we can see this dates back
29 to November 2022. And Kate O'Neill, one of the nurse

1 specialists, is writing to Wendy Clayton in response to
2 a request for data outcomes, or audit outcomes I should
3 say, and she sets out some information which helps to
4 clarify that in the vast majority of cases key workers
5 had been allocated, and gives explanations for the 10:03
6 cases where allocation had not yet taken place. Any
7 further comment you'd like to make on that?

8 A. I have seen more up-to-date information in the last few
9 weeks that suggests that that has moved on but that it
10 is still being, the information is still being 10:04
11 collected in the same way, so we can provide the
12 Inquiry with that.

13 1 Q. Very well, that would be helpful. There's another
14 reference I was going to bring the Inquiry to, but we
15 needn't bring it up, it's five pages further on at 10:04
16 304479, but I think it was necessary to make the point
17 that the information is being gathered, albeit not
18 being gathered quite in the way that you would like,
19 you'd like it to come through CaaPS?

20 A. Yes, that would be more automatic, yeah. 10:04

21 2 Q. Yes. I want to move on to look briefly at the
22 measurement of quality and safety through the use of
23 metrics. I think it was Simon Watson who said to the
24 Trust "In God we trust, all others bring data." You
25 have set out in one of your early witness statements 10:05
26 that in your role as Medical Director you were
27 responsible for leading on the development of
28 mechanisms to improve patient safety data, and we can
29 see some examples of how that has progressed, in

1 particular the annual quality report shows out, sets
2 out some examples that I'll bring you to. But I want
3 to start by I suppose asking you, how important do you
4 consider the use of metrics for the purposes of
5 superintending or giving a better insight into the 10:06
6 quality of care and the safety of the services provided
7 by the Trust? How important is it, and how much of a
8 journey has the Trust still to complete in order to get
9 it to where you might want it to be?

10 A. I think it's fundamental to the functioning of the 10:06
11 organisation, and I think traditionally people have
12 thought about data as being quantitative in terms of
13 numbers, but actually what adds the narrative to all of
14 that, and I think deepens and broadens the
15 understanding, is the qualitative data. So what we 10:06
16 have striven to do over the last period of time through
17 the governance mechanisms and the strengthening
18 projects that have taken place in each of those various
19 domains that are in my submissions, is to increase not
20 just the quantitative data but also the qualitative 10:07
21 data in terms of the understanding of all of that. So
22 we can measure mortality through the standardised
23 hospital mortality indices. We can - now what we do is
24 we further delve into that using VLAD which basically
25 breaks that into, you know, numbers of scores looking 10:07
26 at the various aspects of that so that we can see
27 changes and trends. And then - so, for example, the
28 SHMI, as it's referred to, the Standardised Hospital
29 Mortality Index, gives us an indication, compared with

1 our peers and compared with our peer locally and
2 nationally what our mortality is like, we can follow
3 the pattern of all of that, but actually the devil is
4 in the detail. So then we automatically go to the VLAD
5 which, as I say, highlights aspects of that to show us 10:08
6 where we are improving or not performing as well as we
7 did before so that we can actively work on those areas.
8 And then we use the RAMI data, which is the
9 standardised measure for in-patient deaths to
10 cross-reference all of that. Plus, the information 10:08
11 that then comes through in relation to our mortality
12 meetings, any of the patient safety meetings, to
13 understand, you know, from a basic premise of data how
14 do we work forward to understand actually what is
15 bringing harm to patients and what potentially we can 10:08
16 work on then to improve?

17
18 So, I think as time has gone on we have become much
19 clearer about the functioning of those, of that data,
20 to help us understand. And then in the same way we use 10:08
21 other data as proxies. So we have very robust
22 reporting now on the nursing quality indicators. So
23 for each area for nursing. For example, there's a
24 plethora of data produced in relation to pressure
25 sores, falls, you know, various other measures and, 10:09
26 again, in the same way we watch the trends in all of
27 that, collect the narrative, measure that against, for
28 example, you know the level of agency and locum cover
29 in a particular area, the level of one-to-ones with the

1 patients, and the level of confusion that they might be
2 suffering, you know, the environment around all of
3 that, to try and get a clearer picture as we go along
4 of all of those areas.

5
6 So, increasingly we have moved away from just looking
7 at lines on a graph to putting a narrative around it
8 through various other direct measures and proxy
9 measures to help us understand how the organisation
10 works. And, again, we have seen it with Urology, in
11 that whenever we have looked at, for example, some of
12 our waiting time data, we know that we run regional
13 Lithotripsy now and, again, when we looked at that in
14 some detail we were able to show the trends across
15 Northern Ireland and how an understanding of that could
16 then help us build up the clinical provisions so that
17 we could reduce our waiting times markedly. So it's
18 used in various domains.

19 3 Q. Yes. I'm just going to invite you to slow it down a
20 little.

21 A. Sorry. Sorry.

22 4 Q. Thank you for that. So it's much more than mortality?

23 A. Yeah.

24 5 Q. It's going into other aspects of the patient
25 experience, and it's - I suppose the base data you're
26 suggesting is being intelligently interrogated to see,
27 by cross-reference, what are the underlying causes of
28 any outcome to see where improvement can be met?

29 A. Yes. And that's why clinical audit is so fundamentally

1 important to all of this, in terms of getting baseline
2 data, being able to then benchmark it or look at the
3 improvements that can be made through change, and then
4 in addition to that, you know, the weekly governance
5 report is helpful to us in giving us indicators of 10:11
6 where, you know, in relation to areas we should be
7 concerned about. And then we take feedback from
8 service users and carers, you know, through care
9 opinion or through service user feedback. We have 92
10 service users involved in various projects across the 10:11
11 Southern Trust in terms of giving us their feedback.
12 And in addition to that, I get a thousand complaints
13 every year, I get twice as many compliments and, again,
14 each directorate draws from that in terms of drawing
15 out patterns of activity and behaviour to try and 10:12
16 inform that overall picture.

17
18 Now, it's very messy and it's very broad, and I think
19 when you asked earlier about where we would like to get
20 with all of this, certainly the learning that we're 10:12
21 taking from the Scottish improvement experience has
22 been that as we develop dashboards in relation to
23 bringing some of these key areas together, as we enable
24 Encompass next year, and as we really become a lot more
25 intelligent around data analytics, increasingly this 10:12
26 data should be of more use to us.

27 6 Q. The conversations that were taking place as part of the
28 External Reference Group initiative have trespassed
29 into this area. We can see, if we pull up TRU-303736 -

1 scrolling down. So this subgroup within the External
2 Reference Group was led by your Medical Director,
3 Dr. Austin?

4 A. Yes.

5 7 Q. Accompanied by, I couldn't see his, whether he is - I 10:13
6 assume he's a medical doctor?

7 A. Yes. He is, yes.

8 8 Q. Dr. Simon Watson, who is Medical Director at Health
9 Care Improvement Scotland, is that correct?

10 A. That's correct, yes. 10:14

11 9 Q. And they reported into, I think it was the November
12 last year meeting of the External Reference Group, the
13 following:

14
15 "The group explained that their approach..." 10:14

16
17 - I'm reading from the minute here:

18
19 "...was routed in themes that emerged from the clinical
20 issues that were being identified in the Urology 10:14
21 Review. The meeting was also advised that themes
22 emerging from the wider analysis of the External
23 Reference Group had also been considered in the
24 approach taken."

25 10:14

26 And they go on to say:

27
28 "The final recommendations in the paper shared at
29 today's meeting reflect all these considerations and

1 the wider landscape. "

2
3 And then they go on over the page to say that:

4
5 "It is recommended that the Trust commissions a formal 10:15
6 strategic plan for data and intelligence that should
7 include consideration of 5 key areas. "

8
9 And they are set out there. And they include
10 supporting continuous improvement in clinical and care 10:15
11 processes, the creation of a warning system to identify
12 emerging clinical care or clinical governance concerns,
13 to name but two of the suggestions.

14
15 And then just to go into their conclusions, they 10:15
16 reflected there's never an ideal time to commence the
17 creation of a new data and intelligence strategy, but
18 they say:

19
20 "The lessons emerging from this Public Inquiry and the 10:16
21 need to develop a culture built on team working,
22 leadership and governance, all require intelligence,
23 insight and knowledge to inform action and importantly
24 to evaluate progress. "

25 10:16
26 And then he uses the phrase that I quoted from him this
27 morning "In God we trust, all others bring data." And
28 then there's I think a link, if we just go down the
29 page and move away from that subgroup. If we go over -

1 just scroll down. Yes. Robbie Pearson, on behalf of
2 the governance and accountability subgroup, highlights,
3 I suppose, a concern that the Trust should consider
4 better ways to facilitate the triangulation of systems
5 - sorry to facilitate the analysis of data and perhaps 10:17
6 a call for greater use of soft intelligence. And then
7 something I think you were touching upon yesterday, an
8 integration of learning systems to be put in place
9 going forward.

10
11 So you've explained the context in which the External
12 Reference Group is working. But the picture emerging
13 from the thinking is that there's still perhaps a
14 substantial part of the journey still to go in terms of
15 better exploiting the opportunities which data might 10:17
16 provide the Trust in terms of it's quality agenda and
17 safety agenda?

18 A. I think that's absolutely right. But we need to have
19 the rudiments in place, and I think that again is why a
20 lot of this work needed to be done in terms of 10:18
21 strengthening our governance processes and, in
22 particular, some of the measurement and audit
23 processes, so that we could put ourselves in this
24 position.

25 10 Q. Mmm. 10:18

26 A. I'm not sure if you have a copy of it, I think we
27 submitted it, but again through this work, what
28 Mr. Pearson and Dr. Watson introduced us to, and I
29 alluded to it yesterday, was what we refer to, as I

1 said, the Scottish heat map, but essentially is a lead
2 into the framework for measuring and monitoring safety,
3 the assurance map. And, again, we have started to use
4 that, we've started to test that within the
5 organisation in relation to identifying areas where we 10:19
6 feel that there are hotspots and then starting to
7 triangulate the data from other areas to build up a
8 picture of how much concern and attention then we
9 should give those different areas. So we're using it
10 in a practical way, but we are not - and I'm hoping 10:19
11 that - well Encompass next year should help us with
12 this, but I would really like to get to the position
13 where we had really good business intelligence and
14 analytics around all of the information that we have to
15 give us a clear vision of where we actually are, you 10:19
16 know, in real-time, so that on day-to-day basis we have
17 a clear pattern of, you know, are we safe today and is
18 there something that we should be concerned about in
19 relation to tomorrow?

20 11 Q. Mm-hmm. As I said earlier, we can observe some of the 10:20
21 work that is being done in terms of the metrics and I
22 suppose the intelligent use of data. I'll not bring it
23 up on the screen, but the Inquiry has the references
24 set out in the annual quality report, to cite one
25 publication, where we can see how improvement is being 10:20
26 measured, and some examples are given in there in terms
27 of the data that's gathered to reduce, in the area of
28 reducing health care associated infection, in terms of
29 safer use of - safer surgery; falls, as you mentioned

1 earlier; VTE, as well as medicines management, there's
2 a body of work done in relation to pharmacy and the
3 reconciliation process. The identification of error
4 and how that might be avoided. So rest assured the
5 Inquiry has the references in that respect.

10:21

6
7 Is the concept of quality score cards familiar to you
8 and is it an area that the Trust is thinking about?

9 A. We might know it under a different name. Can you
10 describe it to me?

10:21

11 12 Q. So you've talked about the key performance indicators
12 associated with nursing, and there seems to be a bias
13 in the sense of, that's been a longstanding area of
14 activity in terms of measuring on the nursing side of
15 the ledger their performance against quality marks
16 associated with different realms of their practice.
17 Quality score cards, and I'm sure Dr. Swart will be
18 interested to ask you about this, in terms of
19 clinicians and in terms of the delivery of what might
20 be expected by standard health care matrixes, has there
21 been any attempt to, if you like, set them out: This is
22 what we expect in the delivery say of stone management,
23 this is what we would like to measure in terms of, say,
24 the promptness of treatment, the follow-up, whether
25 infection has arisen, that kind of thing, and then
26 seeking to learn from that?

10:22

10:22

10:23

27 A. There, there are - there's information across the
28 system, but again the coordination of it I think is
29 where the dashboards and the bringing together of, you

1 know, the overlaps in information and the business
2 intelligence, and as I said the analytics around all of
3 that will become important, and we're not there yet
4 with that. I think there are different ways in to
5 supporting quality in a very practical way. So each of 10:24
6 the directors will have a scorecard looking at the
7 different domains of functioning within the corporate
8 strategy, and then within the layers as they go down
9 through the directorates, the divisions and the
10 individual teams, there will be objectives set in 10:24
11 relation to activity and safety, and other measures
12 such as culture, and sick leave and, you know, some of
13 those things - violence and aggression, those things
14 that we would be interested in. So that's one aspect
15 of it. 10:24

16
17 And then one of the areas that we're considering in
18 relation to this is having accreditation scores for
19 different wards, so that in relation to the nursing
20 quality indicators, some of the other information 10:24
21 that's coming through our governance streams, and then
22 the expectation in terms of the services, I know the
23 Director of Nursing is working hard on that in terms of
24 trying to bring all of that together and to develop
25 dashboards around that, but we haven't got that done 10:25
26 yet.

27
28 And then, I think, in relation to clinical audit, what
29 it picks up on then is our compliance with some of the

1 national standards. So, you know, if we're audited
2 against NICE guidance, for example, you know, whether
3 it's Lithotripsy or other things, then, you know, we
4 come with the expectation that we meet the NICE
5 standard because it has been, that particular one has
6 been adopted for Northern Ireland, and we measure
7 ourselves against that and again that's fed into the
8 information.

10:25

9
10 But ideally I think where we would really want to get
11 to is system by system, and maybe even down to the
12 individual having a clear understanding of how we're
13 applying all of that.

10:25

14
15 Now, one of the things I mentioned yesterday that
16 Dr. Austin is involved in developing, which is this
17 Profession - the PGIS - the Professional Governance
18 Information System, the aspiration behind that
19 certainly for medical staff is to bring the relevant
20 governance information under one roof, if you like, so
21 that we can eventually look at that in terms of not
22 just people's activity, but also their quality
23 performance in terms of understanding that. But,
24 again, it's very early days in relation to that.

10:26

10:26

25 13 Q. Yes. And it's perhaps of interest to the Inquiry, and
26 perhaps it's important to reflect that bringing it down
27 to the individual and measuring that individual
28 performance no doubt, sensitive no doubt, perhaps
29 controversial, and a lot to work through with that, but

10:26

1 it is undoubtedly invaluable where you perhaps have a
2 doctor working in a way which is placing patients at
3 risk. If that's hiding below the parapet it's clearly
4 not healthy. If the situation can be understood by
5 reference to data, objective data set against the
6 standard, that gives everybody clarity around the issue
7 and the baseline from which to design improvement?

10:27

8 A. I think it depends on the approach that you take to all
9 of this. Now, you know, the vast majority of doctors
10 love data, you know, it's the way medicine uses in
11 training and, you know, the vast majority of people in
12 the system are working above and beyond in terms of,
13 you know, delivering on good quality care, and I think,
14 you know, whether it's through the appraisal system or
15 other ways, I think are very proud of what they do, and
16 this can offer an opportunity in terms of, you know,
17 demonstrating that. Right. So I do think it will be
18 down to the approach that we take with this. But at
19 the same time, if there are areas where people are
20 struggling, it does, you know - and, again, against a
21 backdrop of a just and open culture, it would be really
22 important that we would not be, you know, pursuing this
23 to be - to punish, but actually to try and understand
24 and to support people. And, again, that's the - that
25 is the approach that we're trying to take to this
26 rather than actually making people frightened of it.

10:27

10:28

10:28

10:28

27 14 Q. Yes. Let me move on to a not unrelated area, which is
28 mortality and morbidity, or the patient safety meeting,
29 to give it's, I suppose it's more modern title.

1 A. Mmm.

2 15 Q. Clearly a relationship there in terms of how the
3 patient safety meeting does its work, is its ability to
4 access quality data. I think the Inquiry will remember
5 that we had the evidence of Mr. Glackin, who in his 10:29
6 time as the Chair or the lead of the patient safety
7 meeting was rather scathing in his evidence, or perhaps
8 despondent as to the support given to that meeting, and
9 brought within his area of criticism was the lack of
10 support for audit, whereas Mr. O'Donoghue giving 10:29
11 evidence from his perspective as the now Chair, or lead
12 of the patient safety meeting, thinks that we're in a
13 much better area, that the patient safety meeting has
14 developed. And I forget who it was, but I think we've
15 other evidence that it's a more constructive arena for 10:30
16 learning.

17

18 Have you any observations to make from where you sit as
19 Chief Executive, whether in urology or more broadly
20 across the services, how the patient safety meetings 10:30
21 are fairing, and whether they are delivering for the
22 corporate level the kinds of information that you need
23 to make correction or drive improvement as appropriate?

24 A. I think that we have improved in relation to what we
25 had originally, in that we have put, you know, more 10:31
26 support around the teams in terms of facilitation and
27 the administration of it. But I still think there's a
28 way to go with it. Because it tends - the meetings
29 tend - it's a while since I have sat in on one of the

1 meetings, but my sense is that it tends to focus on -
2 because M&M stands for mortality and morbidity, and it
3 tends to focus on mortality rather than morbidity
4 because of the timeframes, and I...

5 16 Q. I think - sorry just to...

10:31

6 A. Yeah.

7 17 Q. Sorry to cut across you. I think that was, I hesitate
8 to say it was Mr. O'Donoghue's point, but it was
9 somebody's point who attends the Urology, who said that
10 has now been flipped. It used to be you had to sit
11 through endless material on the mortality side of it,
12 but I think the meeting is now organised in a way that
13 you get to the more interesting stuff, the learning
14 stuff first.

10:31

15 A. And I think that it's not yet as consistent as it needs
16 to be across all of the different disciplines. So I
17 think, you know, in the case of Urology I think they
18 have really grasped this. They have, you know,
19 individual consultants who are responsible for the
20 different areas and will bring that forward. They'll
21 use, you know, any information that comes out of the
22 weekly governance report and any other data that they
23 have themselves.

10:32

10:32

24
25 In other areas, like big volumes areas like medicine
26 where they're dealing with a lot of in-patients, a very
27 high turnover, a lot of the time I know that it is more
28 challenging in there and, again, there tends to be a
29 greater focus on mortality there rather than morbidity.

10:32

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

So I think Urology has demonstrated that this can be done really well, but as we get, you know, as I get funding resource, certainly it is one of the areas that we would aim to try and improve, but it's not there yet.

10:32

18 Q. Yes. Some of the things that have been done include the attendance of the audit manager at patient safety meetings, the relaunch I think during your time as Medical Director of the Morbidity and Mortality Strategic Oversight Group - the purpose of that group we'll just look at briefly. It's to be found at WIT-45406, and just at the bottom of the page, sorry the top of the page. So it's responsibility is to provide a high level of oversight and assurance that effective systems and processes are in place for review of mortality and morbidity, ensuring that the capturing, sharing and implementation of learning and good practice arising from M&M meetings, and to consider reports of the type you mentioned earlier.

10:33

10:33

10:34

What kind of initiatives are in place or are you thinking about in terms of driving improvement more consistently, or more across the board in the Trust, in the area of patient safety meetings?

10:34

A. Well, I think there's a whole landscape of things that can be developed. So on a daily basis, you know, each clinical team will have a daily huddle. So in terms of identifying anything that's live and has to be

1 escalated, or indeed anything that is working well,
2 that information will be very quickly shared, and
3 that's done verbally, but there can be records kept of
4 that. And in addition to that they have, you know,
5 handover meetings at the various points, particularly 10:35
6 when nurses and doctors change shift, to make sure that
7 the information flows in the system.

8
9 In addition to that then, you know, behind all of that
10 day-to-day management of risk and improvement we 10:35
11 obviously have this machine of governance that collects
12 as much data as we reasonably can to feed into the
13 system.

14
15 Eventually what I'd like to get to is a process 10:35
16 whereby, you know, we have clinical teams in their 15
17 minute huddle being able to pull up their daily
18 dashboard with the governance information readily
19 available and on it, so they can say, you know,
20 "Yesterday it looked like we had a problem with 10:35
21 insulin, we had a problem with falls, can we think
22 today about how we do that better", and it gets into
23 the business of live reporting so that all of that
24 information that we have gets immediately to the
25 frontline and the clinicians can use it in terms of how 10:36
26 they run their services.

27
28 And, again, in relation to M&M, some of the information
29 that comes to them, you know, is electronic, but it

1 tends to be historic rather than in real-time. So
2 again, you know, when, for example, Urology goes in to
3 speak about mortality and morbidity, what I'd really
4 like to get to the point of being is that their
5 morbidity is live, that they would automatically know 10:36
6 that "Actually in the last week we had a problem with a
7 surgical instrument", for arguments sake, "we have seen
8 that, we have corrected it and we've moved on".

9 19 Q. Mmm.

10 A. We brought in Niall Downey, who is an airline pilot, 10:36
11 who also trained as a doctor, to talk to us about the
12 safety systems in the airline industry. Now, obviously
13 they work in an incredibly controlled environment but,
14 you know, what really stimulated us, I think as well,
15 is how much they do in real-time. If you have a 10:37
16 problem in the airline industry they will know within
17 two to three days what that was, what the patterns
18 were, and how they're going to fix it. It takes us
19 much longer in the Health Service to be able to do
20 things like that. 10:37

21 20 Q. Yes. One of the issues we observed when considering
22 the agendas of the patient safety meeting, and maybe
23 this is a rogue example, but the example I'm choosing
24 is the management of stent patients.

25 A. Mm-hmm. 10:37

26 21 Q. And clearly a significant morbidity issue in Urology.
27 But what was being discussed at regular intervals at
28 the patient safety meeting was, here's another number
29 of patients who should have had their stent removed or

1 replaced, dates were missed, and there didn't seem to
2 be planning or programming around getting the patients
3 into place for theatre at the right time. Now, part of
4 that was undoubtedly resources, and we've heard about
5 the Lagan Valley Initiative, which is a regional 10:38
6 initiative to tackle stent in particular. But moving
7 more to the general, I suppose, from that example.
8 When clinicians are identifying clinical concerns that
9 impact morbidity, has there been any improvement in
10 connecting the problem to a solution? In other words, 10:39
11 if things are coming back to patient safety meeting on
12 a repeat regular basis, who listens and who is
13 responsible for driving improvement?

14 A. Well, I think there are couple of things in what you
15 say. Right. I think one of the confusions at an early 10:39
16 stage in relation to, and I'll use Urology as an
17 example, is that activity and waiting lists was getting
18 conflated with quality of care. Now, there is an
19 overlap, because it's not reasonable that people have
20 to wait long periods of time to actually be treated, 10:39
21 but the focus at times was on the narrative around
22 these - the huge demand and the huge waiting lists, but
23 not actually in terms of what is the quality of the
24 care we're actually delivering to the patient in front
25 of us today? Right. So I think one of our early 10:40
26 learnings in all of that was to try and separate all of
27 that out. So we have, you know, regional processes and
28 local processes in terms of managing waiting times,
29 some of the work that we're involved in is thinking

1 about how we regionally provide, but also how we share
2 the work that is outwith the rest of the region with
3 the region to try and level that up in terms of waiting
4 times and make sure that those patients who are on
5 those waiting lists, you know, receive appropriate 10:40
6 support and care and keep in contact with them and do
7 all of those kind of things. So that's one aspect of
8 it.

9
10 And then the other part of it is in relation to the 10:40
11 patient who is in front of us today, how are we making
12 sure that they get the best possible care and attention
13 within all of that?

14
15 So, separating those two things out has been important. 10:41
16 And then again through the huddles, through the weekly
17 governance reports, through the M&M/patient safety
18 meetings, through clinical audit, through what's
19 reported up to us, you know, in terms of the region and
20 their feedback on our performance, you know, and the 10:41
21 different lines of assurance in relation to
22 particularly second and third line assurance, we get
23 that fed back to us, and that will then get discussed
24 either in relation to the weekly governance discussions
25 at the Senior Leadership Team, and then how all of that 10:41
26 information then is brought through all of the various
27 subgroups into the overarching governance system. So,
28 it's complex, but I think we have a better knowledge of
29 what our concerns should be in the organisation these

1 days in relation to the patients in front of us, rather
2 than confusing it with waiting times, which is a
3 slightly different thing.

4 22 Q. Yes. Thank you. Another domain, or another tool in
5 the Clinical and Social Care Governance Manual, if you 10:42
6 like, is the ability for yourself and others in your
7 leadership team and the Non-Executive Directors to go
8 into the services to meet frontline staff. I think the
9 concept has now moved from being one of leadership
10 walks to director visits? 10:42

11 A. Mm-hmm.

12 23 Q. And we can see from the material provided by the Trust
13 that there's a relatively consistent approach to this
14 in that they regularly happen, albeit they do, as I'll
15 perhaps highlight in a moment, seem to be - seem to be 10:43
16 a fairly high attritional rate in terms of
17 cancellations or postponements.

18 A. Mmm.

19 24 Q. But these are preplanned visits, everybody knows why
20 they're happening and when they're happening. Is there 10:43
21 - you're familiar with the concept of the secret
22 shopper?

23 A. Yes.

24 25 Q. Is that concept anywhere to be found in how you
25 approach these matters? So as opposed to everybody is 10:43
26 on their best behaviour because the directors are
27 coming today and the ward will be immaculate and all
28 the patients will be sitting up in bed with a smile on
29 their face, is perhaps a fear that you're not getting

1 the information you need if it's preplanned?

2 A. The information - so I agree with you. I think - I'm
3 always a bit concerned about the artificiality of some
4 of the preplanned visits. Right. And I think, I think
5 they're very useful in that they focus everyone's 10:44
6 minds, it gives the teams that we visit the opportunity
7 to step out and say, you know, "This is what we're
8 proud of. This is what we're worried about." It also
9 gives us - we use different proforma for actually
10 measuring, you know, the impact of all of that, and one 10:44
11 of them is 15 steps. So, you know, trying to gauge the
12 temperature of the area, you know, and lots of - using
13 lots of visual signals essentially, you know as you
14 step into any ward or community area, to try and get a
15 sense of what that place might be like. Right. So, 10:45
16 you know, they're not - they are organised, they do
17 have their place, but they're not the whole story.
18

19 So, my view always in relation to this is that
20 particularly the Executive Directors, and that includes 10:45
21 me, it's access all areas and that, you know, if the
22 Medical Director wants to go to any particular team,
23 they go. Right. They don't have to ask permission,
24 they can just turn up. The same with nursing, finance,
25 social work, they do appear. And I do as well, I 10:45
26 randomly go off and have conversations with people and
27 be in and out of units to find out what it's like. I
28 find those visits really really helpful.
29

1 I also know that we have taken a concerted effort
2 across the Senior Leadership Team to think about how we
3 organise ourselves in relation to that. So the middle
4 three days of the week - because we're a fairly
5 dispersed health and social care hospital and community 10:46
6 Trust, we have I think 226 facilities across the
7 Southern Trust, because there's lots of places to
8 visit. So what we tend to do is the Senior Leadership
9 Team comes together in Trust Headquarters Tuesday to
10 Thursday, but Mondays and Fridays they're out with 10:46
11 their own teams basically, you know, testing the
12 temperature of what goes on there, and that's
13 enormously important I think. There's a fairly - I
14 hope there's, and my sense is there's a fairly
15 flattened hierarchy in terms of, you know, getting to 10:46
16 hear information, which I think is really important.
17 You know, there are some areas that definitely get
18 visited more than others, but we do try and encourage
19 visibility as much as possible across the Senior
20 Leadership Team but also with the Non-Executive 10:46
21 Directors.

22
23 The other areas that we try - and actually technology
24 has been helpful in relation to this and, again, I
25 mentioned it briefly yesterday - I do a weekly chat 10:47
26 with the chief, so 15 minutes, 20 minutes every Tuesday
27 I go on-line to the organisation and talk to them about
28 what's going on, but also ask them to give me feedback,
29 and actually that's quite useful because either myself

1 or the Comms teams will get emails from people saying
2 "Did you know there's a car parking problem at
3 Bluestone?", or "Do you know that actually there's
4 concerns because there is, you know, a team under
5 pressure over there? You know, could we do a thank you 10:47
6 Thursday for them in terms of support?", because we've
7 a system of, you know, recognising teams on a Thursday.
8 So things like that.

9 26 Q. I think the car park problem is at Daisy Hill,
10 according to one of the visits! But, sorry... 10:47

11 A. I have to say it's a challenge on both - all four
12 hospital sites, it is a huge problem. But for people
13 in a hurry I think particularly, there's not a lot of
14 space. And the public transport doesn't always work as
15 well as we'd like it to in terms of just the 10:48
16 availability. But that's a whole - sorry, that's a
17 whole other soapbox!

18
19 So in relation to all of that, I would like to think
20 that we are accessible, you know, if concerns have to 10:48
21 be raised that people can raise them informally with us
22 through whistleblowing, whatever way they want to, and
23 I think you achieve that by building confidence within,
24 you know, all of us as a system, and being available.
25 But I also know that it's not perfect and there will 10:48
26 still be things that we miss.

27
28 But I would hope that, you know, people have the
29 confidence to go in and out of the different areas and

1 then be able to feed back to directors or to other
2 people, and that that would be received in the spirit
3 that it's intended to be helpful, rather than being
4 seen, you know, as a criticism, and that's really
5 important in relation to all of this.

10:49

6 27 Q. Yes. Well let's just go to some of the documents that
7 pick up on some of the themes you've just taken us
8 through. So if we go to TRU-305048. And this is the
9 leadership walk or Director Visit Schedule for the year
10 just behind us. It appears, certainly on my reading of
11 the papers, Dr. O'Kane, that there's various different
12 ways that these visits take place. You've mentioned
13 already that it doesn't depend on - it isn't process
14 driven, so at any point in time you can decide open
15 access for any area, you and your directors can simply
16 go and drop in.

10:49

10:50

17 A. Mm-hmm.

18 28 Q. But on a more formal level it does appear that there's
19 Non-Executive Director visits, there's solo
20 Non-Executive Director visits, and then there's visits
21 that bring both the Executive Directors, or Operational
22 Directors, and the Non-Executive Directors together for
23 a visit. So there seems to be a variety of species at
24 play here. Is there any reason for that diverse
25 approach to it?

10:50

10:50

26 A. I think it's to try and provide as much opportunity as
27 possible to get feedback, and also for people to, you
28 know, gain perceptions of different areas. As I say,
29 there are the formal visits but then, you know, as

1 important are all of these drop-in visits, and I know
2 that, you know, across the Senior Leadership Team and,
3 you know, including the Chair of the Trust, she will
4 drop into various areas, we all will at various stages,
5 and then what we will do is feed back to each other at 10:51
6 SLT and then the formal reports also come back. I mean
7 one of the areas where there is a requirement for
8 visits is our childrens' homes. So the Non-Executive
9 Directors will visit the childrens' homes on a regular
10 basis and, you know, we'll follow that up as well, and 10:51
11 those are enormously helpful in terms of getting the
12 feedback from those areas.

13 29 Q. If we just scroll down through this, the Panel will no
14 doubt pick up that multiple sites are visited, multiple
15 disciplines or services are visited, usually led by a 10:52
16 member of the Senior Management Team, and usually, but
17 not always, accompanied by a Non-Executive Director.
18 As I say, the red highlights where a visit has been
19 cancelled or postponed, and just scrolling on down one
20 can see that they're perhaps particularly vulnerable to 10:52
21 being postponed, whether because in some cases, for
22 example, there has been an infection breakout or just
23 basic availability issues. So, just looking at this
24 record, you don't feature heavily in terms of your
25 involvement in these formal visits. I think I picked 10:53
26 up on one visit in June to, I think it was to
27 Bluestone. Should you, as Chief Executive, not be more
28 involved in these formal visits?

29 A. I was heavily involved in them when I was Medical

1 Director, right.

2 30 Q. We can see that Dr. Austin is regularly attending.

3 A. Yeah, yeah. Yes. Yeah, yeah. And in relation to

4 Bluestone, I go to Bluestone two Fridays a month to

5 take a Balint Group with the psychiatric trainees, 10:53

6 because I co-Chair that for the trainees. So I, you

7 know, I have a lot of familiarity with that area. The

8 rest of it, my drop-ins are informal. You know, I will

9 regularly be in different areas, particularly on the

10 Craigavon site. If there are concerns about the mental 10:53

11 health or disability community sites, I visit, and

12 visit at all hours of the day and night, basically to

13 find out what's going on, and then I'll give feedback

14 into the Senior Leadership Team.

15 10:54

16 But you're right, I don't tend to pair with a

17 Non-Executive Director. Sometimes I pair with the

18 Chair, and she and I go and do specific visits, and

19 we'll organise some of them in fairly short notice.

20 So, you know, some of the more recent ones in recent 10:54

21 months have been Urology, and Dermatology, and if the

22 directors are drawing attention to something I'll go

23 and see the unit.

24 31 Q. Yes.

25 A. But I think it's a good point that it's not formally 10:54

26 recorded in that way, but, yeah, probably needs to be.

27 32 Q. Certainly picking up on Urology, I wonder - looking

28 through these formal visits, I wonder why there isn't a

29 Urology visit almost as a standing item, given our

1 recent history with Urology. Does that suggest a sense
2 of complacency perhaps? why isn't Urology visited very
3 regularly just at the moment until things are behind
4 you?

5 A. So in terms of my, in terms of my contact with Urology, 10:55
6 you know, for very sad reasons I know that I was, you
7 know, in the units a few times before Christmas.

8 33 Q. Mmm.

9 A. So I certainly had contact then. And then the other
10 contact I have with the Urology team is, I mean I am in 10:55
11 regular contact with Mr. Haynes. I would be in contact
12 with some of the other staff in terms of the managerial
13 staff. But on a Friday morning at 8:30, after we have
14 the Inquiry, I will meet the Director for Urology,
15 which includes surgery and cancer services, and Jane 10:56
16 Mckimm and myself, we will meet with the Urology team
17 on-line, basically to give them an update in terms of
18 the Inquiry that week, an update in terms of progress,
19 but also to hear back from them in relation to their
20 concerns. So it may not be done in person, but I would 10:56
21 have reasonably regular contact with the Urology team
22 as a result of all of that.

23 34 Q. Could I bring you to TRU-305033? And if you just
24 scroll back so that I can better orientate ourselves to
25 the - is there a cover page? No? Yeah. So it's a 10:56
26 summary report of the director visits that took place
27 in the early months of last year. Over the page it
28 sets out the purpose of the visits, they're an informal
29 method to meet with frontline staff from across the

1 organisation. They allow teams to share the work they
2 do, the achievements and the challenges. So it was in
3 that context I was asking you about the absence of a
4 visit to Urology. No doubt it is important to meet
5 them as regularly as you do to discuss progress or 10:57
6 issues arising out of the Inquiry, but these director
7 level visits are for a defined purpose, and it would
8 appear on my reading of it that they didn't take place
9 in Urology throughout last year, and I wonder is that,
10 as I say, a little complacent, given the issues that 10:57
11 have troubled that service and which we're discussing
12 through the Inquiry?

13 A. I mean I think it's a fair enough reflection. I
14 imagine the reason that we - that whenever - so
15 Corporate Comms designs the programme along with the 10:58
16 Senior Leadership Team members and the Non-Executives,
17 and they know that these discussions take place a
18 couple of times a month, or three times a month at
19 times, with the Urology team and with me. So, I
20 couldn't definitively say, because I haven't had the 10:58
21 conversation with them, but they will know that, you
22 know, I do have those conversations with them. And
23 certainly in terms of some of the developmental work
24 that's being done in relation to, for example, you
25 know, bolstering secretarial support, admin support, 10:58
26 thinking about waiting times, you know, discussing some
27 of the issues around the Lithotripsy Unit, and the
28 MDMS, we would have those discussions on a Friday
29 morning and I would hear it from the teams.

1 35 Q. Yes.

2 A. So I imagine - it certainly wasn't intended to be
3 complacent, but I imagine that might have affected the
4 thinking on this. But I mean that can be easily
5 rectified, because you're right, I mean it doesn't look 10:59
6 like we've paid it any attention, where in fact I think
7 - I hope we have.

8 36 Q. It explains in this introduction that in relation to
9 Non-Executive Director visits a report is completed
10 within 14 days. Issues identified are escalated to 10:59
11 your office and the relevant director, and then the
12 relevant director addresses any issues raised, and
13 assurance is then provided back to the Chair in
14 relation to any issues.

15 10:59

16 So we can see that in action, if we just scroll down a
17 couple of pages you can see, that's the Non-Exec visits
18 last year highlighted for the earlier months of the
19 year, and then at page 36 in the series is a typical
20 report. 11:00

21

22 So we reflected earlier on whether these kinds of
23 formal prearranged visits have their place and whether
24 it would be better to do it as a secret shopper kind of
25 approach, but they clearly have their place if some 11:00
26 meaningful outcome can be drawn from it.

27 A. Mm-hmm.

28 37 Q. Whether, if you like on a softer level, which is the
29 leadership have come to visit us and even the fact of a

1 visit no doubt can be helpful in communicating that
2 staff are valued and appreciated, and you've talked
3 about the diverse geography of the Trust, and no doubt
4 there are pockets of the Trust estate that do value
5 such visits. I suppose in terms of any service issues 11:01
6 that are highlighted through these reports, do you tend
7 to rely on your director to follow up on that?

8 A. Well, I get the report sent to me. The other reports
9 that I get sent from visits are from RQIA from the
10 Regulator. Right. So they will also visit the 11:01
11 childrens' homes, they will also then have organised
12 visits to different areas, particularly in acute
13 medicine and the nursing homes. So if we get feedback
14 in relation to that, that comes on as an item onto the
15 Senior Leadership Team and those are discussed every 11:02
16 week in terms of the outworkings of that, and then
17 there should be action plans on the back of all of
18 that, and then I asked for updates usually in the
19 one-to-ones with the directors in terms of how that's
20 progressing. So I think that again we take these 11:02
21 visits really seriously, they're a huge source of
22 information for us in terms of driving improvement, and
23 also recognising what works well. So they are followed
24 up, yep.

25 38 Q. Okay. Thank you for that. I want to move on to 11:02
26 briefly talk about Risk Registers and the work that has
27 been done around thinking about risk, and the Trust
28 appreciation of risk and what it means for it's
29 activities. The most up-to-date Corporate Risk

1 Register that we have access to I think is WIT-62044,
2 and it's from September 2022. Is that a living
3 document that will have been revisited regularly, or is
4 this something that has to await further developments
5 through the Board Assurance Framework and that line of 11:03
6 work, which is ongoing as I understand it?

7 A. So the Corporate Risk Register is updated every month,
8 at the risk and assurance part now of the Senior
9 Leadership Team. So I see that one says September
10 2022. 11:04

11 39 Q. Yes.

12 A. There should be a February 2024.

13 40 Q. Okay.

14 A. Yes.

15 41 Q. Maybe we just haven't looked hard enough. 11:04

16 A. Yes. Yes. Yeah.

17 42 Q. But it's - I'm not terribly interested in the substance
18 of it for the purposes of our questioning. Do you
19 think that the Risk Register and the approach to
20 defining risk is well understood, whether at corporate 11:04
21 level or within the directorates or divisions?

22 A. I think it has got better over time, and as we have
23 moved it away from being in the past I think it would
24 have come up through the Governance Committee and there
25 would have been some discussion at Trust Board, but it 11:04
26 wasn't a live part of the Senior Leadership Team's
27 discussion on a regular basis. We've moved on from
28 that, and with the whole reorganisation and development
29 of corporate document this is very much a live

1 document. So this will be talked about and there will
2 be reflection in relation to understanding whether the
3 risks we have on it are appropriate or not, and
4 particularly, you know, the extreme risks, if there are
5 any of those, you know, how they're being dealt with, 11:05
6 those will definitely be given attention.

7
8 Now, I think that our sense is that in terms of the
9 categorisation of these, you know whether they're
10 moderate, they're mild, moderate or severe, some of 11:05
11 that, in terms of how that's constructed and how it's
12 used regionally, I think doesn't always make complete
13 sense to us, but, you know, we'll use the narrative
14 then to try and make that better understood. And I
15 think what I do see now is that the risks move up and 11:05
16 down as we deal with them, you know. So we do close
17 off the risks that we've addressed and we do escalate
18 others. And I will also hear, you know, in the weekly
19 governance discussions, and in some of the discussions
20 that come out of the Directorate Governance meetings 11:06
21 that they have revised their Directorate and their
22 Divisional Risk Registers and they're working
23 accordingly and making sure that all of that aligns.

24
25 So I think, it's not perfect, but it feels to me 11:06
26 certainly a lot - we're engaging with it much better I
27 think than we did before, and I think we're using it
28 better, but I think there are certain flaws in the
29 document itself, but that has moved on a bit.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

The other part that we've done over the last year as well is to have discussions around risk appetite.

43 Q. Yes.

A. In terms of what we can tolerate, and a variation on that...

11:06

44 Q. We can see that. Just to assist your answer, we could bring up the document at TRU-305589. And there it is. It's prepared through the Medical Director's office. If we can just scroll down over the page we can see in the summary section why such a statement is prepared. It explains:

11:07

"As part of improving risk management maturity of the Trust, which will include a revised Board Assurance Framework, Corporate Risk Register and Risk Management Strategy, the Trust is required to have a Risk Appetite Statement. This is required as part of the annual governance statement."

11:07

And just going through to the Risk Appetite Statement itself, this is obviously the summary of it, if you go to TRU-305591 at paragraph 2, the risk appetite is defined as being:

11:07

"The amount and type of risk that an organisation is prepared to pursue, retain or take in pursuit of its strategic objectives. It represents risk optimisation, a balance between the potential benefits of innovations

11:08

1 and the threats that change inevitably brings."

2
3 And then just finally by way of introduction, if we
4 scroll down to I think the next page, please? Just on
5 to the next page. No, one more. Sorry. Yes, there's 11:09
6 this Draft Risk Management Statement which recognises
7 that:

8
9 "The Trust has a duty of care, that health and safety
10 is not compromised and therefore taking into 11:09
11 consideration that most risks cannot be completely
12 eliminated, the Trust will have a low tolerance to
13 those kinds of risks that could result in a negative
14 impact on the health and safety of service users.

15 However, within the boundaries of regulatory 11:09
16 constraints the Trust has an open appetite to take
17 well-considered and balanced risks to pursue innovation
18 and opportunities where outcomes can be improved for
19 the population we serve."

20 11:10
21 So I suppose it's important from an organisational
22 perspective to be having these conversations and to be
23 thinking out loud about how risks are to be regarded.
24 A zero tolerance perhaps for risks that might damage or
25 harm your key constituent, your patients, and your 11:10
26 staff, but a preparedness to be more flexible within
27 parameters where I suppose a benefit analysis suggests
28 that you should pursue innovation?

29 A. Yes, and I think it's - those are really important

1 discussions I think in terms of understanding our way
2 through this, particularly in the current environment
3 where, you know, finance is extremely pressurised and
4 the waiting times are growing. I mean these are the
5 kind of considerations that have to be in this all of 11:11
6 the time.

7 45 Q. Does that - we'll come on in our conclusion today just
8 to look at some aspects of innovation, how, through the
9 GIRFT analysis, how waiting lists and delay has to be
10 tackled by innovation, by different kinds of thinking, 11:11
11 by developing services and bringing resources and
12 problems in a different way. Is that all looked at
13 through a risk lens?

14 A. Yes. In relation to - because I think and, again, this
15 is always the balancing act with this. We want, I mean 11:12
16 we want to provide, like any health care provider does,
17 you know, up-to-date modern treatments that deliver
18 good outcomes for patients. But, again, it's about how
19 you make the transition with all of that. So some of
20 that is, you know, I think we're starting to realise 11:12
21 that regionally through increasing the amalgamation of
22 regional waiting lists, and I think Urology is a good
23 example in relation to that in terms of sharing the
24 waiting lists around the five hospital and community
25 Trusts, to bring that together. But then, alongside 11:12
26 that, there are obviously other innovations that we
27 make ourselves. So, you know, two of the more recent
28 ones have been a steps to wellness programme that was
29 developed within mental health services where, you

1 know, outwith the region we took the view that we had
2 far too many people waiting for mental health services.
3 We designed a very comprehensive on-line programme with
4 East London Mental Health Foundation Trust, and that is
5 now running in its own right, you know, the outcomes 11:13
6 are great from it, and it certainly has greatly
7 improved our waiting times and the quality of care
8 given to the patients.

9
10 In the same way, you know, when we look at huge 11:13
11 overcrowding these days in emergency departments, you
12 know, some of what we have to consider in relation to
13 all of that is, we know that people can access really
14 good quality care with good outcomes through our
15 hospital at home service and, again, how do we manage 11:13
16 the risk of developing that while mitigating against
17 the risk of managing overcrowding in emergency
18 departments? So these are constant conversations
19 within the organisation in relation to all of these
20 things. And then, I suppose, you know, the one that 11:14
21 was very high profile, particularly in relation to
22 surgery in recent times, was the decision and then the
23 consultation around moving emergency general surgery
24 out of the Daisy Hill site and increasingly changing it
25 to an elective care centre for surgery, but at the same 11:14
26 time having to mitigate the risks around the emergency
27 department for people who arrive and how we, you know,
28 save and send those people quickly, you know, to get to
29 the right speciality, either on the Daisy Hill site or

1 regionally to Belfast or locally to us.

2
3 So all of - it's - I'm sure, as you appreciate, you
4 know, the risk sometimes can appear in one bit of the
5 system, but actually what you have to continually 11:15
6 consider is what are the ramifications across the rest
7 of the system and what is the risk balance in all of
8 that?

9 46 Q. Yes. Thank you for that. Can I just ask you, again
10 briefly, about the whole area of complaints and service 11:15
11 user feedback? As has been the tendency over three
12 days of evidence, we've touched in and out of that
13 subject at various times, but I want to get a sense
14 from you in terms of where you think you're at as an
15 organisation in terms of listening to your patients and 11:15
16 their carers. Clearly from a clinic social care
17 governance perspective it is important to have a robust
18 complaints system. It is important, as I think you've
19 reflected this morning, to draw out of your engagement
20 with your patient body information about their 11:16
21 experiences, whether good or for ill. So, tell us a
22 little bit about the developments that have taken place
23 in the area of complaints and patient liaison, and the
24 kinds of infrastructure you have in place to ensure
25 that that is perhaps in a better standing than it was 11:16
26 when you took up the Medical Director's role?

27 A. So I think as I said earlier, I receive approximately
28 1,000 complaints per year, and in an organisation where
29 we do hundreds of thousands of pieces of business every

1 year that, you know, I think reflects the broad spread
2 of all of that. And, so, very often people will write,
3 the public will write to me directly, they'll write to
4 the Complaints Department, or the different directors
5 or doctors or other people, to raise the complaint. We 11:17
6 have a Complaints Management System within the Trust
7 that collects that, and then the standards that we work
8 to - and, again, there's a regional revision in all of
9 this - is that we respond within five days in relation
10 to acknowledging the complaint and we should try to 11:17
11 have that resolved within about 20 days.

12
13 There's a proportion, a small proportion of those
14 complaints we don't respond to, I think well, in
15 relation to people's satisfaction with how we have 11:17
16 responded. And, again, if, you know, the local
17 measures around that aren't sufficient, then very often
18 that will get escalated to the Ombudsman. So, at any
19 given time I think I have 29 complaints out of 1,000
20 that currently sit with the Ombudsman. And, again, 11:17
21 then they will, you know, come back to us in terms of
22 working with us to try and resolve all of that.

23
24 I think to try and - so that's the formal mechanism for
25 it. And I think as I've said before, just to keep the 11:18
26 balance in all of this, you know, we will get two to
27 three times the number of compliments sent to the
28 system as we get complaints. Right. So we learn as
29 much from the compliments as we do from the complaints,

1 and we acknowledge the compliments in the same way as
2 we do the complaints, in terms of taking them really
3 seriously.

4
5 The other measures that we have in there are obviously 11:18
6 the approach then to - as I say, across the
7 organisation I think at the last count we have 92
8 service users who are involved in various shapes and
9 forms in helping us shape service and giving us
10 feedback in relation to that. We are, you know, we 11:18
11 have contact with the Patient Client Council, which is
12 obviously the formal body that provides feedback into
13 all of that, and we'll also then take, you know,
14 feedback from, you know, anything we pick up in the
15 local media, but also from the local politicians. So 11:19
16 there's a fairly broad breadth.

17
18 And back to what you said earlier in relation to secret
19 shoppers. We will have usually ex-members of staff and
20 other people who have been around the system and are 11:19
21 picking things up and will lift the phone or contact us
22 to say "Right, we're concerned about this".

23
24 During the pandemic, and in terms of being supportive
25 to people, one of the things that we developed was a 11:19
26 live time, sorry, real-time reporting function to the
27 wards in relation to - what we did within Southern
28 Trust was we developed the concept of medical student
29 technician. So during the pandemic we were really

1 struggling to understand how we would get our medical
2 students in the system and keep them there, because we
3 were worried about the impact that that was going to
4 have on their clinical ability, you know, if they were
5 delayed. So with the agreement of Queens we introduced 11:20
6 this concept, and at that time we brought - because
7 then they were formal employees, we could bring them in
8 during Covid to actually visit the wards, speak to the
9 patients and, again, that was supervised in terms of
10 them developing good communication skills and 11:20
11 understanding how the system worked, but also allowing
12 them the opportunity then to hear the patient's
13 feedback in terms of what was happening, and bring that
14 back to the ward sister or the ward consultant, so that
15 actually in live time that could be dealt with. That 11:20
16 was enormously important to us.

17
18 As time has gone on and we have developed Care Opinion,
19 which is the on-line feedback in relation to that, and
20 we are the single biggest user of Care Opinion in 11:20
21 Northern Ireland, what we've realised is that the
22 usefulness of that as a system in terms of immediate
23 feedback is increasingly less useful, so we're now
24 moving all of that to Care Opinion, and we have
25 hundreds of responses in that every month in relation 11:21
26 to, you know, good and poor experiences. And, again,
27 you know, we respond to that and take the themes.

28 47 Q. Mm-hmm.

29 A. In order then to understand...

1 48 Q. Sorry, just on that.

2 A. Oh, sorry.

3 49 Q. And the intelligence that comes through and the
4 information that comes through these various systems,
5 how does that connect with the mechanisms for 11:21
6 improving, for correcting what might be poor practice,
7 or perceived to be poor practice, in driving
8 improvement?

9 A. So, where there's a complaint about an individual, that
10 will be fed to the manager and the professional lead 11:21
11 for that area, basically to consider and then
12 investigate as appropriate. And then either, you know,
13 to get a full understanding of what goes on, or to -
14 and then to put in place any remedial action that's
15 needed. Okay. So that certainly goes on on a regular 11:22
16 basis when I or anybody else picks those up, that's
17 where it is sent. I have to say those complaints about
18 individuals are really really tiny. You know, it tends
19 to be about services and waiting times, much much less
20 about individuals. 11:22

21
22 And the other way then that we interrogate our data in
23 relation to complaints is through HCAT, and I cannot
24 remember - there are so many acronyms, I can't remember
25 what HCAT stands for. It was a tool that we developed 11:22
26 with the London School of Economics. We've started to
27 use it in earnest since 2022 and, again, what it does
28 is it interrogates these lines of feedback and gives us
29 themes in relation to things that we should be

1 considering. And where I've found it particularly
2 useful - I mean I can think in recent times there was
3 one of the in-patient wards where we knew there was,
4 you know, concerns about staffing levels and
5 interaction and various other parts. What we can then 11:23
6 do is narrow down any complaints that we get, for
7 example, in relation to specific clinical areas, use
8 the HCAT process in relation to that and start to drill
9 out through the themes of what emerges.

10
11 So, increasingly it's not just about the big data in
12 terms of the volume, but also then using parts of that
13 to again intelligently scrutinise what we've got, to
14 see where we, you know, really drive in relation to the
15 themes coming out of that. So it won't be a surprise 11:23
16 to you that violence and aggression particularly in our
17 emergency departments is a significant problem at
18 various points in time. And, you know, the learning
19 that came out of that, plus came out of other areas,
20 you know, we embarked on a programme of improvement 11:23
21 around that, you know, involved colleagues from the
22 PSNI in terms of trying to think about how they
23 respond, you know, how do you manage escalation, what's
24 the learning, where can we call from, how do we educate
25 the public in relation to all of this and then watch 11:24
26 the trends with that? And, again, some of that came
27 out of the complaints that we were getting from the
28 public in relation to being treated in that kind of an
29 environment.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

So we are - we do use all of that information and we do take it really seriously, and we use it, you know, as areas of improvement in some of the areas particularly where we're concerned.

11:24

50 Q. Yes. Again some of the specific infrastructure that has been invested in an appointment of a patient liaison officer in 2021?

A. Yes.

51 Q. That remains a feature of the environment?

11:24

A. Yes. Very much so. Yes, yeah.

52 Q. We know that in terms of the material that's gathered for governance complaints features in those reports and is also the subject of the one-to-one discussions at service level with the Medical Director team.

11:25

A. Mmm.

53 Q. I want to bring you to the update document that you supplied us with and which we looked at briefly yesterday in the context of adverse incidents, but you've also set out some update information in relation to service user feedback. So if we go to TRU-306448. You catalogue for us - just scrolling down. Yeah. So you catalogue improvements to date in terms of service user feedback and - so you have quarterly meetings with the Ombudsman's office as well as with PCC, the Patient Client Council.

11:25

11:26

A. Mmm.

54 Q. So tell me about that, those interfaces? Who attends on The Trust's behalf?

1 A. So those I don't attend, but those will take place
2 between directors and assistant directors, and the
3 various organisations.

4 55 Q. And why has - why have those interfaces been opened?
5 why do those meetings take place, the purpose? 11:26

6 A. I think for learning, because I think our experience is
7 - obviously these are, these are very well established
8 organisations that represent the public and, again,
9 it's a very rich source of information for us in terms
10 of driving improvement and what they're concerned 11:26
11 about. And, again, you know, if there are things that
12 we haven't communicated particularly clearly, it gives
13 an opportunity for us to, you know, improve on that,
14 you know, in relation to our explanation. So, you
15 know, the feedback I get in relation to these meetings 11:27
16 is very, very helpful.

17 56 Q. Yes. And then under a related heading, there's a
18 liaison service?

19 A. Yes.

20 57 Q. It has been used in association with Urology Lookback 11:27
21 Review as well as in the Cytology Review. Again, what
22 is the purpose of the liaison service and how does it
23 assist your work and your Senior Leadership Team's work
24 in relation to improvement issues?

25 A. So this team is affectionally known as FLO, which is 11:27
26 Family Liaison Officer, and we have approximately five
27 people in the system, and they come from a background
28 of working with individual service users and families,
29 and we, we grew this service again in the course of the

1 pandemic in supporting people who were coming through
2 with Covid. And, again, based on our experience in
3 relation to all of that, extended that then to Urology
4 and more recently to Cytology. But also, we also use
5 these individuals in supporting families and 11:28
6 individuals through serious adverse incidents. So it's
7 heavily used. As you saw yesterday, approximately half
8 of our serious adverse incidents are located in mental
9 health and disability, so they do spend a significant
10 amount of time supporting families and service users in 11:28
11 mental health services and that - again the feedback we
12 get from that is enormously helpful in terms of, you
13 know, bringing education both ways and clearing up
14 inconsistencies that, you know, are adding distress,
15 and also, you know, providing a rich source of 11:29
16 information, I hope, to the service users and families
17 in terms of how we're doing our business. Because, you
18 know, I think we're very aware that we use one language
19 that's common to all of us within health and social
20 care, but it's not easily understood by anybody outside 11:29
21 of all of that. So, again, these individuals provide a
22 really important bridge between ourselves and the
23 public in terms of making sure that we're being clear
24 and we're communicating clearly.

25 58 Q. And as you know improvement never stops. 11:29

26 A. Yeah.

27 59 Q. If we go on to - if we scroll down two pages I think to
28 50 in this sequence. So further initiatives in respect
29 of service users set out here. You're looking to

1 develop a service user feedback awareness training
2 package, and you're planning to pilot service user
3 feedback process in the coming months. Going over the
4 page to 51, we can see there implementation of the
5 public service Ombudsman's model complaints handling 11:30
6 procedure is on the agenda for discussion. Development
7 and implementation of a complaints reviewer training
8 package, and the development of a pathway for liaison
9 service involvement in complaints. So how confident
10 are you, Dr. O'Kane, that you've got the building 11:31
11 blocks in place to better engage with your patient body
12 for the purposes of learning?

13 A. I think we interface with thousands of patients and I
14 think it's really difficult capturing all of this.
15 This was one of the things I know that I have, you 11:31
16 know, wondered how we can do this much better. I went
17 in the past to visit - when Navina Evans was Chief
18 Executive of the East London Mental Health Foundation
19 Trust, I went to visit her, because they do this
20 particularly well, and she described to me their system 11:31
21 of actually involving service users in the compilation
22 of the complaint response in terms of sending that back
23 to the service user, right, or their family. We
24 haven't got to that point yet, and there's all kinds of
25 machinations around from a confidentiality point of 11:32
26 view and all of that, how you would manage this. But
27 ideally I would like us to be doing this at that level
28 so that we - because I think - we tend I think as a
29 system, and this is germane I think to all of health

1 and social care, the language that we use in terms of
2 communicating with the public I think a lot of the time
3 is really complicated and it needs to be said in a
4 different way. So I think that's where some of our
5 learning has to go to in relation to this.

11:32

6 60 Q. Okay. Thank you for that. I don't have very much more
7 to go, maybe half an hour or so, would it be convenient
8 to...

9 CHAIR: Okay. Well, we'll take a 20 minute break now
10 and then that is a good indication for Dr. O'Kane for
11 how much longer she's going to have to stay here.

11:32

12
13 THE HEARING ADJOURNED FOR A SHORT PERIOD AND RESUMED AS
14 FOLLOWS:

15
16 CHAIR: Thank you everyone. Mr. Wolfe.

11:54

17 MR. WOLFE: Dr. O'Kane, we spent large parts of the
18 last three days charting the progress you say you've
19 made through clinical social care governance, different
20 systems, you've developed infrastructure that has been
21 built, and we've looked at that through the, I suppose,
22 the lens of what it means for patient safety and
23 improvement of services. It's also at the heart of it
24 a project, I suppose, designed to give yourself in the
25 Senior Leadership Team, and the Board, a way to be
26 assured about the quality and safety of your services.
27 Is that the way you view it?

11:55

28 A. Yes, you know, and it has to be assurance rather than
29 reassurance, yes.

1 61 Q. Yes. I mean is it your sense that the Trust was built
2 around a reassurance model? In other words, things
3 were placed on trust, placed on perhaps professional
4 opinion, expert opinion, rather than the triangulation
5 of information which tends to be at the heart of a good 11:56
6 assurance model?

7 A. Yes, that's right. And I think, you know, some of that
8 came through in the Maintaining High Professional
9 Standards Investigation that some of the information
10 that was offered was reassurance rather than assurance, 11:56
11 yes.

12 62 Q. Obviously there's a place for both, and the balance has
13 to be right. It is important to seek the opinion and
14 to be able to place trust in those you employ and those
15 who speak to you and your Senior Leadership Team about 11:57
16 their experience, but your project seems to have been
17 to better develop the assurance tools that are
18 available?

19 A. Yes. That's right.

20 63 Q. Where do you think you stand now on all of that? We've 11:57
21 looked through each of those, at least as many of the
22 systems and the tools that perhaps time allows us at
23 the Inquiry over the last couple of days, in terms of a
24 temperature check and bringing it all together, where
25 do you think you are now as a Trust in that respect? 11:57

26 A. I think my sense is that we're better, but we're still
27 not fully there. Right. So I - rather than, you know
28 - and I think I made mention of this before, one of the
29 things that I found difficult when I arrived in the

1 Southern Trust was, when you asked a question, I think
2 it was experienced as an attack almost, that, you know,
3 it was almost around people I think feeling that if I
4 asked them a question I didn't believe them, when in
5 fact what I was looking for was assurance rather than 11:58
6 reassurance, although that's not the way I probably
7 would have described it at that point in time. But I
8 think as time has gone on, as a system, increasingly if
9 statements are made or we're presented with
10 information, we look for the assurance behind it. So 11:58
11 we will look for the data. We rarely take anything at
12 face value unless, you know, we've - it's already been
13 known to us and we feel confident in what's being
14 offered. So I do think that that has moved on. And,
15 you know, we're able to tolerate the questions much 11:58
16 better than we did at the outset, rather than feeling
17 that there is somehow a judgment call rather than
18 actually a genuine, a genuinely curious question around
19 what's going on.

20 64 Q. I hope it's not an unfair question to say this, where 11:59
21 does your - where is your confidence weakest, or where
22 do you think you remain most vulnerable in terms of
23 governance, particularly social and clinical care
24 governance?

25 A. I think probably among some relatively junior staff 11:59
26 across the organisation, right, and I think, you know,
27 I can see vulnerabilities where people - and, again,
28 we've tried to address this in terms of giving
29 different groups professional line management. I'm

1 always worried about the confidence, for example, of
2 social care workers, and some of the administrative,
3 you know, the Band 2/3 administrative staff within the
4 organisation, because I feel that they don't always
5 have the confidence to speak up and say to us what 12:00
6 sometimes needs to be heard, and I think they are still
7 concerned just about the hierarchies and just how that
8 impacts on them. So if I were to think about - and
9 those staff tend to be across a multiplicity of areas,
10 so they are the staff that I would worry most about in 12:00
11 relation to all of this. And I think certainly the
12 higher banded staff, you know, within the organisation,
13 I think are a bit further on in relation to this, but
14 certainly the lower banded staff probably not so much.

15 65 Q. Could urology happen again? In other words, 12:01
16 notwithstanding the assurance framework that you and
17 your team have built, do you remain vulnerable as an
18 organisation to circumstances where a clinician can
19 behave, in the eyes of the Trust, in the way that he
20 did? And could you also, sitting beside that, have a 12:01
21 situation where the governance frameworks are not
22 either sensitive enough or receptive enough to
23 challenge in addressing?

24 A. Well I think as I've said over the last couple of days,
25 one of the things that has beleaguered me throughout 12:01
26 all of this is, you know, potential for blind spots,
27 and I have no doubt that, you know, whether it's,
28 whether it's in the Southern Trust or whether in other
29 organisations, there will be similar situations again.

1 And I mean we have seen that in the history of the NHS.
2 You know when I looked back to, you know, previous
3 Morecambe Bay, and Patterson, and all of those other
4 inquiries that went on, or investigations that went on
5 in the past, you know, this has been the history of the 12:02
6 NHS, that, you know, every so often a situation emerges
7 where, you know, if you're looking in your rearview
8 mirror you think "we should have seen that coming but
9 we didn't." But, you know, some of the challenge in
10 all of this is about how do you make the system robust 12:02
11 enough to be able to be sensitive to it's own
12 operations to spot these things at an early stage and
13 actually intervene before anybody comes to harm? And
14 also then, how do you maintain institutional - well,
15 develop institutional learning, but also then maintain 12:03
16 institutional memory? Because, again, regardless of
17 the fact that, you know, as I say, this has been the
18 history of the NHS, where sometimes it almost feels
19 like we're back to, you know, there's a groundhog day
20 sense to it. I mean certainly when I read those other 12:03
21 inquiries I can see similarities.

22
23 So I think those are some of the bigger challenges for
24 us in relation to all this. And I think, you know, the
25 complexity of health these days is such that it moves 12:03
26 on such at such a pace that, you know, systems and
27 processes that might have worked 10, 20 years ago don't
28 work today because they're not sensitive enough to pick
29 up the nuances of, you know, clinical activity,

1 people's behaviour, all of that. So you have to
2 constantly, you know, keep up with it in terms of
3 understanding the system that you're working with and
4 thinking about how do you make it fail-safe so that
5 actually these things, you know, whether on purpose or 12:03
6 inadvertently can't happen, and that's a huge task.

7
8 So, no, I can't guarantee that this won't happen again.
9 I would hope it'll not be in the Southern Trust, but I
10 would be surprised if it didn't happen again somewhere. 12:04

11 66 Q. Yes. Of course all of the change which has been
12 brought, obviously it's a matter for the Panel whether
13 it does constitute improvement, and if it's
14 improvement, is it sufficient? But it's all taking
15 place in an environment or a context which remains very 12:04
16 challenging in terms of resource, and we've oft
17 reflected, or witnesses have oft reflected on the
18 demand, capacity, shortfall, or mismatch. Now we can
19 see from the material recently supplied to us that
20 waiting lists remain stubbornly high, although there 12:04
21 does appear, and I'll bring you to the statistics, to
22 be pockets of improvement.

23
24 Before we look at that, do you consider, upon
25 reflection, that the Trust has been institutionally 12:05
26 blind to meeting unmeetable expectation? I ask that
27 question because it derives, the source of it derives
28 from some of the work which Ms. Veryan Richards has
29 done, and that's set out as a question within it, the

1 suggestion in the question being that there is this
2 unmeetable expectation in terms of your services, but
3 you, as a Trust, haven't behaved appropriately towards
4 that, that you've been blind to it and haven't
5 responded with solutions.

12:06

6 A. Specifically in relation to waiting times?

7 67 Q. Yes.

8 A. I think that, I think we have been cognisant of it. I
9 think that - but in terms of solutions, I think there
10 are definitely periods of time where, you know, the
11 demand can feel completely overwhelming, and I think
12 can have the impact of paralysing people. Okay. So I
13 mean this is why I think it has been important that,
14 you know, we have tried to take a solutions based
15 approach to these things and narrow them down as much
16 as we possibly can and think about potentially what
17 some of those solutions might look like.

12:06

12:06

18
19 So, when I think about Urology, for example, and think
20 about, you know, the Lithotripsy service - it's
21 referred to in there I think as ESWL - you know, that
22 all seemed impossible in terms of the resource that was
23 there and how that could be expanded. But what the
24 team were able to do was to again use the data rather
25 than just think about the demand, and systematically
26 step their way through that in terms of what a solution
27 might look like and how that could be beneficial, not
28 just to patients locally but regionally, so then on the
29 basis of that, have gone out, you know, put together

12:07

12:07

1 the business case in terms of developing all of that
2 and bringing more sessions into the Trust so that they
3 can deliver out on, and use the machinery that's
4 available, you know, five days a week, but also support
5 the region. And I think, you know - I suppose, you 12:08
6 know, we have - we've tried to push forward in relation
7 to some of the theory behind quality improvement, and
8 very often that's about narrowing, you know, taking big
9 problems but narrowing them down into actually what's
10 the doable here. And, again, it was the same with, you 12:08
11 know, when we were faced with this situation in
12 relation to some of the flexible cystoscopes, for
13 example, that the urologists were doing, you know, they
14 realised that actually the clinical nurse specialist
15 could take that on, we moved that work across to them 12:08
16 to free up the urologists, and in order then to support
17 the CNSs brought in more administrative time. So it is
18 always about stepping - taking it problem by problem
19 and stepping your way through it, and thinking about,
20 you know, are there not just local solutions but 12:08
21 regional solutions?

22
23 So, you know, there are plenty of examples like that.
24 Some of them are easier to deal with than others. But
25 I think part of the approach in all of that is not to 12:09
26 feel overwhelmed by demand, to try and do the best that
27 you can and think about how you improve on that.

28 68 Q. Yes. Thank you for supplying the most up-to-date
29 performance report just so that we can put this in

1 context. I think I did remark on pockets of
2 improvement, and you can help us with this. If we just
3 go to TRU-306123. So I think this material is up to
4 date as the start of this quarter, 1st January 2024,
5 and to summarise, this is the numbers for patients 12:09
6 waiting consultant led out-patients appointments, first
7 appointments, and we can see in bold at the top of the
8 page that the longest waiter is 414 weeks. Just in the
9 table below that we can see that the total waits is
10 3857, and that can be broken down into urgent waits and 12:10
11 routine. So the urgent waits sit below that, a total
12 of 874, and then the routine waits is obviously the
13 bigger number.

14
15 Again, it's probably - the reasons for this are 12:10
16 probably well explored. There's not enough capacity in
17 the region, let alone Southern Trust, and that capacity
18 is broken down into both human resource and quite often
19 the attention that needs to be given to red flag
20 patients, and that the casualty of that is those 12:11
21 patients with benign disease.

22
23 Is there any sense, in terms of your dealing with
24 commissioners, that these problems are - of extensive
25 waiting lists such as this are going to be grappled 12:11
26 with, or is it just a shake of the shoulders approach?

27 A. No, I think there is a real appetite for improving on
28 this situation, you know, through the - you know,
29 certainly through the Department of Health and, you

1 know, with the reinstatement of the Minister, I'm not
2 picking up that that isn't something that's a priority
3 for them. But I think at one point the Minister did
4 mention that in order to address the serious problems
5 we have with waiting times and other aspects of health 12:12
6 and social care in Northern Ireland, it would take
7 £1 billion. You know, Northern Ireland already takes
8 over 50% of the block grant. That would leave less and
9 less for other departments. So this is a fairly
10 intractable problem, and the solution to it is not just 12:12
11 money.

12
13 There is something about the way services are
14 organised, and increasingly what we're attempting to
15 do, certainly through the Chief Executives, with the 12:13
16 support of the Department, is regionalise what we can,
17 to try and, you know, bring together some of the
18 aspects that work well in certain Trusts to make them
19 available to other Trusts.

20 12:13
21 So, you know, we should have seven consultant
22 urologists. At this point in time we have four in
23 substantive posts. We have internationally recruited
24 three, who will arrive over and be trained, you know,
25 over the next six to nine months. That should help in 12:13
26 terms of the levels of activity. But at the same time,
27 you know, what we encourage is two of our - all of
28 those consultants work as well in different Trust
29 areas, you know whether it's through Lagan Valley in

1 the South Eastern Trust, or two of the surgeons operate
2 in Belfast on their cancer lists, that are a shared
3 regional resource. So there's something about pooling
4 our resources to try and get the best results. But
5 there's also something then about thinking about it not 12:14
6 just being in terms of doctors but in relation to other
7 people in the team, and how do we really build that up
8 through CNSs, physician associates, you know, better
9 use of admin and, again, developing that approach
10 across the region rather than service by service. 12:14

11
12 But I mean this is a very depressing situation and, you
13 know, I think what we know from history is that where,
14 you know, there are financial pressures, that that
15 manifests itself in a kind of pseudo rationing, and 12:14
16 particularly manifests itself in terms of increased
17 waits, particularly for non-cancerous conditions and,
18 you know, these are already the worst across the UK,
19 you know, in comparison with, you know, some of the
20 other OECD countries across the world, and with the 12:14
21 current financial situation that's likely to
22 deteriorate. So I mean this is a really worrying
23 picture.

24 69 Q. As I said, and I hope I interpreted the table
25 correctly, but if we move through to 126 in this 12:15
26 series, just a few pages down, we can see a Review
27 Outpatient Backlog Update. We had the clinicians
28 listed along the left-hand margin, and we can see if we
29 move from January 2023 on the left, that the total is

1 1579 on the review backlog, reducing gradually through
2 '23, and then as of January '24 it's reduced by a
3 significant percentage - I haven't worked out what the
4 percentage is, but it looks to be in the order of about
5 30% or so. 12:16

6 A. Mmm.

7 70 Q. Is there an explanation for that, that you're aware of
8 in terms of how you've been able to grapple with - it's
9 not perfect, but being able to reduce the review
10 backlog? 12:16

11 A. I think principally for two reasons. One is that
12 certainly in January 2023 Mr. Haynes, in particular,
13 was heavily involved with reviewing the patients who
14 were coming through in relation to the Lookback Review
15 that was attached to the work that we had done with the 12:16
16 Department in terms of the Urology Assurance Group,
17 just in making and reviewing a lot of the, you know,
18 over 2,000 patients that were historically attached to
19 Mr. O'Brien, in reviewing their care and then seeing
20 individuals. So that took up some of his clinical 12:16
21 time.

22
23 In relation to the rest, I think Mr. Tyson has now left
24 - he has gone to the Republic of Ireland to work. So -
25 and, again, he did a lot of clinical outpatient work. 12:17
26 We will - so - and he left just in and around Christmas
27 time. And certainly in terms of his contribution, he
28 returned from fellowship in New Zealand at a point in
29 time and that certainly increased the capacity, and

1 then passing the work as well that can be done by the
2 CNSS to the CNSS, just in the way I described,
3 certainly has helped in relation to some of this as
4 well.

5
6 But, again, I know that this waiting list really
7 troubles the urologists because they are very cognisant
8 of the fact that, you know, the longer some people wait
9 for procedures the increased risk there is to the
10 patient. And, you know, just to be mindful of the
11 population. This is not usually a young fit healthy
12 population, this tends to be middle to older aged
13 males, very often with other complex medical
14 conditions. So they are a vulnerable population.

15 71 Q. Yes. As I say, while that may be a pocket of
16 improvement, to use your language, it's a fairly
17 depressing picture overall. We now have the Getting It
18 Right First Time Report. They reflect in the report
19 some, if you like, Northern Ireland centric
20 difficulties. They paint a picture of what they
21 describe as a "decade long deterioration in Urology
22 Services throughout the region". They suggest, amongst
23 their various findings, that the current models do not
24 serve the speciality well as most units nationally have
25 or are in the process of transitioning to what's
26 described as a Urology Investigation Unit type model,
27 whereas Northern Ireland seems to be behind in that
28 development.

29 A. Mmm.

1 72 Q. Our current diagnostic methods are not optimal, and
2 there's a tendency to try to do too much in regional
3 centres as opposed to develop specialisms, an issue
4 that seems to have dogged the service for some time,
5 despite the regional review that took place more than a 12:20
6 decade ago.

7
8 Do you as a Chief Executive have a sense of that level
9 of detail, or is that something that you leave to the
10 service to sort out? Where are you in that 12:20
11 conversation?

12 A. So, I don't disagree with that reflection, and I think
13 that, you know, across the five health and social -
14 we've six Trusts in Northern Ireland, one of them is
15 the Ambulance Trust, but of the five Hospital and 12:20
16 Community Trusts most of us do similar work in similar
17 sized areas, right, with the exception of Belfast,
18 which also provides quite a lot of the regional
19 specialties. So, you know, we - and this has been part
20 of the drive within Urology to think about how do we 12:21
21 provide all of the different functions but not
22 necessarily all in the same place? So, penile work,
23 for example, the drive at this point in time is to push
24 that towards Altnagelvin and Derry to try and support
25 that work. The Lithotripsy, which is basically this 12:21
26 business of breaking down stones in kidneys, you know,
27 the move is to try and centralise that on the Craigavon
28 site. The vast majority of cancer surgery is obviously
29 done on Belfast site, and so it goes on in terms of

1 breaking the different parts of Urology into different
2 parts on to different sites to try and improve on that.
3 And I suppose, you know, our other contribution to that
4 from a surgical point of view was in thinking about how
5 we use Daisy Hill Hospital and reorganising emergency 12:22
6 surgery on to the Craigavon site so then we could
7 really increase our capacity for surgery on the Daisy
8 Hill site. So, you know, since last April we have
9 carried out more than 6,000 procedures on the Daisy
10 Hill site because we have been able to move that 12:22
11 activity around, which has been really successful.
12

13 And, again, some of us as Chief Executives before the
14 assembly reconstituted became involved in what's called
15 the Regional Hospital Blueprint and, again, it was in 12:22
16 terms of trying to think about how, you know, taking on
17 board, you know, the views of the clinicians, and they
18 are - the clinicians are very clear about this, that we
19 cannot keep doing everything everywhere - that we
20 needed to really try and centralise and build up the 12:22
21 expertise in different areas. So we have been working
22 on that as a group of Chief Executives with the
23 Department in terms of thinking about how that might be
24 done.

25
26 And I think that, you know, that drives all kinds of
27 prerogatives in terms of, you know, how do we provide
28 then a regional workforce rather than a workforce
29 that's just tied to certain areas? You know, how do we

1 forward plan in terms of education and development? A
2 lot of what hijacks progress at the minute is the huge
3 demands in relation to unscheduled care. Because there
4 hasn't been the historic investment in the community in
5 terms - I mean we - it has been no secret that we've 12:23
6 been waiting for a huge increase in - you know, because
7 as a system we've been really successful in terms of
8 supporting people well to have longer and more
9 fulfilling lives, but the corollary of that, or the
10 outworkings of that now is that, you know, increasingly 12:23
11 we have a frail and elderly population and we haven't
12 got the community infrastructure to support all of
13 that. So part of the challenge in relation to any of
14 the elective sites in terms of surgery and those other
15 areas, is that there's a huge demand coming from 12:23
16 unscheduled care, and we know that if you're over the
17 age of 65 it takes - and you become unwell - it takes
18 seven times the level of investigation and care than it
19 does for people under the age of 55, for example. And
20 if you're over the age of 85, it takes 14 times that 12:24
21 level of care. So once you start to multiply that up
22 and think that on any given day, you know, or if I'm
23 forward planning during the winter time, you know, I
24 know that previously 45% of the investigation capacity,
25 you know, whether its radiology or bloods, would have 12:24
26 been taken up by unscheduled care. Today, in the
27 Southern Trust, 70% of that capacity is taken up by
28 unscheduled care. So, you know, not only are the
29 numbers of referrals incrementally increasing at the

1 front door, our capacity to deal with them as a system
2 - and it's the same across Northern Ireland - gets
3 increasingly squeezed, because we're constantly
4 balancing this demand between unscheduled and elective
5 care, and that impacts on these waiting lists then too. 12:25

6
7 And, as I say, the outworkings of all of that is,
8 cancer patients by and large tend to get seen in a
9 timely fashion, but other urgent patients then, or
10 routine patients, then tend to get pushed back because 12:25
11 actually everything is done on clinical imperative
12 rather than just time on a waiting list.

13 73 Q. Yes. Well, the purpose, I suppose, of the GIRFT Report
14 was to identify new ways of approaching old problems.
15 How to better tackle waiting lists, improve structures, 12:25
16 and ways of working and improve the quality of care,
17 and a number of recommendations set out for the region
18 as well as the individual Trusts, and you have provided
19 us with the update from the Southern Trust in relation
20 to the 18 or so recommendations, two of which have a 12:26
21 very specific regional aspect to them, but a total of
22 18 recommendations directed to the Southern Trust.

23
24 The up to date position in terms of your action plan to
25 address them is set out at TRU-306468. And one can see 12:26
26 from working through that document, this is up to date
27 as of last week or so, that seven are completed, nine
28 are amber rated, and two largely depend on decisions
29 being made at a regional level. You've already, I

1 suppose, unpacked in your evidence some of what has
2 been done to meet some of the recommendations in terms
3 of human resource, the recruitment of some overseas
4 consultants, one can see recent recruitment of a nurse
5 specialism, and we can see over a period of several 12:27
6 years perhaps, efforts, as you've described, to move
7 services, or move particular types of care across to
8 nurse specialists, and freeing up time, and thereby
9 freeing up an ability to attack some waiting list
10 problems through the consultant personnel that you 12:28
11 retain. Some of the work in progress that you're
12 undertaking, and maybe we'll pick up on some of the
13 examples if we go through to TRU-306472 and, sorry,
14 scroll down another page. Another page, sorry. Yeah.
15 So this is an example of where progress is being made, 12:28
16 but it's not going to be delivered until later this
17 year, so that the concern set out in the recommendation
18 is that it would be more efficient for the service and
19 beneficial for the patient if a straight to test model
20 was adopted, and the detail is further explained there, 12:29
21 and this requires the streamlining of cancer pathways
22 to be able to deliver on this, and the actions required
23 are set out there, including the need for commission
24 assistance.

25
26 But is, is a report like this eagerly received and
27 welcomed by your Urology Service as well as the Trust
28 as a whole?

29 A. Yeah. No, I mean I think it is, because they see this

1 as an opportunity for improvement, you know. And
2 again, you know, the clinicians that we have working in
3 that service, and I mean it's my sense of, you know,
4 all of our services, they're really keen to do a good
5 job on a daily basis. So anything like this at all 12:30
6 that gives opportunity to actually, you know, improve
7 the quality and amount of clinical care is particularly
8 welcome. So, I mean, I haven't heard, certainly
9 clinically, and nor managerially, have I heard anybody
10 say they don't think this is right thing do. They're 12:30
11 very enthusiastic about it.

12 74 Q. Yes. I get a sense from your evidence that there's
13 some positivity around all of this, that there is at
14 least a sense that we do need to improve.

15 A. Yes. 12:31

16 75 Q. That is in the area of Urology Services. That it has
17 been and remains in a bad place for too long. But is
18 there any concrete evidence that this is a watershed
19 moment, or we're getting towards a watershed moment
20 that somebody is going to take this Cinderella service 12:31
21 on and actually tackle it in a meaningful way? Is
22 there a strategy in place, whether locally within your
23 Trust, or regionally, to try to get to grips with these
24 massive and depressingly stubborn waiting list issues?

25 A. Well, in relation to the first part about how 12:32
26 enthusiastically the team have embraced this and,
27 again, it was said by one person on one of the calls
28 one morning, one of the Friday morning calls, and it
29 was reflected to me that even in the midst of having to

1 deal with the worry and concern around this Urology
2 Services Inquiry, that, you know, they could see - I
3 mean the way it was put to me, they could see light at
4 the end of the tunnel and it wasn't a train coming, it
5 actually felt quite hopeful - because they had full 12:32
6 complement of junior doctors, they had, you know, more
7 activity coming through because they had expanded the
8 CNSs, they had more administrative support, they were
9 really welcoming of the fact that, you know, we were
10 able to internationally recruit in terms of 12:32
11 consultants. So I do think they see this as an
12 opportunity - they have seen this as an opportunity for
13 improvement, and I think, you know, and I have the
14 greatest respect for them because, you know, some of
15 this has been extremely difficult to work through in 12:33
16 many ways and could have destroyed the team, but,
17 actually, you know, my sense is that they've really
18 grasped it and worked really hard with it and take it
19 in the spirit that we hoped it was intended. So that
20 has been helpful. 12:33

21
22 On a regional level, yes, I do think, you know, in
23 terms of the conversations that I know happen between
24 particularly Mr. Haynes, who is the Urology lead, and
25 Catherine Reid, the Director, and the Department, and 12:33
26 what the Department feeds back to me through SPPG, I do
27 think this has been taken seriously. The solutions are
28 not going to be quick. This is going to take a bit of
29 time to build up. And, again, some of the solution in

1 all of that is around regionally how we organise
2 ourselves.

3 76 Q. You mention SPPG and the new, or the adjustment to the
4 commissioning model that has recently taken place. Do
5 you get an opportunity to engage with SPPG, and beyond 12:34
6 that the Department, about these specific issues, or is
7 that conversation yet to take place?

8 A. So, it's dealt with - I mean there are some specific
9 conversations at times in relation with SPPG, but by
10 and large the activity of the Trusts is dealt with 12:34
11 through the performance meeting that we have with the
12 Department of Health and SPPG every month. But they
13 have certain parameters that they measure all of us
14 against and, again, it's very - it's all activity
15 driven and then we produce our data in relation to all 12:34
16 of that. So, I have to say across the region, given
17 how we are with waiting times, that there are a lot of
18 reds on everybody's diagrams, but I think what we have
19 all shown is that incrementally we have improved, you
20 know, throughout the course of the financial year and, 12:35
21 you know, we have plans in place to try and continue to
22 improve on that. But it is a very red diagram in terms
23 of those waiting times. But those conversations are
24 had certainly with the Permanent Secretary and the
25 Director of SPPG, and others, on the monthly basis, but 12:35
26 may not always target Urology but maybe other
27 specialties as well.

28 77 Q. In terms of the services that you provide, and the red
29 on the diagrams, is Urology the one that's flashing

1 red? In other words, is it one of the services that is
2 in greatest difficulty in terms of its ability to
3 provide for the demand amongst the local population?
4 A. It features in there. So it's represented on that
5 report as elective waiting times, and then there are 12:36
6 other measures that's collected under in relation to
7 the 31 and 62 day waits for cancer. So it's kind of
8 put together with parameters from other services so
9 it's an overall picture. But, yes, it's one of the
10 areas that's contributing to this. 12:36

11 78 Q. But if you were to extract that from the global
12 directorate or area in which it resides for accounting
13 purposes, it would stand out, wouldn't it, as one of
14 the most frail?

15 A. Yes. 12:36

16 79 Q. And vulnerable services.

17 A. Yes. So urology, gastroenterology, and dermatology,
18 off the top of my list, and orthopaedics are definitely
19 right up the top of the list. Mental health isn't as
20 readily counted in there, but that also has challenges. 12:37

21 80 Q. And in terms of the relationship with the SPPG and the
22 changes to the commissioning process, which in essence
23 in terms of the evidence that we've heard, has taken
24 the PHA out of the equation, or at least sidelined them
25 - clearly a political policy or a political decision. 12:37
26 In terms of The Trust's and your experience as Chief
27 Executive of the commissioning process, has that
28 adjustment or that change made any difference to life
29 for you in terms of the commissioning conversations?

1 A. So there is a review of commissioning arrangements in
2 Northern Ireland taking place at the minute and, again,
3 that involves the Department, the Chief Executives, and
4 the PHA. I think that as we've, you know, as we've
5 come in to the latest executive, Stormont Executive, I 12:38
6 think there is a realisation of the importance that,
7 you know, community planning and public health plays in
8 all of that, because, you know, we have poor outcomes
9 on many fronts in relation to population health. And,
10 again, you know, the PHA I think is, my sense, is 12:38
11 playing an increasingly strong role in all of that in
12 describing the public health need and some of the
13 interventions that would make a difference with that.
14 Now, it will not automatically affect waiting times,
15 because by the time, you know, people get on to urgent, 12:39
16 particularly urgent red flag, you know, cancer
17 processes, you know, some of what they're suggesting
18 will be helpful. But in terms of taking it further
19 downstream in terms of some of the preventative work
20 around, you know, hypertension, obesity, smoking, those 12:39
21 kind of - alcohol - all of those kind of discussions
22 certainly PHA is very engaged in relation to all of
23 that, but also in terms of thinking about the health
24 inequalities, because we know that health inequality is
25 largely what drives poor health. So, again, there is - 12:39
26 there is a very active discussion in relation to all of
27 that and, again, that should impact on the
28 commissioning process in terms of how we deliver
29 services.

1 81 Q. In conclusion in terms of my questioning, Dr. O'Kane,
2 the Inquiry is reaching the final stages of its
3 evidence gathering process in terms of hearing from
4 witnesses. The Trust, and it's personnel, have
5 contributed significantly to that evidence gathering 12:40
6 phase, and one can readily appreciate the impacts that
7 that will have in terms of time, and distraction, and
8 pressure, and that deserves to be acknowledged. But,
9 beyond that, and I'm not dismissing that of course, but
10 beyond that, having regard to the stage we've reached 12:40
11 and the journey that the Trust has taken to where we
12 are now, how do you assess the impact of the urology
13 problem and the participation in an Inquiry and the
14 holding of the Trust up to public scrutiny, how has
15 that impacted, whether positively or negatively, or 12:41
16 perhaps both, on the organisation?

17 A. I think it has been a really interesting journey for us
18 and, I mean I came from the Belfast Trust before I came
19 into the Southern Trust, so I would have been on the
20 periphery of other Inquiries and been aware of the 12:41
21 stress that that took on the organisation at a point in
22 time. And then when I came into the Southern Trust and
23 then we were faced with this, I think none of us had
24 ever dealt directly with an Inquiry process before, so
25 I think it was a very sharp learning curve for us at 12:41
26 the outset. And I think, you know, none of these
27 inquiries is run in exactly the same way and, I mean
28 that's the history of it whenever you compare even with
29 some of the English Inquiries, that's exactly the same

1 and, you know, when I've enquired about Scotland, it's
2 the same. There's, you know, different ways to
3 interpret the process depending on the circumstances.
4 So it was never going to be exactly the same anywhere
5 else.

12:42

6
7 I think it has - I mean I think on the last count we
8 reckoned we provided probably more than 500,000 pieces
9 of documentation. Right. So I mean it's hugely -
10 generated a huge amount of information from us I think.
11 And some of that obviously was duplicated. So that was
12 interesting.

12:42

13
14 I think, you know, how we had to think our way into all
15 of that in terms of getting ourselves organised around
16 it, understanding what the demands was of us as an
17 organisation at the same time as we continued to have
18 to function and deliver services and improve other
19 services, I think has been interesting. And I know
20 certainly at the outset it was quite a frightening
21 process because, you know, again while we were dealing
22 in the early days of this there were reports coming out
23 in relation to hyponatraemia, and to neurology and, you
24 know, doctors being referred to the GMC, all of those
25 things that, you know, just really terrify people
26 whenever they hear it. So, you know, all of that had
27 to be thought about.

12:42

12:43

12:43

28
29 But I honestly have to say that it has been helpful to

1 us in that even though it has generated a huge amount
2 of work, I think it has made us think really carefully
3 about our business, about the work, you know, the work
4 that we do and how we deliver it. I think it has
5 helped us focus on the importance of, you know, 12:44
6 governance, and what's located within all of that. It
7 has certainly given us the opportunity I think to reach
8 outside the organisation in terms of really thinking
9 about how things can be done well and certainly, you
10 know, the colleagues from across the rest of the UK 12:44
11 have been hugely helpful in relation to that. And I
12 think it probably has helped the relationships within
13 the Trust, because we've had to depend very heavily on
14 each other, and to really support and understand the
15 pressures that the clinical teams have been under, 12:44
16 particularly the Urology team, in order to sustain this
17 whole process.

18
19 So, even though it has, you know, taken effort and
20 time, and all of the usual things, I do think overall 12:44
21 as a process it has been enormously helpful to us.

22 82 Q. Is there any adverse experience to report? Has it, not
23 necessarily the Inquiry directly, but perhaps the
24 circumstances of the problems that were identified, has
25 that led, for example, to excessively defensive 12:45
26 practice on the part of clinicians and managers?

27 A. I honestly can't see that that directly reads across to
28 that. I think - in all honesty I think some of the
29 defensive practice has come out of the anxiety that was

1 generated in relation to the rumoured speculation
2 around other Inquiries. Okay. So I do think that was
3 always going to be there at an early stage. And
4 certainly - I mean I've worked in the Health Service a
5 very long time and I can see the - you know, for nearly 12:45
6 half of its existence - and I can see the changes in it
7 over that period of time. Medicine has become more
8 defensive over time I think as it has felt under attack
9 and scrutiny, and there is something about how, you
10 know, that in itself is managed, and I think does lead 12:46
11 to very defensive practice at times in order for people
12 to feel that they're keeping themselves and their
13 patients safe. But I am not picking up specifically
14 areas of concern certainly I have within the
15 organisation in relation to this. I think we have 12:46
16 tried to approach this as an opportunity for learning
17 rather than defensiveness and, hopefully, that is borne
18 out. But I mean there will always be times that you
19 have to take, you know, take a step back and think
20 about all of that. But, yeah, I do think I'm not 12:46
21 picking up that it has felt particularly punishing in
22 relation to people's own practice. But certainly in
23 terms of workload and demand and everything else, it
24 has certainly produced different stresses. Yeah.
25 83 Q. And just finally, finally, at the heart of the Terms of 12:46
26 Reference of the Inquiry is patient safety and,
27 obviously, there have been issues for patients as a
28 result of the shortcomings that the Trust has
29 identified. Have you been able to gauge, and if you

1 haven't been able to gauge simply say so, whether you
2 have been able to maintain the confidence of your
3 patient body and their carers through all of this,
4 whether in urology or more generally?

5 A. I think that that has been tricky at times. I think, 12:47
6 you know, particularly as we worked our way through
7 some of the Serious Adverse Incident Reviews, and then
8 as we worked our way through the Lookback Review and,
9 you know, there had to be the communication with people
10 around the fact that we felt that they had come to 12:48
11 harm, I think that has been very distressing certainly
12 for patients and carers, and I think at times our
13 communication has not been as good as it could have
14 been and I think that has caused distress. So I think
15 we have learned from that maybe, and I'm sure we have 12:48
16 further learning to do. So, you know, certainly at the
17 beginning of all of that, that was challenging. And I
18 know, you know, we were disappointed in terms of how we
19 were doing things ourselves. I honestly have to say
20 that once we had Margaret O'Hagan seconded in there to 12:48
21 look after the lookback process per se, rather than it
22 being shared as different people's roles, and then with
23 the support alongside Jane McKimm in relation to the
24 running of the Urology Inquiry process, I think that
25 has definitely improved quite a bit now. But, you 12:49
26 know, we have another piece of work yet to finish out
27 on in terms of reviewing deceased's patients, so we're
28 not completely out of the woods with this yet. But
29 certainly I would hope that in relation to that we're

1 better, and I think it has taught us something then
2 whenever we had to think about, you know, reviewing
3 cytology patients recently and some of the other work
4 that has been done around that in terms of how we
5 approach that. So it has been helpful from that point 12:49
6 of view, but it has not been easy, particularly I think
7 for some of the patients and carers at the outset of
8 all of this.

9 MR. WOLFE: Okay. Thank you. Thank you for answering
10 my questions. I have nothing further. 12:49

11 CHAIR: Thank you, Mr. wolfe. Thank you very much,
12 Dr. O'kane. And given the workload that you have, that
13 you've been here two and a half days, and I'm afraid I
14 can't release you just yet, we have a few questions,
15 but if you're happy to sit on rather than take a lunch 12:49
16 break we'd hopefully do that in short order? So
17 Mr. Hanbury, first of all.

18
19
20 DR. O'KANE WAS THEN QUESTIONED BY THE PANEL AS FOLLOWS 12:50

21
22 MR. HANBURY: Thank you very much for your evidence,
23 Dr. O'kane. I've just got a few clinical and
24 urological questions, which hopefully shouldn't take
25 too long. 12:50

26
27 In the Royal of College of Surgeons Invited Review
28 Report, we obviously - shared their frustration that in
29 Mr. O'Brien's practice there was a lack of clarity

1 about plans as a result of letters not dictated, and in
2 one of their recommendations they asked for a review of
3 that, obviously a comparison to the paper charts with
4 letters which are now available electronically, but
5 there has been some difficulty doing that. That's one 12:50
6 of the audits not started. I didn't know if there was
7 a particular problem there?

8 A. I think that there has been some difficulty in terms of
9 collecting the information, but I know that we have
10 increased the secretarial support in there to try and 12:50
11 allow this to happen. So I will, I will investigate
12 the specifics of that and come back to the Inquiry, but
13 certainly we can look into that. But I know we have
14 increased the secretarial support in relation to that
15 to get that sorted out. 12:51

16 84 Q. MR. HANBURY: Thank you. That's just Recommendation 16
17 on the thing.

18 A. Yes. Yes.

19 85 Q. MR. HANBURY: Just another thing on the audits of the
20 multi-disciplinary team working after Dr. Hughes's 12:51
21 review of the nine SAIs - you've already answered one
22 of them. In Recommendation 5, about the extended
23 tracking, which you remember, the problem for a few
24 patients, especially with prostate cancer, is that they
25 were started on hormones and subsequently not referred 12:51
26 for radiotherapy. Are you confident that that has been
27 picked up with the new system of extended tracking?

28 A. Yes. And certainly in terms of the audits that are
29 being done, you know the 5 out of 38 every week in

1 relation to the patients described, it would suggest
2 that they are being done. And that - again the
3 trackers were specifically employed to undertake that
4 function and to make sure all aspects of the treatment
5 was actually happening, yes.

12:52

6 MR. HANBURY: Yes. That sort of leads on to my second
7 question. The 5 out of 38 is roundabout 20%, I think
8 one of the slides said, obviously it's a variable
9 number week to week, but that obviously means that 80%
10 aren't looked at. Is that - I mean whose decision was
11 that to just do a sampling rather than looking at every
12 one?

12:52

13 A. I think because it's done on such a regular basis I
14 think the team decided that that was a large enough
15 figure to take, and I think within the capacity of what
16 the tracker can do, or the person who undertakes that
17 piece of work, I think in order to do it thoroughly
18 that's what they did. The cases are selected at
19 random. So they're not, you know, they're not chosen
20 as such. So we would hope that, you know, given the
21 volume of patients that are audited on an ongoing basis
22 that that should capture it. But I mean what we could
23 always do is occasionally do a check on 100% and see if
24 that's borne out. Yeah. Yeah.

12:52

12:53

25 86 Q. MR. HANBURY: Okay. Thank you. One question as to
26 with MDMS are peer, and this was before your time back
27 in I think 2015, just plucking that out of the air, and
28 an external peer review marked the MDT process rather
29 low at 35%, and I suppose my question is: what,

12:53

1 looking back, should have happened then? Should there
2 have been intervention? Should that had been flagged
3 up to the Trust Board, for example? Or the cancer
4 services should respond in more robust way, it just
5 seemed to drift?

12:53

6 A. Well, I would - well, I would say that what should have
7 happened then is what I hope and think does happen now,
8 which is it would be escalated. So, it would, you
9 know, be escalated up through the directorate to SLT
10 and then potentially to Trust Board. But, yes, it
11 should have been escalated. And I think - again, I
12 mean my sense of that at that time was that there were
13 so many problems in terms of waiting times and in terms
14 of this, that and the other, that just, you know, there
15 was kind of an apathetic collapse almost. Yes.

12:54

12:54

16 87 Q. MR. HANBURY: Yes. Thank you. Okay. Thank you. Just
17 on - changing the subject slightly to sort of
18 pre-assessment and patient safety, the Inquiry are
19 aware of a couple of patients, two patients, who sadly
20 died fairly shortly after surgical procedures, and
21 there are various things about that, but part of it was
22 pre-assessment, which I think has been looked at in
23 detail. But I haven't seen any evidence of - those
24 cases still might have been picked up in the surgical
25 huddle, or the WHO checklist, but there seemed to be
26 not so robust processes among the surgeons and,
27 therefore, surgery went ahead when it perhaps should
28 not have done. I mean are you - can you assure the
29 Inquiry those - as far as you know those processes are

12:54

12:54

1 now more robust?

2 A. My sense is that they are better than they were before,
3 but I haven't got all of the data yet to suggest that
4 they're 100%. Okay.

5 88 Q. MR. HANBURY: Yes. Okay. 12:55

6 A. So one of the pieces of work that's due to start now,
7 and I think it was referred to yesterday in Fiona
8 Davidson's work in relation to the plan for future
9 audit and preoperative assessment, is to actually look
10 at all of this in a bit more detail, and this is going 12:55
11 to require more resource to sort out we think.

12
13 One of the anaesthetic leads is about to start a
14 quality - and we've freed up his time do it - a quality
15 improvement project around all of this to look at the 12:56
16 baseline data and then think about how all of that can
17 be reviewed and changed, because I think one of the
18 frustrations that the surgeons have currently is that
19 people come along in chronological order, have their
20 preoperative assessment, but at that point in time if 12:56
21 they're not fit for surgery, or there are other
22 interventions or investigations that need to take
23 place, there's not enough time between that and the
24 actual surgical procedure for that to be sorted out, so
25 they get lost off the waiting list, or off that point 12:56
26 on the waiting list, need that done before they can
27 come back on again, and there's always the potential
28 for capacity to be lost. So where they're aiming to
29 get to is to make sure that all of that is done in an

1 organised and planned fashion so that actually what
2 they have is a running score on the patients who are
3 due for theatre that they can then automatically
4 approach those who are already fit and passed for
5 surgery and pull off that list immediately. Right.

12:57

6 89 Q. MR. HANBURY: Okay.

7 A. So that is part of the work that's being done in
8 relation to all of this to try and reduce the
9 likelihood of people approaching theatre and not
10 actually being ready for theatre.

12:57

11 90 Q. MR. HANBURY: Yes. Okay. Thank you. Just one
12 question on Bicalutamide 50 and prescribing drugs, and
13 we heard from Tracey Boyce about the difficulties of
14 monitoring drug prescriptions which were given by the
15 clinicians in outpatients which then went to community
16 pharmacists and, therefore, there wasn't oversight, at
17 least in the hospital.

12:57

18 A. Mmm.

19 91 Q. MR. HANBURY: So what's to prevent that happening now?
20 what's to prevent that happening now?

12:57

21 A. Well, all of those prescriptions should originate
22 within the Urology Department. So they have a good
23 programme in terms of, I think, being aware of all of
24 this and making sure that everybody - I mean this is
25 talked about a lot in terms of being compliant with all
26 of this. Right. Our pharmacy processes at this point
27 in time aren't robust enough to pick up, you know, if
28 it's still being prescribed for the wrong reason, in
29 terms of whether it's 150 or 50 milligrams of

12:58

1 Bicalutamide. But certainly pharmacy is very aware of
2 this and, you know, will appropriately challenge if
3 they're concerned. But I think the ultimate solution
4 to this will again be the implementation of Encompass
5 next year. Now, I appreciate that's a year away. 12:58
6 Because the Northern Ireland version of Encompass
7 should bring together the different aspects of the
8 clinical pathway, and the artificial intelligence
9 that's built into the Encompass programme should try
10 totally the prescription of Bicalutamide to the 12:58
11 diagnosis and should be able to pick up that actually
12 this is outwith what it should be in terms of, you
13 know, the cancer disease process and metastasis.
14 So that artificial intelligence that kind of guides the
15 system and it should be helpful with that. 12:59
16 92 Q. MR. HANBURY: And that's available within that new
17 system?
18 A. Yes. Yes, it should be.
19 93 Q. MR. HANBURY: Thank you. The Getting It Right First
20 Time, Mr. Wolfe sort of asked you quite a lot about 12:59
21 that. In England, one of the real benefits we've found
22 in departments is when GIRFT can do sort of more of a
23 deep dive to compare or show where you as a department,
24 or we as a department could get better compared to
25 better performing departments in particular situations. 12:59
26 Is there any barrier to doing that in the future? That
27 is a sort of deeper dive from a GIRFT point of view.
28 You mentioned hospital episodes, statistics, and data
29 difficulties. Is that one of your plans for the

1 future?

2 A. There shouldn't be - the only barrier to that will be
3 finance. But certainly there wouldn't - certainly the
4 Trust wouldn't resist that in any shape or form, but we
5 would really welcome that, because the more information 13:00
6 we have like that the more useful it is. And I know
7 that regionally the Department has engaged with GIRFT
8 in terms of looking at, you know, not necessarily
9 Urology but, you know, the wider spend in relation to
10 value for money. So I think there will be 13:00
11 opportunities like that in the future, but I think it's
12 a really good idea actually.

13 94 Q. MR. HANBURY: Thank you. Just another thing on GIRFT
14 and surgical hubs, which are being pushed certainly by
15 Royal College of Surgeons of England a lot, and it is 13:00
16 great to hear you say the success of Lagan Valley and
17 now Daisy Hill Hospital. Just on that, just thinking
18 forward, is that still just day cases or do you see an
19 availability in the future for short stays and being
20 able, therefore, to do the more intermediate and major 13:01
21 cases, thereby potentially taking elective surgery away
22 from the main Craigavon site?

23 A. Yes. No, the plan would be to increase the complexity
24 of those cases on the site. Now, some of the
25 limitation on that, as you know, or you probably know, 13:01
26 was around the intensive nursing support
27 post-operatively, how that was being managed. So now
28 has been - there has been quite a lot of work done
29 around resolving all of that in terms of, you know,

1 giving it an identity and purpose and understanding how
2 that relates to post-operative surgical care. But
3 certainly as we build up the theatre team there, build
4 up the commissioning process there, and build up our
5 surgical complement and, you know, continue to work 13:01
6 with what's within the region, we would hope to be able
7 to enhance that. Because at the minute we run two
8 lists five days a week, and we'd really like to get to
9 the point where we're running three lists a day, you
10 know, lists seven days a week. So there's plenty of 13:02
11 scope there if the commissioning arrangement was right
12 and we had the staff available to do it. But as I say,
13 we've appointed the three new consultant urologists, so
14 over the next year to 18 months that becomes possible.

15 95 Q. MR. HANBURY: How did you achieve when many before you 13:02
16 didn't succeed?

17 A. Huge amount of work on the part, I have to say,
18 particularly of our HROD, you know, we worked with an
19 ethically sourced company in terms of doing
20 international recruitment, and some of our clinicians 13:02
21 went with the HROD staff basically to India to recruit
22 and worked really heavily on that. But we have
23 invested a huge amount of time and thought into making
24 sure that people who have arrived are having a good
25 time and that we're protecting them as much as possible 13:03
26 in terms of, you know, just giving them that support,
27 but it has taken a huge amount of effort, but it has
28 definitely been worth it.

29 96 Q. MR. HANBURY: Thank you. The last question from me is,

1 on the subject of medical leadership, because we've
2 noticed that the CDs in the past for Urology have
3 almost entirely been general surgeons and they have
4 lots of other things on their plates, obviously.

5 A. Mmm.

13:03

6 97 Q. MR. HANBURY: So it is good to know now that there's
7 Divisional Medical Director in the form of Mr. Haynes
8 for responsibility. That, I believe, is an interim
9 job, is that correct? I mean how do you see that
10 evolving? Will it stay like that or will that become a
11 Clinical Director in the future and will it be a
12 urologist.

13:03

13 A. Well, I think whether it's a Medical Director or a
14 Divisional Medical Director, they need their own
15 leader. Right.

13:03

16 98 Q. MR. HANBURY: Yeah.

17 A. I think having Mr. Haynes there as Divisional Medical
18 Director has worked extremely well. He's networked
19 into the entire region, he understands the business
20 extremely well, you know, he has a lot of credibility
21 in terms of his clinical practice and his relationships
22 with other people, and he's not frightened of
23 challenge, and to speak up in relation to, you know,
24 aspects of all of this, but at the same time, you know,
25 I think has been a really important and impressive
26 clinical leader in terms of driving forward change. So
27 - and I appreciate not everyone will have all of those
28 skills. So, I, I would be keen to protect that for the
29 next period of time - and I haven't had this

13:03

13:04

1 conversation with him yet - but certainly to protect
2 that over the next couple of years anyway until we get
3 this firmly embedded, but also I think it has been a
4 really good model to think about in terms of the other
5 services. And, again, you know, as you heard me 13:04
6 mention yesterday, I think one of the challenges for us
7 is developing a really strong community of medical
8 leaders, not just in Southern Trust but regionally.
9 You know, I was reflecting on this. I, at a point in
10 time, worked with a charity with medical students, you 13:05
11 know, where we basically developed medical students to
12 be leaders in relation to education and, you know,
13 handing back and working with school children and all
14 of those things, and huge potential in there, and yet
15 somehow as a system, you know, as they come through 13:05
16 then as junior doctors and even into consultancy, we
17 don't seem to support that terribly well as a region,
18 and yet I see other disciplines do it really well.
19 Like our nurses are phenomenal leaders, and
20 increasingly our social work staff and AHPs, but I 13:05
21 don't see exactly the same impetus in relation to
22 medical leadership here and I think it needs to be
23 given that.

24 MR. HANBURY: Okay. Thank you very much. That's all
25 from me. 13:05

26 CHAIR: Thank you, Mr. Hanbury. Dr. Swart.

27 99 Q. DR. SWART: Thank you very much for giving us such a
28 clear account of your interpretation of some of the
29 many documents that we've read. What come through

1 quite strongly is the spirit of improvement, and the
2 desire to improve, and also a lack of defensiveness, I
3 would say, which is useful, and I just want to ask you
4 in a bit more detail about a few things which are
5 particularly interesting in terms of the improvement
6 journey.

13:06

7
8 So the first one is about your External Reference
9 Group.

10 A. Yes.

13:06

11 100 Q. DR. SWART: So, from your evidence this has been a
12 positive thing. It's clearly a very sensible thing to
13 do. How did you go about choosing the members of that
14 group?

15 A. The first person I - so I think as I suggested in the
16 last couple of days, I approached a few trusted
17 advisers, you know, people that I normally would speak
18 to outside the Trust, and they suggested - there were
19 two or three of those people suggested Dr. Tom Frawley
20 to me.

13:06

13:07

21 101 Q. DR. SWART: Yes.

22 A. And then I had the conversation with him, but at the
23 same time - and I mean I had this with all the support
24 of my own leadership team because, you know, we were
25 all grappling with the same issue, but I had the
26 conversations. And, you know, took their sounding on
27 all of that, spoke to Dr. Frawley. I also had a really
28 positive experience, I have to say, when I did the
29 Scottish patient safety fellowship training and, you

13:07

1 know, I had met Robbie Pearson and Simon Watson during
2 all of that and, you know, they stuck out in my mind as
3 people who really authentically understood the NHS but
4 also understood about improvement and the need for use
5 of data and everything else. So they were obvious 13:07
6 people I think to go and speak to. And then what came
7 out of that as well then, or alongside that, you know,
8 it was suggested to me I think by our own Director of
9 Nursing within the Trust, Heather Troughton, in
10 relation to Mary Hinds, who was previously - I mean 13:08
11 again very highly regarded. I had known Mary in the
12 past, as I say, whenever she was, you know, a Director
13 of Nursing, but I also knew that she had been involved
14 in turnaround teams in the past in terms of giving
15 advice. And Hugh McCaughey, obviously very long and 13:08
16 extensive experience working as a really highly
17 regarded Chief Executive in the South Eastern Trust,
18 had then, you know, worked for the last number of years
19 in guiding NHS Improvement England and, again, very
20 embedded in quality improvement. And then, as I say, 13:08
21 Veryan Richards, she and I had done a lot of work
22 through the Royal College of Psychiatrists, and I was
23 really very struck by, you know, the ethical approach
24 to what she did. And like there wasn't anybody - you
25 know, I would really have liked to have had more than 13:08
26 one Veryan, but locally I couldn't, you know, it wasn't
27 easily obvious to me who else was around to do that.

28 102 Q. DR. SWART: Yes.

29 A. And I think, you know, the other thing that helped in

1 all of that was - and hopefully is didn't introduce
2 bias - was through some shape or form all of us had
3 established relationships with the people involved,
4 whether distantly or recently, but not particularly
5 while I was in this role but in different roles, and I 13:09
6 think, you know, I trusted them, and I think they
7 probably understood very well what it was we were
8 trying to achieve, and I have to say they have been
9 extremely generous with their time and thinking in
10 terms of supporting us. 13:09

11
12 Now I have no doubt there are other people that we
13 could have included, but as a manageable group they
14 came together and they helped us think about this, and
15 they also worked - they have worked extremely well I 13:09
16 think with our Senior Leadership Team in terms of
17 really challenging us and helping us think about
18 things. So there's no science involved, it was purely
19 based on...

20 103 Q. DR. SWART: Yes, yes. No, I'm just interested because, 13:09
21 you know, there are different ways of going about it.

22 A. Yes.

23 104 Q. DR. SWART: I think you've highlighted the importance
24 of a bit of a relationship and trust?

25 A. Yes. 13:10

26 105 Q. DR. SWART: The sense I get from the papers as well
27 they were trying to be quite pragmatic.

28 A. Yes.

29 106 Q. DR. SWART: It wasn't meant to be too sort of detailed

1 and hypercritical on every occasion. What did the
2 Trust Board - how did the Trust Board react? So you've
3 agreed it with your Senior Leadership Team. How did
4 you talk to the Chair and the Non-Execs about this?
5 Was it met with any resistance? Were they supportive 13:10
6 of it? Were they afraid of it? Was there any
7 difficulty there?

8 A. No, there wasn't. I think, Eileen, you know, the first
9 conversation in relation to that was the conversation I
10 had with Eileen Mullan and, you know, it was explained 13:10
11 to her in terms of having external experts to help us
12 think our way through this.

13 107 Q. DR. SWART: Yes.

14 A. Because we knew it was a very complex problem, and we
15 knew the history of it in terms of some of the things 13:10
16 we had grappled with at an early stage, and she was
17 very supportive of this. You know, I think she saw the
18 value in it and, you know, there hasn't - she spoke to
19 - I mean she knows some of the members on the Panel and
20 I think has spoken to them at various stages. 13:11

21 108 Q. DR. SWART: Yes.

22 A. And she had a conversation with the Chair of NHS
23 Improvement Scotland as well, because obviously Robbie
24 and Simon were both coming from that organisation,
25 which was really helpful. And when I went to Scotland 13:11
26 I met with the Chair with NHS just to make sure she was
27 on the page, you know, at Robbie's suggestion. So, no,
28 that worked well. And I think, you know, Mary Hinds
29 and Veryan have been to our Trust Board, some of the

1 others have listened in to Trust Board. You know, I
2 think Tom Frawley has - I don't know, I haven't been
3 present, but I think there have been conversations
4 between them in terms of just the progress that we're
5 making. But, no, I don't think the Trust Board 13:11
6 certainly felt intimidated or threatened by it, no.

7 109 Q. DR. SWART: And, you know, I get a sense that it would
8 have given you all considerable confidence.

9 A. Yes.

10 110 Q. DR. SWART: was there anything that came up early on 13:12
11 that you really was taken aback at and you found very
12 challenging in terms of the questioning aspect of their
13 input, you know, anything that really made you think
14 "Oh, I'm finding that a bit difficult", or not?

15 A. I think - just to think back on all of that, I think 13:12
16 probably some of the more difficult conversations were
17 in relation to what Veryan presented, you know, because
18 she listens to the Inquiry each time it's in open
19 session and then reflects on that, and she puts some
20 really challenging questions to us. 13:12

21 111 Q. DR. SWART: was that hard to hear, or did you think it
22 was unfair, or what was the reaction?

23 A. No, I don't think any of us thought it was unfair, I'm
24 just trying to remember. But certainly I think it
25 certainly was hard to hear sometimes, because it was 13:13
26 very honest.

27 112 Q. DR. SWART: Mm-hmm.

28 A. But, you know, it was done always in the spirit of
29 trying to get us to think and to challenge us. So it

1 definitely didn't land poorly, but it was - a few times
2 there were kind short and sharp intakes of breath and
3 we thought "Gosh, right, I really hear that", you know.

4 113 Q. DR. SWART: I understand your thinking about coalescing
5 this now into your own - I think you call it 13:13
6 transformation and improvement function - which will,
7 you know, obviously be an ongoing very important
8 committee, I would have thought. How are you going to
9 keep the energy that you've got from this external
10 group flowing through that in terms of having the 13:13
11 little critical friend on your shoulder? Have you
12 thought about that, whether you need any further touch
13 points? Because I imagine this has brought a lot of
14 energy into some very complex problems, which actually
15 most Trusts have one way or another, but if you're 13:14
16 going to really take it forward you've got to keep that
17 going, haven't you?

18 A. Well I'm sure other people do it better, but I think
19 that it's really hard to run and lead an organisation
20 like this without having people outside to touch base 13:14
21 with, because otherwise I think you can become
22 extremely tram-lined in your thinking and develop blind
23 spots really quickly.

24 114 Q. DR. SWART: Yes.

25 A. And given our experience of that, it hasn't been good, 13:14
26 and I'm keen to avoid it. So I think we definitely see
27 the next stage as, you know, working towards the, you
28 know, the process that Margaret will lead in relation
29 to transformation, and I don't think we've quite

1 thought our way into actually where then will we get
2 the listening and the support from outside? But, you
3 know, I do agree, I think we definitely need it.

4 115 Q. DR. SWART: I was thinking also of, you know, this is -
5 it's a very sensible pragmatic approach, "we'll get 13:15
6 some help with this, it's a big issue".

7 A. Yes.

8 116 Q. DR. SWART: You're working in the context of Northern
9 Ireland, which is a relatively small place. I've
10 struggled to understand a little bit at times where all 13:15
11 the direction comes from in terms of Trusts, but is
12 this not something that could be replicated in terms of
13 learning across the other Trusts? Have there been any
14 discussions, particularly on the quality and safety
15 side with the Chief Medical Officer, in terms of really 13:15
16 trying to make the most use of data, plus the cultural
17 side? Where do you see that going, because it would be
18 a pity if it is just the Southern Trust learning in
19 this way?

20 A. Well, I know that - so Dr. Frawley is Chair of the 13:15
21 Western Trust, and I know that he has said to me, you
22 know, at times when I've apologised for the amount of
23 time events might have been taking up, he will reassure
24 me by saying that he has found this an enormously
25 helpful process and that it helps him think about his 13:16
26 own business. Right.

27 117 Q. DR. SWART: Yes.

28 A. I think because, you know, some of this has felt very
29 internal and personal, and I'm not sure we've talked

1 about it very widely, but I think we need to change
2 that.

3 118 Q. DR. SWART: Yes.

4 A. Certainly the Department of Health would be aware of
5 the work that we've undertaken, but not in the detail 13:16
6 we've described in here. So - and I haven't had a
7 direct conversation with the Chief Medical Officer
8 about it, but I would know that he would be aware of,
9 you know, some of the work that has gone on through the
10 Urology Assurance Group, because he has been involved 13:16
11 in that, and then through some of the work that would
12 have occurred whenever I was part of the Medical
13 Director's Group, and Stephen Austin with him now in
14 the Medical Directors Group with the CMO. So I
15 definitely think that's worth pursuing further in 13:16
16 relation to data.

17
18 The other person I think who is interested in all of
19 this is the Chief Nurse. And, again, Maria McIlgorm
20 came from Scotland, so she's very familiar with this 13:17
21 kind of approach.

22 119 Q. DR. SWART: Yes.

23 A. So I think we would be pushing on an open door, but
24 what we've got to do now is create the opportunity for
25 that. So, yes, yes, I think that's a good thought. 13:17

26 120 Q. DR. SWART: Yes. I think it does represent that
27 opportunity to make a positive experience from
28 something that's been tough, I'm sure.

29 A. Yes. Yes.

1 121 Q. DR. SWART: Interested in your partnership with Mersey
2 Care.
3 A. Yes.

4 122 Q. DR. SWART: Now, what does that look like, that
5 buddying? Who actually has been able to go over there 13:17
6 and visit and how are they helping you exactly?
7 A. So I have - so Joe Rafferty, the Chief Executive, has
8 been here a few times and he has observed us.

9 123 Q. DR. SWART: Yes.
10 A. He has done some training with us, and I have been to 13:17
11 Mersey Care basically to view different aspects of
12 their organisation just to see how this translates on
13 to the ground, and some of the Directors have had Teams
14 meeting with their equivalent staff and some of the
15 others have visited. So it's been a combination. A 13:18
16 lot of that has been through the mental health
17 structures, the HROD, some discussion then in relation
18 to finance and the direction of travel around that. So
19 mostly it's there. And then I'm due to have another
20 visit with Joe Rafferty in April time to go back again 13:18
21 just to, you know, talk about this work and then to
22 think about some of the...

23 124 Q. DR. SWART: How are you going to get it on the ground?
24 I mean that's the issue, isn't it? I mean it's
25 impressive work, I've had experience of it in the past 13:18
26 in theory, I don't know it personally, but there is
27 quite a big transition between understanding the value
28 of it and getting it done.
29 A. Yes. There is. Yes. Yes. Yes.

1 125 Q. DR. SWART: Is this still at the planning stage then,
2 from your point of view? You've chosen then someone to
3 help you with this, is that where this is?
4 A. Well in terms - so the main - so their - the focus of
5 our discussions with them have been around just an open 13:19
6 culture, and also then in relation to good governance
7 and what that looks like.
8 126 Q. DR. SWART: Yes. Yes.
9 A. Now bearing in mind that they're a Mental Health and
10 Community Trust. 13:19
11 127 Q. DR. SWART: Yes. Slightly different.
12 A. But they've very good working relationships, as I
13 understand it, with the rest of Liverpool. But - so in
14 relation to the just and open culture, I know that
15 Vivienne, our Director of HROD, has been in contact 13:19
16 with Amanda Oates, and I've spoken to her as well in
17 terms of how they've rolled this out. It's not a quick
18 process. It takes a while.
19 128 Q. DR. SWART: No. That's why I am asking.
20 A. Yeah, and it has to be lived and breathed, and you have 13:19
21 to be authentic about it. So we just have to work our
22 way steadily through it. So, you know, there is
23 something about how we check each other's behaviours at
24 time as well and, you know, the Senior Leadership Team
25 is not behind the door in telling me "you need to wind 13:19
26 your neck in" or, you know, "behave yourself", and vice
27 versa. So I think that's a good start, and we will -
28 at times we have to do that publicly. And I think then
29 coming with that expectation at each level of the

1 organisation is really important, but getting it onto
2 the ground I think is still patchy. I can see it in
3 some areas, I can't yet see it in others, and that's
4 going to take time.

5 129 Q. DR. SWART: Okay. You also talked about serious 13:20
6 incidents, and I'm sure you know there's a lot of
7 revision of the serious incident framework in England.
8 The principles of it are the very things you've talked
9 about. So it's involving learning on the ground,
10 involving the patients and the staff, all of that kind 13:20
11 of thing, much more openness that kind of goes along
12 with the just and open culture a bit. What's going to
13 happen - is it planned in Northern Ireland, do you
14 think, to learn from that English new approach to do
15 something different? Why would you not sort of try and 13:20
16 encompass some of that? What do you think should
17 happen? Because I can see all those strands in your
18 thoughts, but what I'm not clear about is what's
19 happening in Northern Ireland as a whole and whether
20 that will be redefined in a way that makes it all more 13:21
21 manageable and focuses more on learning and staff and
22 patients on the ground, what's your view of where
23 that's going?

24 A. It is led - the review of this at the minute is led by
25 Seamus O'Reilly, who was previous Medical Director in 13:21
26 the Northern Trust, and he presented to us late last
27 year in relation to the progress of this work, and I
28 think he - my sense is he would share the view that
29 this, this has to be fit for purpose, and not go on

1 forever and a day to yield results, and it has to be
2 concentrated on improvement. So I think that's very
3 firmly fixed in his mind. Now the outworkings of it
4 haven't come through yet. I think there is always a
5 tendency in Northern Ireland to want to have somebody 13:21
6 to blame. Right.

7 130 Q. DR. SWART: Yes.

8 A. And I think we need to get away from that.

9 131 Q. DR. SWART: Yes.

10 A. I think getting it - I think convincing health and 13:21
11 social care I think should be straightforward, but then
12 there's the wider public opinion in relation to that, I
13 think that's the bit that has to be challenged.

14 132 Q. DR. SWART: Yes. I was thinking more of the new
15 framework that's been introduced in England. 13:22

16 A. Yes. Yes.

17 133 Q. DR. SWART: which completely moves away from the
18 traditional serious incident, and I think the intent
19 was to make it simpler and to avoid the blame.

20 A. Yes. Yes. 13:22

21 134 Q. DR. SWART: I don't know how well it's actually working
22 because it's fairly new.

23 A. Yes. Yes.

24 DR. SWART: But is it your view that it would be wise
25 to learn from Scotland as well, and England, and bring 13:22
26 that altogether to say "Actually, what we have in
27 Northern Ireland, it isn't working, they've
28 acknowledged that", but it's sort of getting on with
29 something else quickly, and I think you've done a pilot

1 which you found very helpful, are you going to be able
2 to personally contribute to that, do you think, on the
3 basis of your experience with this Inquiry and so on?
4 A. Yes. No, I think so, and he has taken our feedback in
5 relation to that and in feeding back to it. But I 13:22
6 agree with you. I think if we could get closer to what
7 the English model is, I think that would be much more
8 helpful.

9 135 Q. DR. SWART: Another thing you've talked about, which is
10 your desire is to have a vision for the Trust and a 13:23
11 five-year plan, and I think this is - you're right,
12 this is actually very important, and it's easier to say
13 than do. You put values at the centre, which again
14 helps to align people. How do you see that
15 translating? I think you have consulted on the values 13:23
16 and vision so far, but how is that going to translate
17 into a meaningful planning process on the ground where
18 staff can contribute every year and feel they're
19 getting somewhere, so it gives them a bit of hope, I
20 think, if that can work well? And if you try and do 13:23
21 that, how will that fit in with an overall strategy for
22 Northern Ireland, do you think? I mean how are you
23 going to marry all this up?

24 A. Well, in relation to the corporate vision at this point
25 in time, you know, we're working our way through it and 13:23
26 we have identified those key areas in relation to
27 quality and safety, value for money, you know being
28 intentional, and then underpinning all of that with
29 data. So that's the key to what, you know, the

1 collective is coming back to tell us should be our
2 direction of travel. And I think that marries then -
3 in keeping with the advice from Mersey, what we have
4 done is decide that we will have one strategy but plans
5 to support.

13:24

6 136 Q. DR. SWART: Yes.

7 A. So the people plan, for example, which is part of the
8 mechanism for delivering out on just and open culture,
9 is developed. We've already just started to work our
10 way through that and look at, you know, in terms of how
11 we develop the organisation, deal with what previously
12 might have been disciplinary processes, is there a
13 different way of actually managing all of this?

13:24

14 137 Q. DR. SWART: Yes.

15 A. And, again, in relation to the safety plan that's been,
16 the patient safety plan that's been developed, the data
17 plan that's being developed, all of those aspects, to
18 try and then think about how do we - how do we focus
19 our energies obviously on those with our vision in
20 mind, but done through the lens of a just and open
21 culture. So everything, you know, we're getting
22 documents re written with all of that in mind and just
23 trying to work our way through it so it becomes part of
24 the way we do business.

13:24

13:25

25 138 Q. DR. SWART: Yes.

26 A. Then I think, you know, how that's delivered down
27 through the directorates piece by piece is important.
28 So they're doing it in, you know, through work with the
29 directorates and divisions, but also then in terms of

13:25

1 groups of staff. So again, you know, as I highlighted
2 earlier, you know, a couple of the groups of staff that
3 we're always anxious about are social care and Band
4 2/Band 3 administrative staff, because they tend to be
5 the most vulnerable in the organisation. And, again, 13:25
6 if we can work with them to demonstrate all of this and
7 build goodwill in terms of this is authentically how we
8 hope to do business, I think that should help, and then
9 continue to work down through the professional lines
10 with the rest. So, I mean we've in and around over 13:26
11 15,000 staff, I mean it's a lot of people.

12 139 Q. DR. SWART: It's a lot of people.

13 A. And we obviously have turnover in the organisation.
14 But I think, you know, if that's where we set our
15 culture, and that's the expectation, then as we recruit 13:26
16 people, you know, we're building it into our
17 recruitment processes and everything else, that people
18 come into the organisation choosing to adopt that
19 culture at an early stage, and we just need to keep
20 building it up. 13:26

21
22 Mersey would say it took five to seven years to
23 actually get it fully embedded. It's not quick.
24 But...

25 140 Q. DR. SWART: Yes. This is long term. I'm thinking 13:26
26 really - I've asked a few clinicians, you know, did you
27 meet in an annual planning process to discuss where
28 you're going, and all of that sort of thing, and it
29 seemed historically not to have been in the right place

1 in terms of making people feel that they could change
2 things, they could be involved, they knew what the
3 aspirations were.

4 A. Yes.

5 141 Q. DR. SWART: And I can see that this will fall out of
6 your vision, values, cultural work, but there is also
7 the issue of what's being done on a Northern Ireland
8 wide scale and that will influence it.

13:26

9 A. Yes.

10 142 Q. DR. SWART: I mean the first thing is, is that going to
11 be tied up? How do you see that working? Because I
12 can see people on the ground being quite confused as to
13 what's happening where? 15,000 people is a lot of
14 people to get to. What is your plan for that?

13:27

15 A. Mm-hmm. Mm-hmm. I think, you know, we're not - I mean
16 you will know we're not in a position to direct the
17 rest of Northern Ireland in terms of how it does
18 it's...

13:27

19 143 Q. DR. SWART: No. That's why I'm asking. Yes.

20 A. Yeah. But I think the best that we can do in relation
21 to that at this point in time is to lead by example and
22 to keep forging forward in relation to this.

13:27

23 144 Q. DR. SWART: Yes.

24 A. So some of that I think, you know, has been through,
25 you know, initiatives like the stabilization of our
26 workforce, starting to think about how we take these
27 bigger initiatives on board, you know, such as Daisy
28 Hill, such as some of the other things, and how do we
29 work with that to actually drive improvement, and be

13:27

1 fairly relentless in, your know, our mission and vision
2 around that so that people can see that we've...

3 145 Q. DR. SWART: So they can see results.

4 A. Yes, because that is the intentionality, yes, and the
5 persistence. 13:28

6 146 Q. DR. SWART: Medical management, we've talked about this
7 a bit. Clearly winning the hearts of your medical
8 staff is actually quite important and I'm sure you
9 value medical leadership, you've put some effort into
10 redesigning that. Do the medical leaders have enough 13:28
11 time at present?

12 A. I think those jobs are still very pressurised in terms
13 of the depth and breadth of what they need to get to,
14 and there has definitely been an improvement with it,
15 but I think it's still not there. And particularly in, 13:28
16 you know, a speciality like Medicine that encompasses
17 some of the other smaller specialties within that, I
18 have really seen the benefit of having two Divisional
19 Medical Directors for surgery, and I think we do need
20 to think our way through what the medical one then 13:29
21 looks like because we're about to have a retirement on
22 that.

23 147 Q. DR. SWART: And have you worked out the balance
24 between, do you have a Clinical Director for every
25 speciality or do you have a clinical lead or, you know? 13:29
26 Are people recognising the value of these roles? It
27 doesn't really matter what name you give them, they
28 need time and support to lead their colleagues. Is
29 that better recognised now do you think by the medical

1 body or is it still lagging behind? Is there a funding
2 issue for either the time or the development required?
3 A. I think, again I think it's patchy. I think some areas
4 value it more than others, and where it is valued I can
5 see it just, you know, produces a huge amount of value. 13:29

6 148 Q. DR. SWART: Yes.
7 A. But, you know, I think particularly in persuading some
8 of the, you know, recently appointed consultants in
9 particular to start to take on and develop these roles,
10 I think that is a bit of a challenge, but we need to 13:30
11 have, you know, we need to have succession planning and
12 thought and everything else into that. And, again,
13 it's about, you know, how we support each Divisional
14 Medical Director to grow their own community of leaders
15 within each of the directives. 13:30

16 149 Q. DR. SWART: And have you got a fully developed
17 development plan that's funded?
18 A. Not yet. No, not yes. And, again, that's part of the
19 discussion that's been ongoing in relation to where do
20 we get that help? So now that we, as I say, we're 13:30
21 about to appoint the latest recruits into that because
22 of just turnover, I think, you know, part of the plan
23 in relation to '24/'25 is to develop the whole medical
24 leadership side of it.

25 150 Q. DR. SWART: Just taking that up to Board level. You've 13:30
26 got a very big Trust, you've got a lot of different
27 disparate services. Do you have enough clinical input
28 at Board level and/or in the senior leadership team?
29 What's your view on the bandwidth that's covered?

1 A. I think that when I counted up - wait until we see -
2 five of our out of 12 - six out of 12 of the Senior
3 Leadership Team come from clinical backgrounds - seven
4 of us actually. Yeah, seven, come from clinical
5 backgrounds. So there will always be a sympathy 13:31
6 towards that in relation to it. Now, not everybody is
7 bang up-to-date all of the time and they don't
8 understand everything, and I wouldn't expect them to,
9 it's too much. But - so I do think that it is a Board
10 that's sympathetic to clinical work. What we try to 13:31
11 do, but I think could do better, is bring the clinical
12 voice in, you know, in terms of presentations and in
13 terms of other things. So, you know, in relation to
14 surgery, for example, we brought along the Clinical
15 Directors and Divisional Medical Director in terms of 13:31
16 informing the Board, informing SLT in terms of the
17 changes that are being made there. The same with
18 Cytology. We've done it in Obstetrics and Paediatrics.
19 So we do try to introduce it that way to make sure
20 that, you know, all of the responsibility of that 13:32
21 doesn't fall back on the directors and we're getting a
22 very clear clinical picture. But there's always room,
23 I think, to do more of that, but we do try and do it,
24 yes.

25 151 Q. DR. SWART: Oversight of cancer, clearly historically 13:32
26 that was an issue I think.

27 A. Yes.

28 152 Q. DR. SWART: And it's improved now. Is there a forum
29 now where cancer - all the issues with cancer are

1 brought together and overseen? I'm thinking
2 particularly of, yes, the 31 and 62 day target is very
3 important, but I would be used to, on a regular basis,
4 knowing up-to-date information about compliance with
5 peer review, about harm reviews for long waiters, about 13:32
6 strategic plans for cancer that were or were not on
7 track, where is that brought together?

8 A. So out of the cancer strategy, and I can't remember the
9 formal name of it, but it's a cancer oversight steering
10 group that's run by SPPG and the Department of Health 13:33
11 now. But from what I gather from its Terms of
12 Reference it's mostly involved with activity in terms
13 of all of that.

14 153 Q. DR. SWART: It is, yes.

15 A. Yes. And the part that the clinicians are really 13:33
16 worried about is that NICaN, to use their words, is
17 allowed to wither on the vine. Because the Northern
18 Ireland Cancer Network is the region, is the area that
19 really held the ring in relation to that in the past in
20 terms of bringing evidence base, the clinicians 13:33
21 together, all of that, to inform the quality of all of
22 that.

23 154 Q. DR. SWART: Yes.

24 A. And I think certainly the clinicians are really worried
25 about losing it, and they're also really worried that 13:33
26 as a result of that actually the takeup in terms of the
27 clinical reference groups for each of the cancer
28 pathways isn't as well represented because of a sense
29 that actually the quality of cancer provision, you

1 know, isn't being strongly represented by NICaN at the
2 minute, and I think that was always a useful mechanism
3 for bringing clinicians into the system and taking
4 leadership of these groups.

13:34

5
6 So I am concerned on two fronts. I'm concerned that
7 their worries are realised in relation to NICaN, and I
8 am also concerned about the fact that the perception
9 certainly is that there is a lack of medical presence
10 in relation to those CRGs.

13:34

11 155 Q. DR. SWART: But what happens within the Trust though?
12 Is there a way that this is brought together within the
13 Trust to say "Here's how we're doing on cancer
14 overall", because you've got your Cancer Directorate,
15 where does that go? Does it go to the Senior
16 Leadership Team? Is there a director responsible that
17 oversees that on an annual basis at least to say "This
18 is where we are"?

13:34

19 A. So the Surgery and Cancer Directorate have oversight of
20 a lot of that, but I think - so what's managed down
21 through the cancer division is all - they have
22 oversight in relation to that, and the Assistant
23 Director and Divisional Medical Director should have
24 oversight of that. Separately then in terms of the
25 gynae cancers, that's dealt with in OBs and Gynae
26 division. But I think increasingly what they're
27 thinking of is: How do they marry that learning
28 across? And then the same with dermatology, for
29 example, which tends to be - and thyroid and lung -

13:35

13:35

1 tend to be managed up through Medicine but, again, need
2 to be brought in underneath that Cancer division...

3 156 Q. DR. SWART: So I'm used to it coming together in a
4 performance meeting of the Board.

5 A. Yes. Yes. 13:36

6 157 Q. DR. SWART: To say "By the way, this time we're saying
7 we're going to give you this other information." So I
8 was struck when you did the quoracy - we had a quoracy
9 table, and GI, I think it was Upper GI and lung had a
10 very poor quoracy on MDTs. 13:36

11 A. Yes. Yes.

12 158 Q. DR. SWART: with lots of issues, clearly.

13 A. Yes.

14 159 Q. DR. SWART: Now that is something, I think, that people
15 - and I think you would agree - people should be aware 13:36
16 of and it should be escalated up alongside performance
17 figures. Now, that could usefully be done as a region,
18 clearly, with the population size that's there, but
19 also a Trust Director could usefully have oversight of
20 it. Is there a plan to do that, to bring that in a bit 13:36
21 so you're not looking just uni-dimensionally at the
22 access targets as performance with these other
23 performance measures? Have you thought about that?

24 A. There is no formal plan as yet, but it certainly has
25 stimulated conversation in terms of, you know, how we - 13:36
26 how - does form follow function in terms of these
27 divisions, and are they actually doing what they were
28 originally set up to do. So there's no formal plan,
29 but there definitely have been internal conversations

1 about this, yes.

2 160 Q. DR. SWART: Very quick one on job planning. You
3 mentioned there's no link with Quality, and it's a
4 problem, and I can see that.

5 A. Yes. 13:37

6 161 Q. DR. SWART: when job planning first came in there was
7 the opportunity to put objectives in, and it's quite
8 simple to say tam objective for Radiology, or a general
9 discipline would be to meet the NICE Guidance No. 1,
10 whatever it is, and the college standards for this. 13:37
11 Have those discussions taken place at all? There's
12 some simple things that can be done without specific
13 quality metrics that look terribly complicated. But if
14 it hasn't happened, why not? why do you think nobody
15 has brought quality into job planning? 13:37

16 A. I think it has got lost over time and, you know, a lot
17 of the job planning tends to be focused around, as I
18 said, activity rather than quality.

19 162 Q. DR. SWART: Yes.

20 A. But I think it needs to be given more emphasis because, 13:37
21 you know, the appraisal is supposed to be against those
22 objectives in the job planning.

23 163 Q. DR. SWART: I know.

24 A. But the two things do not read across.

25 164 Q. DR. SWART: So that's on the radar and hopefully - 13:38
26 yeah.

27 A. Yes. Yep.

28 165 Q. DR. SWART: Leadership walks. Clearly you've done a
29 lot of work. It's evolving, as you say. One never

1 gets this entirely right. But people on the ground
2 would, I think, very much value the sort of informal
3 quality conversations. What is your view on that in
4 terms of do you think there's enough of that so that
5 you understand what's going on in people's heads, that 13:38
6 you are able to get a sense of that or your colleagues
7 are? What's your view of that? Because there's the
8 formal round, but there's also "what is it people are
9 feeling today?", and that requires the building of a
10 bit of a relationship, I think. 13:38

11 A. Well the way - because - I was just thinking about that
12 in terms of that table that was put up, because the
13 other piece of information we publish every month is
14 the meetings that Eileen and I have had with external
15 agencies and internally. 13:39

16 166 Q. DR. SWART: Yes.

17 A. And I was trying to remember do I record all of those
18 on that, and I think I - I'm not sure it's consistent.
19 So we do have a record of all of that. But, you know,
20 what we tend - I think there will be - I mean last 13:39
21 week, for example, when I was on strike day I was round
22 virtually every department in the hospital speaking to
23 people.

24 167 Q. DR. SWART: Yes.

25 A. And actually got a lot of information out of doing that 13:39
26 just in terms of where people were. And there are
27 other times, for example, if the Emergency Department
28 is under huge pressure I will go in, and the directors,
29 everybody will go. But they'll also - like Trudy's

1 office, her second, you know, her base office is just
2 up the stairs, so she'll be there on a regular basis,
3 or they'll be up to see her. So we do get a ready
4 feed. I think the areas that trouble me sometimes are
5 the areas that are quiet, that we don't have as much 13:39
6 access to.

7 168 Q. DR. SWART: Yes.

8 A. So - and, again, we have been thinking about that. So
9 just, you know, and trying to get some of the feedback
10 in relation to that and asking some of the questions. 13:40
11 And then I know that, you know, I don't have any -
12 because I was Medical Director, and I know a lot of the
13 doctors involved, I don't have any hesitation in
14 texting people or ringing them to say "Can you give me
15 a rundown on this?". 13:40

16 169 Q. DR. SWART: Yes. I can see, yeah.

17 A. And I know the directors will do the same thing,
18 because I hear them talking about it. But we probably
19 could make that a bit more visible, you know, and I
20 think sometimes in the busyness of all of this, and 13:40
21 also in terms of how our behaviour adapted during Covid
22 and getting back into being in the room with people, I
23 think...

24 170 Q. DR. SWART: That's a good idea. My experience is that
25 the problems areas get lots of attention in the busy 13:40
26 areas.

27 A. Yes.

28 171 Q. DR. SWART: And the people in the back room can easily
29 get lost.

1 A. Yes.

2 172 Q. DR. SWART: But you're doing your weekly Teams
3 conversation, and that's an interactive conversation
4 from what you say. You tell them things and people can
5 ask you things. Your weekly Teams meeting for the 13:40
6 Trust?

7 A. Yes. Now, there's variability in that. Some weeks
8 people ask more than others and sometimes I am sitting
9 there in silence with people for a couple of minutes.

10 173 Q. DR. SWART: Yes. I recognise that. 13:41

11 A. Yes. while I fill in the gaps. But, yes.

12 174 Q. DR. SWART: And what are you trying to do with that?
13 what's your - in your head, what are you trying to
14 convey with those conversations, do you think?

15 A. well I think they serve a couple of functions. One of 13:41
16 them is to give the organisation - well, three
17 functions. I think one of them is to give the
18 organisation information, you know, about the things
19 that are troubling us or that we're celebrating.

20 175 Q. DR. SWART: Yes. 13:41

21 A. Another is to collect information, you know, from areas
22 that people are concerned about or want to point out to
23 us. But the third bit I think is to make, hopefully to
24 convey the honest impression that we are approachable,
25 you know. Because the directors very often I notice 13:41
26 will come on, and I don't ask them too, but they come
27 on to that call as well and they will chip in.

28 176 Q. DR. SWART: Mmm.

29 A. But I think it's about trying to flatten that hierarchy

1 in terms of, you know, "Just because you're A, B and C
2 doesn't mean that I can't have a conversation with
3 you", and I will notice when I am out and about people
4 will stop and have a chat with me.

5 177 Q. DR. SWART: Because they've seen your face, yeah. 13:42
6 A. Yeah. Yeah. And I may not know automatically who they
7 are, but they know who I am. Yeah. Yeah. Yeah.

8 178 Q. DR. SWART: I'm getting there. Safety strategy, I was
9 interested in that.

10 A. Yes. 13:42

11 179 Q. DR. SWART: And you had a phrase, "Are we safe today?".
12 A. Yes.

13 180 Q. DR. SWART: Now that's the important question, isn't
14 it? And it isn't just about harm. I was - I noticed
15 in your strategy that you acknowledge that, that it's - 13:42
16 measuring harm is one part of it, and the other part is
17 "are we doing it right?", measuring that, and then
18 alongside of that is the voice of the patient, and
19 involving them, being kind to them and all of that. So
20 the harm is much more developed, I think, than the "are 13:42
21 we doing it right?", part of patient safety.

22 A. Mm-hmm.

23 181 Q. DR. SWART: what are your plans for that in terms of
24 being able to say - and Mr. wolfe asked you about
25 quality score cards, and that was probably in his mind, 13:42
26 you know, to say, you know, "Our stroke service is safe
27 because we are meeting these five standards, which are
28 all related to quality of care", or "Our urology is
29 safe because", or whatever, alongside obviously

1 real-time data. I mean I think those things are
2 difficult to do well.

3 A. Mm-hmm.

4 182 Q. DR. SWART: And, again, should that be done Trust by
5 Trust, or should it be done across Northern Ireland, or 13:43
6 what's your view on all of that?

7 A. I mean, I think each Trust probably tries to do it in
8 its own way. I think if we had a standardised approach
9 to it across Northern Ireland it would be really
10 helpful. Now SPPG I know has begun to look at the 13:43
11 Australian framework for starting to collect some of
12 the quality measures, but it is at a very infantile
13 stage. And, you know, we haven't developed it yet
14 across the Trust in terms of our understanding in
15 relation to how that will be developed, but even to 13:43
16 start with something like that, or to start with some
17 of the ideas pulled out of it, I think would be really
18 helpful, because there is a lot of emphasis on
19 activity, but - and understandably, given our waiting
20 times, and I don't take away from that. 13:44

21 183 Q. DR. SWART: Mmm.

22 A. But it can't be, it can't be a trade off against
23 quality. We need both.

24 184 Q. DR. SWART: Yes. Yes. I think they recognise that
25 from the conversations. 13:44

26 A. Yes.

27 185 Q. DR. SWART: So you've talked about the time commitment
28 for this. You've talked about, you know, some positive
29 bits. I would think that starting when you did as

1 Medical Director and Chief Exec, and with all the
2 challenges you've had in the Inquiry, it has actually
3 been quite helpful for making change, I would suggest,
4 however difficult it might have been.

5 A. Yes. 13:44

6 186 Q. DR. SWART: what has been the biggest improvement that
7 you've seen? You know, you've mentioned loads and
8 loads of things, but what's the one thing you would
9 singled out as having improved over this time that you
10 found that you've got satisfaction from personally? 13:45

11 A. Well, there are a few examples, but I think probably
12 the one that, you know, we've probably talked about
13 most recently within the Trust, there was - I think I
14 mentioned there was a year when I was Medical Director
15 and Director of Mental Health? 13:45

16 187 Q. DR. SWART: Mm-hmm.

17 A. And one of the things that, whenever I came into the
18 Trust the previous director had just arrived and had
19 raised concerns about the quality of care in mental
20 health services, so we had an invited review. 13:45

21 188 Q. DR. SWART: Yes.

22 A. And that was really helpful in terms of just
23 identifying some things. And, you know, took that plan
24 really seriously, and he and I worked our way on it,
25 along with the Director of Nursing, and it came through 13:45
26 to fruition. You know in recent times, and we're now
27 through to the director now who succeeded me who, you
28 know, kept the momentum going and built on it with the
29 team and really developed it. So, you know, we've now,

1 within all of that, they've now been acknowledged by
2 the colleges having safer wards. So they really went
3 from strength to strength within all of that, you know,
4 whether in learning, disability, and mental health, you
5 know, inpatient unit, and the dementia wards, and 13:46
6 really went from strength to strength. Then in terms
7 of some of the community development and the
8 accreditations and all of that, really building on it.

9
10 So I think that has been enormously satisfying, because 13:46
11 you could see where actually it was taken seriously and
12 it was built on, and I think in terms of giving me the
13 confidence, and hopefully other people the confidence,
14 to see that actually, you know, if you identify
15 something, are really persistent about trying to make 13:46
16 it happen and get it through the other end, you can
17 effect change. Now you can't do it all at once.
18 Right.

19 189 Q. DR. SWART: Mm-hmm.

20 A. I've also seen it with - I mean we have a great acute 13:46
21 care at home system, which is part of our hospital at
22 home, and I can see how that's developed over time in
23 terms of just constantly increasing the number of
24 frail, elderly people we manage in the community. I
25 have seen it in relation to the childrens' homes in the 13:47
26 way we've changed the internal fabric of those, because
27 some of them were really rundown. And then in relation
28 to Urology and some of the work that's gone on within
29 surgical services, I can see how they've moved on and

1 developed as well. And then I can see other areas
2 where they maybe have come through problems and have
3 settled and are starting to get their feet, like Obs
4 and Gynae and Paediatrics. So I can see it everywhere.
5 There are also other areas that at times feel really 13:47
6 overwhelming, like the Emergency Departments.

7 190 Q. DR. SWART: Mmm.

8 A. But the rest of it I think holds the hope in the system
9 in that you can see, if you're really persistent and,
10 you know, determined to actually effect change and 13:47
11 improvement, you can actually with time get it, you
12 know, changed.

13 191 Q. DR. SWART: So going forward. There's huge challenges
14 in the health and social care system everywhere.

15 A. Yeah. 13:48

16 192 Q. DR. SWART: Huge financial challenges, huge quality
17 issues. How are you going to use that learning to
18 mitigate those challenges at Southern Health Care Trust
19 going forward, because this is going to keep going,
20 isn't it, this pressure and problems? 13:48

21 A. Yes.

22 193 Q. DR. SWART: So what do you think you've learned from
23 this that will allow you to mitigate it, and what will
24 those key mitigations be? You've mentioned keeping
25 going. What else do you think you will be personally 13:48
26 using as a tool to keep everybody focused?

27 A. Well, I think the use of data is really important in
28 all of that, you know. And, again, the emphasis at the
29 minute, and again it is part of our key vision, is

1 around adding value for money and about not, you know,
2 minimising the frustrating stuff in the system that
3 doesn't actually add to patient care. So some of that
4 will involve thinking, you know, for example, around
5 our clinical teams, and we've seen it with the Urology 13:48
6 Service, how we change some of - we don't need
7 consultants and nurses sitting in front of a computer
8 all day, but we do need them to do the clinical work,
9 because actually that's what they want to do and that's
10 what they're trained to do. 13:49

11 194 Q. DR. SWART: Mmm.

12 A. And why could we not then change that work around to
13 allow the administrative staff to do the rest of it?
14 So things like that I think we can get some gains with.
15 And then in terms of, you know, how we really work with 13:49
16 multi-disciplinary teams to get the most out of
17 everybody's expertise, and I think again Urology is a
18 good example of that, because we've shifted some of the
19 work that was traditionally associated with the
20 consultants into, you know, the nursing domains. And 13:49
21 then again, I mean when you look at - when you look
22 across the world and look at areas like Pakistan and
23 India in terms of how they manage their services with
24 actually a lot of, you know, nursing AHP input to
25 deliver really good services, you think there must be 13:49
26 scope in all of that in terms of how we do our
27 business.

28 195 Q. DR. SWART: Mmm. Well there is belief which I think is
29 borne out in evidence, that if you use quality

1 improvement well you will improve standards and reduce
2 costs.

3 A. Yes.

4 196 Q. DR. SWART: However, getting people trained do that is
5 not a small matter. 13:50

6 A. No.

7 197 Q. DR. SWART: Is there enough emphasis on that overall
8 and where should that be led from in Northern Ireland?

9 A. Well, I think it should be led centrally. Now I
10 completely appreciate at this point in time a lot of 13:50
11 the energy around data and data analytics and getting
12 the oversight of all of that at that minute has to be
13 invested in the rollout of Encompass, because this is a
14 huge programme.

15 198 Q. DR. SWART: Yes. 13:50

16 A. But beyond that I would hope that when we get
17 stabilised with all of that, with all of the Trust
18 areas involved, then the next iteration of that would
19 be about "How do we really use this information to
20 change the way that we do the business here?", you 13:50
21 know, and drive that forward.

22 199 Q. DR. SWART: And have you got enough of a voice in these
23 discussions and arrangements that are going on at the
24 moment, do you think, as a CEO, and has your Medical
25 Director got enough of a voice? 13:50

26 A. I hope so. I mean we do meet regularly. All of the
27 Chief Executives, we meet together every week on Teams,
28 and then we meet for a longer period of time once a
29 month. So, you know, to kind of change these ideas,

1 and working relationships are good. And then, you
2 know, we meet with the Department of Health, and
3 particularly the Permanent Secretary, on a monthly
4 business. So I do think that is taken seriously in
5 relation to how we're responded to, yes.

13:51

6 DR. SWART: Thank you. That's all from me.

7 A. Thank you very much. Thank you.

8 200 Q. CHAIR: I think a lot of the questions that I would
9 have wanted answered have been either answered in your
10 evidence or through Mr. Hanbury or Dr. Swart's
11 questions, but there's a couple of questions just - one
12 of the things that struck me, and you'll recall from me
13 writing to you about this, was issues about
14 communication, and even some of the documents that have
15 been called up the past couple of days, they show an
16 imprecise language, if I can put it that way?

13:51

13:51

17 A. Mm-hmm.

18 201 Q. CHAIR: And I just wondered - we haven't heard too much
19 about how that is being addressed. How are you
20 communicating better with those people who need to hear
21 the message, whether it's through the staff, whether
22 it's up to the Board, whether it is the patients, more
23 importantly, who need to know what it is that you're
24 doing, what it is that is affecting them - and we go
25 right back to the fact that patients are not included
26 in a letter about their care that goes to the GP. When
27 they see a consultant it's not compulsory here for a
28 consultant to write to the patient, many do, but not
29 everyone does. Is that not something that could be

13:52

13:52

1 mandated within the Trust without it having to be done
2 generally across the region?

3 A. So, some of the services - and within Urology they
4 write to the patient and copy it to the GP, and in some
5 of the other services they do the same thing, and I 13:52
6 think that some of those areas are more advanced in
7 relation to this than others. And when we have tried
8 it out in small ways in certain areas, what we found is
9 that the language is so technical that actually it has
10 created difficulties. So in order to get to that 13:53
11 point, what we have realised we will have to do - and,
12 again, this is in an early stage of thinking about it -
13 we will have to probably, and this sounds a bit
14 unusual, we will have to train the letter writers to be
15 able to write letters that actually can be understood 13:53
16 by the recipient, right, and that's going to take us a
17 bit of time. You would think logically it should be
18 very straightforward, but it's not as easy as you would
19 think it could be.

20 202 Q. CHAIR: Can I make a suggestion? 13:53
21 A. Yes.

22 203 Q. CHAIR: You have these 92, is it, service user group.
23 A. Yes. Yes.

24 204 Q. CHAIR: who were in the hospital, and you were worried
25 about the confidentiality of material, but it would be 13:53
26 quite easy, surely, to take some sample letters, to
27 redact those in terms of the patient's details and
28 names and dates of birth, and hand them to them and say
29 "Do you understand what's being said here?", and you

1 could, in that way, get some sort of feedback at least
2 from what is understood in terms of the communication?
3 A. Yes, we could certainly do that. I think that's a good
4 thought.
5 205 Q. CHAIR: And, you know, that would be a simple way to 13:54
6 address the confidentiality issue, if I can put it that
7 way.
8 A. Yes.
9 206 Q. CHAIR: And get some feedback that then could filter
10 down to the people who are writing the letters. 13:54
11 A. Yes. Yes.
12 207 Q. CHAIR: You know? At least it would make them stop and
13 think "well, I thought I had made myself clear, but I
14 obviously haven't", if that were the case.
15 A. Yes. Yes. Yes. 13:54
16 208 Q. CHAIR: Just in terms of, yes, Datix and the use of
17 Datix. I mean we heard universally from those people
18 who do actually use it, and a lot of people find it
19 very off-putting because of the system. I mean I think
20 there is a whole issue here about IT systems, and the 13:54
21 connectivity of them, and the user friendliness of them
22 within the Health Service and, you know, I hate to put
23 a dampner on the wonderful thing that is Encompass, but
24 anecdotally I've heard maybe that isn't all it is
25 cracked up to be either in terms of its usability. So 13:55
26 how can that be actually, in this day and age, you
27 know, we have such a wide range of tools at our
28 disposal on-line and so forth, how can regionally and
29 at a Trust level things be improved? I mean I'm just

1 coming back to being quite appalled by the fact that
2 Mr. Haynes wrote his own programme to provide a
3 dashboard for the team about who was doing what. You
4 know, surely that isn't a good use of a consultant
5 surgeon's time?

13:55

6 A. No, but unfortunately for the last 18 months
7 practically the entire IT Department has been taken up
8 with Encompass.

9 209 Q. CHAIR: Right.

10 A. So there are all these competing priorities in the
11 midst of all of that. So, no, I agree with you. In an
12 ideal situation you would have a clinician in the room
13 describing what it is exactly they need in an IT system
14 and being able to develop that. Yeah. No. And I
15 think in fairness, I think that's what Encompass is
16 aiming to try to do, and I appreciate there are
17 difficulties. What they tell us is that we are - along
18 with the Western Trust we will be the last Trust to
19 adopt it, and what they tell us is every time it goes
20 through a local iteration it actually improves. So
21 that's part of the promises...

13:56

13:56

13:56

22 210 Q. CHAIR: Fingers crossed!

23 A. So - but, no, I agree with you, I think there's an
24 inordinate amount of time spent on IT and, you know, it
25 does concern me always that, you know, because we all
26 know how to type after a fashion we end up doing things
27 on computers that actually would be better left to
28 someone else and there needs to be better use of
29 dictation and all of those kind of things. So, no,

13:56

1 that's definitely in our thought. And I know that, you
2 know, one of the pieces of advice that has come through
3 from the South Eastern Trust in relation to Encompass
4 is about really taking the administrative system
5 seriously at an early stage and building, you know, a 13:57
6 plan around all of that, because otherwise you end up
7 with clinicians actually spending a lot of time typing
8 when they should be doing other things, and it really
9 frustrates - it frustrates the whole system,
10 particularly the clinician, if they see that's how 13:57
11 they're using their time.

12 211 Q. CHAIR: Yes. And I think that's the problem.
13 A. Yes.

14 212 Q. CHAIR: You know things will only work, you know, if it
15 is simple for people to use. 13:57
16 A. Yes. Yes.

17 213 Q. CHAIR: And that seems currently not to be the case
18 with Encompass.
19 A. Yes.

20 214 Q. CHAIR: But, yes, one of the things that would concern 13:57
21 the Inquiry is - I mean - and first of all I should say
22 that the Inquiry recognises that the Trust is working
23 very hard to improve things and, you know, that will be
24 reflected ultimately in whatever we say. But one of
25 the things that concerns us is that the impetus that 13:58
26 has been caused by this Inquiry, for example, will be
27 lost, and the good improvements that are being made in
28 terms of governance require investment. For example,
29 you have gone at risk to put in place certain bodies to

1 carry out tasks, and with the financial constraints
2 there is a risk that what happened before could be
3 repeated here, that governance is the one that's easy
4 to cut back on because funds have to be put into the
5 frontline.

13:58

6 A. Mm-hmm.

7 215 Q. CHAIR: So how can you assure the Inquiry, first of
8 all, that that isn't going to happen? And if you can't
9 do that, is it something that we need to go to the
10 Department about to seek that assurance?

13:58

11 A. I think - I have been thinking about this, and I
12 suppose there is something about, you know, governance
13 has been done long enough across the NHS at this point
14 in time that I would presume there's a statistic
15 somewhere that suggests that out of an overall budget
16 this amount of it should be spent on governance,
17 whether it is 1% or 2% I don't know. It's not a huge
18 amount. But even to have that as protected in the
19 system would be really helpful, because then that means
20 that we automatically know then when we go to
21 Commission that there has to be cognisance given of
22 that.

13:59

13:59

23 216 Q. CHAIR: That's there.

24 A. So I don't know whether there's a better way into it or
25 not. But certainly from our point of view, you know,
26 we have worked so hard to try and improve the
27 government system it would be hard for us now to let it
28 go. But you can see maybe two or three Chief
29 Executives along the line when the memory of this is

13:59

1 lost again, and then how is that protected unless it is
2 built into commissioning.

3 217 Q. CHAIR: Okay.

4 A. Yes. So I think discussions around that would be very
5 welcome. Yes. 13:59

6 CHAIR: Okay. I think that's all that I have for you.

7 A. Thank you.

8 CHAIR: So thank you very much for your time. We know
9 - and I should say this in respect of all of the Trust
10 witnesses who have come to speak to us, it's been very 14:00
11 valuable to hear from them, not just to get the over
12 500,000 pages of documents that we are working our way
13 through gradually, but it has been very helpful to hear
14 from the Trust employees, staff, and executives and
15 Board members. So thank you for giving us your time in 14:00
16 what we appreciate has been a very difficult and trying
17 time for all of you.

18 A. Thank you very much.

19 CHAIR: So, thank you. And I think that's us, ladies
20 and gentlemen, until actually after Easter now, 14:00
21 Mr. Wolfe. Yes. I think our next sitting day will be
22 the 8th April, and I look forward to seeing you all
23 then. In the meantime please don't eat too many Easter
24 eggs! I think there's enough stress on the Trust
25 without any of you getting sick. Thank you. 14:00
26

27 THE INQUIRY ADJOURNED UNTIL MONDAY, 8TH APRIL 2024 AT
28 10:00A. M.
29