



Urology Services Inquiry

Oral Hearing

Day 92 – Monday, 8th April 2024

**Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)**

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

I N D E X

| WITNESS | PAGE |
|-------------------------------|------|
| <u>MR. AIDAN O'BRIEN</u> | |
| QUESTIONED BY MR. WOLFE | 3 |

1 THE INQUIRY RESUMED ON MONDAY, 8TH APRIL 2024, AS
2 FOLLOWS:

3
4 CHAIR: Morning. Good morning everyone. Mr. O'Brien.
5 Mr. Wolfe. 09:57

6 MR. WOLFE: Morning Chair and members of the panel.
7 Your witness this morning is the familiar figure of
8 Mr. O'Brien who, as you will recall, was last with us
9 on the 21st of April last year when he gave his
10 evidence as part of a three day session. This is a 09:58
11 further three day session during what we anticipate is
12 the final week of public hearings. Mr. O'Brien
13 proposes to be re-sworn.

14 CHAIR: Very well.

15 09:58
16 MR. AIDAN O'BRIEN, HAVING BEEN SWORN, WAS QUESTIONED BY
17 MR. WOLFE AS FOLLOWS:

18
19 MR. WOLFE: As I say, Mr. O'Brien was last with us on
20 the 21st of April last year. The transcript recording 09:58
21 his evidence on the three dates from last year is to be
22 found at TRA-04619 through to 05014.

23
24 Since you were last with us Mr. O'Brien, you have
25 provided us with an addendum statement. We can find 09:59
26 that at WIT-107564. And that was provided to the
27 Inquiry just over a week ago. If we go to the last
28 page of it at WIT-107623, that is your signature dated
29 28th March 2024. And subject to one typographical

1 error which I'm going to bring you to, would you wish
2 to adopt this statement as part of your evidence to the
3 Inquiry?

4 A. I do.

5 1 Q. I'm obliged. The one typographical error is to be 10:00
6 found at paragraph 64(ii) at WIT-107586. And I think
7 this error was just discovered overnight, so we can
8 quickly tidy it up. It's to be found in the second
9 sentence of that (ii) paragraph, where it says:

10 10:00
11 "The Trust has provided redacted copies of the
12 operation note written by Mr. Hagen on 6th May 2010."

13
14 That should read 6th May 2000, isn't that correct?

15 A. That is correct, yes. 10:00

16 2 Q. So we'll change that, with your permission. And then
17 the second reference continuing the sentence:

18
19 "...and the discharge summary dictated by me on 3rd
20 August 2010." 10:01

21
22 Again, that should simply be changed to 2000?

23 A. That's correct.

24 3 Q. I'm obliged. So those corrections can be considered as
25 having been made. 10:01

26
27 One further housekeeping matter before we proceed.
28 Mr. O'Brien has sought permission to have an
29 aide-memoire beside him to ease his ability to refer to

1 particular documents. I've considered that and you
2 have considered that?

3 CHAIR: Yes, I've no difficulty with that, Mr. O'Brien.

4 A. Thank you.

5 4 Q. MR. WOLFE: Okay, let's begin. On the last occasion 10:01
6 when you were with us the focus was primarily on the
7 MHPS process, and you'll recall that at the
8 commencement of your evidence we had brief opportunity
9 to touch upon the -- some of the contextual factors
10 that informed your practise, and in that regard you 10:02
11 made a number of, I suppose remarks, which help us to
12 better understand your perspective. So, for example,
13 at TRA-04641, you explained to the Inquiry that you
14 would like any of your alleged shortcomings to be
15 viewed in the context of you doing your very best to 10:02
16 provide the best care to patients when the resources
17 weren't there to do so. Isn't that right? That's very
18 much your philosophy or very much part of your
19 thinking.

20 A. That's correct. 10:03

21 5 Q. And what I want to do this morning is, recognising that
22 we really only touched lightly upon some of those
23 contextual factors, I want to give you an opportunity,
24 through my questioning, to better explain how the
25 service developed -- that is the Urology Service, how 10:03
26 it developed, and it's weaknesses as you saw them, and
27 how those weaknesses impacted upon patients, the
28 service itself and how it was managed, and your
29 practice. And perhaps, where it's relevant to say so,

1 the practice of your colleagues. So that's, in large
2 part, our agenda for today. And probably into tomorrow
3 and Friday we will touch upon, perhaps in some detail,
4 some of the alleged shortcomings of your practice and
5 give you an opportunity to respond to those, 10:04
6 recognising, of course, that the primary interest of
7 the Inquiry is in respect of the governance
8 arrangements touching upon the clinical aspects and,
9 therefore, the opportunity to dilate into the fine
10 detail of individual cases is not available to us. So, 10:04
11 with those signposts in mind, let me recall that you
12 commenced your role as a Consultant Urologist in
13 Craigavon, I use that location to reflect the Trust and
14 the arrangements as they were at that time, you came
15 into that post in July 1992, isn't that right? 10:05
16 A. That's correct.
17 6 Q. And you were a single-handed consultant in what was, I
18 suppose, the first appointment of a urologist in that
19 location?
20 A. That's right. 10:05
21 7 Q. And you quickly saw a very significant demand for
22 urological services?
23 A. I did.
24 8 Q. Yeah. And I think as we touched upon the last time,
25 you, at quite an early stage, were led to the view that 10:05
26 -- and this is from, this is taken from your witness
27 statement at paragraph 28, the foundation, you have
28 said, upon which the Department and service was
29 initiated, was one of a lack of awareness of the

1 urological need which was not serviced. So I think I
2 understand you as saying that at the outset the Trust
3 or the organisation was blind or not sufficiently
4 informed as to the requirements for a modern urological
5 service and the demands that would come with that. Is 10:06
6 that a fair way of summarising it?

7 A. Absolutely. And just to elaborate, you know, simply, I
8 mean the distinction between urological need in any
9 community and urological demand are two different
10 things because, you know, demand only presents itself 10:07
11 when there is some kind of service and people become
12 aware of the service. So the urological need in any
13 population is always much greater than the urological
14 demand, which only manifests itself in the presence of
15 some kind of service. And prior to my appointment, the 10:07
16 perception of a urological service was very rudimentary
17 almost. It entailed, you know, resection of the
18 prostate, resection of a bladder tumour perhaps,
19 dealing with ureteric stones as they were dealt with at
20 that time and the occasional nephrectomy, but when a 10:08
21 urologist who is trained in the speciality comes along,
22 you bring with you a completely different perspective
23 and range of abilities and awareness of need which
24 rapidly manifests itself.

25
26 So I think I said in my witness statement, you know,
27 that after about six months I came to appreciate that
28 the perception of urology -- urology was spelt TURP I
29 think I said at one stage, and I remember, I remember

1 the date for a particular reason, 15th December 1992, I
2 did the first radical cystectomy and orthotopic bladder
3 replacement in a lady with bladder cancer, and when I
4 went to the consultant dining room -- there was such a
5 thing in those days -- the following day, as soon as I 10:09
6 opened the door there was silence because they were all
7 talking about this enormous operation that was done
8 that they hadn't heard tell of, which is not
9 surprising, but that just gives you an example of the
10 disparity between or the discrepancy between their 10:09
11 perception of what was going to be provided, what their
12 need was, and what the reality actually would be. And
13 from that time it has been an uphill struggle, and
14 we've never got there, it's still not got there and
15 that's... 10:09

16 9 Q. we'll have an opportunity as we go on to look at, for
17 example, the waiting lists, which have been the subject
18 of scrutiny throughout our proceedings. And I just
19 want to sort of check the baseline. Is it your
20 understanding or belief that the problem of a lack of 10:10
21 understanding of the need for a fully developed
22 urological service, which seemed to be the position at
23 the outset, according to your understanding, and you've
24 set that out in your statement, is that something that
25 this Trust, and the Trust has changed in its shape or 10:10
26 its constitutional form, location, et cetera, over
27 years, but you know what I'm saying, that general
28 geographical location we now call the Southern Trust,
29 is that problematic birth that this Urology Service

1 emerged from or suffered, has that not been reformed or
2 remedied during its history?

3 A. To a degree. But, you know, that disparity is not just
4 -- it wasn't and still remains not just restricted to
5 the Southern Trust, it pertains to Northern Ireland as 10:11
6 a whole. But certainly, you know, from my direct
7 experience of the initiation of a urological service
8 back in 1992, I mean it did take 10 months for the
9 Trust at that time -- I don't think the Trust became --
10 the Craigavon Area Hospital Group Trust came into 10:11
11 existence the following year -- but anyhow, the
12 management at that time, it took them 10 months to
13 persuade the consultant in public health for the
14 Southern Health Board at that time, of the need for one
15 urologist at that time with a population of about 10:11
16 260,000. And I remember whilst I was still in Bristol
17 and after having been appointed, I got a call one day
18 from one of the general surgeons, sadly no longer with
19 us, to say that he had written out, they had written
20 out to all the GPs to say I was arriving on 6th July 10:12
21 1992, just in case I didn't have enough to do, and I
22 thought, my goodness, you know. So you had that
23 coupling, you know. There was a lack of acknowledgment
24 at Board level of the need. There was a lack of
25 acknowledgment within the surgical establishment in the 10:12
26 hospital of the need, and that pertained for quite a
27 long time, and I would say it still is there, as is
28 manifest by the waiting lists that still pertain to
29 this day, which are now worse than ever.

1 10 Q. And we can see from the materials that the Inquiry has
2 assembled that from time to time you have sought to
3 initiate improvement and reform and expansion, or
4 better support for the service. Some of the headlines
5 we'll briefly walk through now. You wrote a paper in 10:13
6 1997 called "The Future Development of Urological
7 Services". Mr. Young came into -- I forget precisely
8 the date he came in, so you can maybe help me on that
9 -- but he joined forces with you in pushing for an
10 improvement. We then had the intervention of the 10:13
11 McClinton Review, and then a short number of years
12 after that we were into 2009 Regional Review. Let's
13 just walk through some of those developments.
14
15 Your paper in March 1997, AOB-00027. That's the cover 10:14
16 page. If we move to, if we drop down two pages, sorry,
17 yeah, to the background. Just scroll down. Sorry, I
18 think I've lost my page. If we just scroll back,
19 please, to the page before that. Back again. Yeah.
20 So just here. 10:15
21
22 You summarise in that second paragraph there, "This
23 document provides an outline" of the purpose of the
24 document. So you're setting out within this document,
25 I suppose your understanding five years into your post, 10:15
26 where urological need is within the population you
27 served and how the Trust needs to, if you like, be more
28 ambitious to develop the service going forward if it's
29 to meet the needs of its population. What was your

1 thinking in developing this paper?

2 A. I can't remember now what precipitated it, you know.

3 It would have been one occasion when I would have put

4 or would have had need to put my, or motivation to put

5 my thoughts into print. But, you know, five years in, 10:16

6 and if this was 1997 you say, so at that time we did

7 have a second consultant urologist in post who took up

8 post on 1st January 1996 and then he left on 31st

9 December 1997, and Michael Young was appointed on 1st

10 May 1998. So during that period of time, I mean I had 10:16

11 just emerged from being the sole urologist for a period

12 of three and a half years, during which time I provided

13 a continuous emergency service, or an acute service,

14 and we basically needed to expand. It was always

15 trying to impress upon the authorities at that time of 10:17

16 the need, the demand, how inadequate the service was,

17 what I considered were the priorities in moving

18 forward, particularly with regard to the continued

19 provision of an acute service. I mean there's no point

20 in trying to see as many people electively as possible 10:17

21 if you cannot provide an acute service. I think I may

22 have concentrated in that document on the need to

23 provide a stone service, because even in some audits

24 that we did away back then, the Southern Trust, for

25 whatever reason, that geographical area, has a very, 10:18

26 very high preponderance of stone disease. So it was

27 about trying to put into writing for those who needed

28 to consider it, what it was that was required. What

29 the deficiencies, what the most important deficiencies

1 were at that time in terms of patient need and in terms
2 of addressing the major risks to patient safety at that
3 time.

4 11 Q. And I think if we maybe just scroll through to page 35
5 in the sequence, 00035, you were making the case, I 10:18
6 think, that this -- yeah, just at the top of the page.
7 Maybe just scroll down so we can see it all in context.
8 I think you talk there about the ambition should be for
9 the appointment of four consultant urologists. At this
10 point in time there was you and Mr. Young, sorry, 10:19
11 Mr. Bush?

12 A. Mr. Baluch.

13 12 Q. Baluch. Thank you for that. Mr. Baluch. And
14 Mr. Young to come the following year. But at that
15 stage, I suppose it's you're making, or you're 10:19
16 observing, based on your experience, that even two
17 consultants isn't enough, we need to expand?

18 A. Well at that time I mean I was entirely aware, because
19 one of my peer colleagues from my days in Dublin was
20 the Chair of the Manpower Committee of the European 10:19
21 Board of Urology, and at that stage I knew that the
22 mean consultant urologist to population ratio in
23 Western Europe was 1 to 53,000 population, and we're
24 sitting with two for a population of over a quarter of
25 a million, which obviously is inadequate. And, you 10:20
26 know, when you're one, like myself, who in my training
27 days and as a consultant, you know, went to European
28 meetings and you talked and listened to people outside
29 of their presentations, and you appreciate how

1 different the working practices are of consultant
2 urologists on the European mainland, where basically a
3 consultant urologist would be operating at least two
4 days a week, if not three, and doing one ward round and
5 one clinic. whereas, you know, even years after this 10:21
6 document, we're lucky to get two operating sessions per
7 week, because when you have inadequacy of such a degree
8 the pressure is always to see more people at the front
9 door without having any backup service to provide for
10 their need. So, yeah, I mean at that time certainly 10:21
11 four consultant urologists -- and that's 1997.

12 13 Q. We have heard from Mr. Young, and I'm sure you heard
13 his evidence or read his evidence, about the build up
14 to pushing, I think it was Mr. Templeton at that time,
15 in the direction of bringing in an independent expert 10:21
16 who could consider the state of the service and make
17 suggestions or recommendations for change, and
18 Mr. Young portrayed that pressure, if you like, as
19 coming from both himself and yourself so that the Trust
20 could understand, so that Mr. Templeton and others 10:22
21 could understand that this was really a patient safety
22 issue. And, as I say, that led to the McClinton Review
23 taking place and reporting in August 2004. So seven
24 years after you've written the document we have in
25 front of us, finally, I suppose, a report spelling out 10:22
26 the changes that needed to be made. What's your
27 recollection of that period and your state of mind
28 seven years after writing this, without changes having
29 been made?

1 A. You know, it's a very good question, because in terms
2 of state of mind I can't recall what my state of mind
3 was in that period of seven years, but basically you
4 can imagine that if you write the document, and this is
5 not the only document, you know, or it may be the only 10:23
6 document, but you've had many conversations with the
7 Chief Executive or Medical Directors about this need
8 and what needs to be done, and when little progress is
9 made over a long period of time, and seven years is
10 quite a lengthy period of time, you just try day in day 10:23
11 out, through long days, to try to mitigate as best one
12 can, with your colleague, the risks of people coming to
13 harm due to that service inadequacy.

14
15 And then when you come to the Sam McClinton Report, and 10:24
16 I did have the opportunity subsequently of speaking
17 with Mr. Templeton, then the Chief Executive -- and for
18 whom, I would like to take this opportunity of just
19 adding, I had the greatest regard and respect -- and he
20 actually did say to me subsequently prior to his 10:24
21 retirement that he had difficulty in actually believing
22 the two of us that there was this degree of need and
23 demand. And, you know, that was a mark of him as a
24 person to have that degree of honesty. So there is no
25 doubt that the Sam McClinton Report was a significant 10:25
26 injection of reality into a situation where there was
27 even a kind of disbelief in management of those who
28 were trying to tell them of the need and what needed to
29 be done.

1 14 Q. We can see the executive summary of Mr. McClinton's
2 report. It's to be found at WIT-52123. We heard
3 evidence already from Mr. Young summarising those, the
4 recommendations that he made, but he sets out the key
5 challenges adversely affecting the urology services in 10:25
6 your area at that time, and he characterises these as:

7
8 "Insufficient manpower or capacity to deliver a full
9 urological service, increased waiting times for
10 outpatient, in-patient and day cases, and an increasing 10:26
11 emergency workload."

12
13 Scrolling down, he talks about what has been done. But
14 ultimately his recommendations come to the need to
15 expand the service, isn't that right, including the 10:26
16 addition of consultant capacity and the development of
17 what was to become the Thorndale Centre, or the
18 Thorndale Unit, which was to house the Southern Trust's
19 equivalent of the ICATS arrangements. But do you share
20 Mr. Young's belief that there was a period of inertia 10:26
21 before the recommendations contained in the McClinton
22 Report were put in to effect and, indeed, some of them
23 weren't put into effect at all?

24 A. Yes, I do. And, you know, I mean I do know that there
25 would have been pushback from other specialties within 10:27
26 the hospital. I do know that complaints were made to
27 John Templeton that he was actually showing a degree of
28 favouritism by trying to be as supportive as he
29 possibly could of the development of a urological

1 service. So was there inertia? Was there resistance
2 to expansion? There was inertia, and in addition to
3 that inertia, or possibly it was consequential and a
4 result of a degree of pushback, because there was
5 demand for increase in services all around, and still 10:28
6 in 1997 and through to 2004, there was a degree to
7 which urology, and the service that was required, and
8 the service that it delivered, was still regarded very
9 much as a Cinderella subspeciality of general surgery.
10 But we had achieved quite a lot, you know. We had, 10:28
11 particularly, the installment of Northern Ireland's
12 only on-site lithotripter in 1998. I visited a number
13 of centres in 1997 in Berlin, Hamburg, Antwerp, looking
14 at different models, and we came up with a very good
15 lithotripter in a very good site adjacent to theatre 10:28
16 that would enable lithotripsy stone treatment to be
17 done under general anaesthesia or as a walk-in
18 outpatient service, and there was quite a bit of
19 resistance to that development particularly from
20 Belfast urology because they reckoned it should be in 10:29
21 Belfast.

22
23 So, we had -- we met quite a bit of resistance, and I
24 take my hat off to John Templeton for having resisted
25 the resistance, you know, and enabled us to have as 10:29
26 much development as took place at that time. But, even
27 after the McClinton Report...

28 15 Q. So the response -- sorry to cut across you. One of the
29 responses, or at least it happened in the same

1 timeframe to McClinton, was the appointment of an
2 Australian team?

3 A. That's right, yes.

4 16 Q. Who came...

5 A. That's right.

10:30

6 17 Q. Based themselves in South Tyrone Hospital and -- as a
7 project, I suppose?

8 A. That's right.

9 18 Q. Sought to address waiting list problems in your
10 location at that time. But as Mr. Young remarked in
11 his evidence, it wasn't until 2007, despite the
12 recommendations of McClinton, that a third consultant
13 was appointed, that was Mr. Akhtar you'll recall, and
14 the proposal of a fourth consultant recommended by
15 McClinton in due course, never actually materialised
16 until the expansion following the Regional Review. I
17 mean, how would you characterise the response to
18 McClinton? Was it slow but a case of "we got some
19 improvements that represented a significant stride
20 forward", or was it something more negative than that
21 in your view?

10:30

10:30

10:31

22 A. I think there were two sides to that coin at that time,
23 because we were very pleased with the effort that was
24 put in by the Australian team coming to South Tyrone
25 Hospital, and it was led by a consultant urologist
26 called Mr. Batstone, and in fact we were very, very
27 keen to appoint him as the third consultant, but then
28 he decided at the last minute not to be interviewed for
29 it and he went further afield. So that's one side of

10:31

1 the coin.

2
3 On the other side of the coin is that, you know, when
4 you put in a particular time restricted effort, like
5 the Australian effort was, or awaiting list initiative, 10:31
6 it's just a stopgap, you know, it isn't actually, you
7 know, a mature strategic planned expansion of a service
8 throughout all of the domains of practice that are
9 required to provide such a service sustainably in the
10 long-term. So that's the negative aspect of it. 10:32

11
12 So there was a positive element to it in that we got a
13 lot of work done, a lot of backlog work done,
14 particularly operatively -- that was the emphasis, it
15 was to address the long waiting lists that were 10:32
16 considered long at that time. So it was very, very
17 welcome. We thought that there would be a continuity
18 with the appointment of Mr. Batstone as that third
19 urologist and we would build from there, but that
20 didn't materialize, and then there was a hiatus until 10:32
21 Mr. Akhtar came and, as you have just said, it took
22 another five years after that before we managed to
23 appoint a fourth consultant.

24 19 Q. I suppose the next significant chapter in the
25 development of Urology Services, both locally with your 10:33
26 own Trust, and regionally, was the 2009 Review which
27 was endorsed by the then Health Minister in March 2010.
28 We can see that, looking at the recommendations if we
29 can just bring that up on the screen, please? There

1 were 26 recommendations that emerged from the Regional
2 Review, WIT-11877, and I think it's a document that the
3 Inquiry is familiar with. But a broad ranging set of
4 recommendations, everything from requiring providers to
5 conduct an ICATS review, an emphasis on trying to 10:34
6 develop single visit outpatient and diagnostic services
7 for prostate cancers in particular. Consideration of
8 the need to reform elective surgery, including the need
9 to develop action plans for day surgery. A whole
10 emphasis on consideration of the need to work 10:34
11 differently, including, as we'll look at perhaps
12 tomorrow -- not tomorrow, Wednesday -- the requirement
13 to transfer the care of radical pelvic procedures to
14 Belfast.

15
16 So far as the configuration of regional services was
17 concerned, a three team model was developed. Team
18 south, based in Craigavon, was of direct concern for
19 you. And coming with that reconfiguration was
20 provision for two consultants, full-time consultants to 10:35
21 be appointed, in addition to the three who were already
22 in place, as well as support staff, including an
23 expansion of nursing staff. That's a bit of a
24 whistle-stop tour through the recommendations.

25
26 It led to a Team South Implementation Plan. Did you
27 regard the review of Urology Services as a good idea in
28 principle?

29 A. Yes.

1 20 Q. And in terms of its outworking in relation to the
2 Southern Trust, how would you characterise that or
3 reflect upon that?

4 A. In terms of how long it took to implement it or...

5 21 Q. Well in terms of what emerged from it. 10:36

6 A. Ehm, well basically, you know, it was a good idea, of
7 course, to see expansion in the service. You very
8 often can translate in any of these documents and plans
9 expansion equals increase in consultant numbers. It's
10 not as simple as that. Obviously you do need increased 10:37
11 manpower, but you need an awful lot more to enable the
12 increased manpower to provide the service. You need
13 increased beds, you need increased theatre sessions.
14 So the frustration for me and for my colleagues at that
15 time was that all of that backup infrastructure didn't 10:37
16 necessarily accompany the increased manpower that was
17 the headline.

18 22 Q. I wonder was that frustration that you talk about
19 reflected in terms of how you related to management who
20 were trying to develop an implementation plan with you 10:38
21 and your colleagues? We've heard evidence from Gillian
22 Rankin, Mr. Mackle, Mr. Young in relation to that. I
23 just want to get your perspective, in all fairness, in
24 relation to what they've said.

25 10:38

26 If I could first of all bring you to what Dr. Rankin
27 has said. TRA-06341. And she, in her evidence,
28 referred to the Monday evening meetings, which I think
29 you've touched upon already in your evidence, but if we

1 go to line 10 she talks about -- I was asking, or my
2 colleague, Ms. McMahon, was asking her about the
3 process and whether there was a resistance or an
4 inability to change because the reform recommendations
5 that came with the Regional Review called for change, 10:39
6 called for change in working practices, called for
7 change in terms of the services that were to be
8 provided and how they were to be provided, and she says
9 in her evidence that certainly that was a theme, that
10 was -- the theme of resistance or inability, was a 10:39
11 theme throughout, and particularly in the Monday
12 evening meetings, that an issue for change might be
13 agreed, and perhaps that was then retrenched or
14 rescinded the following meeting. In terms of making
15 changes in clinical behaviour, and this is directly a 10:40
16 reference to you:

17
18 "Whilst help was offered, there was a resistance to
19 making that change. I think the only thing that was
20 requested was additional secretarial time. There was 10:40
21 no other help sought in thinking about how he could
22 change his administrative processes to free up time for
23 clinical work, which is primarily what his job was
24 around."

25 10:40
26 Mr. Mackle's comments, and I'll try to summarise these
27 as a package and maybe -- what he said is that in terms
28 of the Monday meetings in the context of the 2009
29 Review, he was met, and Dr. Rankin was met by three

1 urologists with a lot of suspicion, obfuscation and
2 obstruction to the process. Mr. Young, his perspective
3 is that he thinks maybe "Some of us" he said:

4
5 "...were a little bit more vocal than others. I know 10:41
6 it's saying here..."

7
8 - that is in response to what Mr. Mackle has said:

9
10 "...that it's the three of us, but certainly I think 10:41
11 it's reasonable to say that Mr. O'Brien wasn't so keen
12 on all the changes that were coming. I did agree with
13 him because we had to agree as a unit of where we were
14 wanting to go, but I think some were more against it
15 than others." 10:41

16
17 So hopefully that encapsulates something of the theme
18 that has been presented to the Inquiry, that you,
19 perhaps more softly through some of your colleagues,
20 but certainly you were leading the charge in opposing 10:42
21 or challenging some of the changes that were being
22 proposed to you?

23 A. Well, the one change that comes to mind that I think
24 you might be most referring to, or perhaps the
25 witnesses were most referring to, was, you know, the 10:42
26 impression or the directive that we were being given at
27 that time that we had to see a certain number of
28 patients in an outpatient clinic in an accordance with
29 the BAUS recommendations of 2000, and having moved on

1 in the nine or 10 years since those recommendations
2 were drawn up by the British Association of Urological
3 Surgeons, and even though all three of us said, you
4 know, they're out of date, practice has moved on, if
5 you're doing a one stop clinic or if you're reviewing 10:43
6 patients post MDM, for example, it takes a longer
7 period of time. So, there is no doubt, frankly, that
8 the review recommendations, you know, at the end of the
9 day they were very, very much top down, and you were
10 being told at Monday evening meetings "This is what you 10:43
11 must do in order to have this whole package implemented
12 and signed off", and even though you, all three of us,
13 tell Dr. Rankin and Mr. Mackle, it's just not possible
14 to do it with following those guidelines or
15 recommendations. That's what gives rise to this 10:44
16 impression of Dr. Rankin that we come back to the next
17 meeting having reflected upon it and we're more, even
18 more resistant, because all we're doing actually is
19 reiterating what had been said in the previous meeting
20 and which has not really been taken on Board. If there 10:44
21 are any other specific recommendations that you can
22 think of.

23 23 Q. No. I think we wish to have your, I suppose, general
24 reflections on, I suppose, the sense that this was a
25 period of great rancour and instability within Urology 10:44
26 Service because of the position adopted by you and your
27 colleagues vis-à-vis the -- as opposed to the position
28 adopted by management, and your sense of it that, your
29 sense of it in terms of how it impacted the service

1 going forward?

2 A. Well it was a very unpleasant period of time, quite
3 frankly, and I think I have said, and I think I did say
4 in giving evidence a year ago, that the conduct of some
5 of those meetings should really not have been tolerated 10:45
6 by us at all. You know, it's fine for people coming
7 along 10 or 15 years later and putting a less negative
8 spin on those meetings, but they were most unpleasant.
9 I didn't enjoy them at all. My colleagues didn't enjoy
10 them either. And they were very, very difficult, 10:45
11 because, frankly, you weren't being listened to, and
12 it's very demoralising when you have been, in my case,
13 a consultant for almost 20 years at that time after
14 years of training, you sometimes wonder was it all
15 necessary or what's the point in having all of that 10:46
16 experience in everyday practice and to be in a position
17 to advise people? And it doesn't matter because it's
18 top down and there's no meeting of the waters, as it
19 were.

20 24 Q. The objective of the review, if we can just have a look 10:46
21 at that and have your comments. It's set out at
22 AOB-00142. And this is the -- just scrolling back so
23 we can see the front page. This is the document that
24 sets out the Team South Implementation Plan, and just
25 scrolling back to 142, it sets out that: 10:47
26

27 "The purpose of the Regional Review was to develop a
28 modern, fit for purpose in the 21st Century, reformed
29 service model for Adult Urology Services which takes

1 into account relevant guidelines. The future model
2 should ensure quality services are provided in the
3 right place at the right time by the most appropriate
4 clinician through the entire pathway from primary care
5 to intermediate to secondary and tertiary care." 10:47

6
7 So that's the, I suppose in grandiose terms some might
8 say, the objective for the Regional Review, and we'll
9 come on to look at how, over the period of the next
10 decade, services weren't able to cope with the demand. 10:48
11 So we'll look at that in some depth. But can I
12 initially have your perspective on how well that
13 objective has been met, looking back from, I suppose,
14 the date of your -- I know you don't wish to call it
15 retirement, but when you left the service of the Trust 10:48
16 in 2020, had that objective been met?

17 A. Well, not at all. You're descriptive adjective of the
18 paragraph in italics as grandiose is exactly
19 appropriate. It's entirely apt. Like "develop a
20 modern" - well that didn't happen. "Fit for purpose in 10:49
21 the 21st Century", what does that mean? "Reformed
22 service model for Adult Urology Service taking account
23 of the relevant guidelines", and so forth, "making sure
24 that people get quality services", and quality at least
25 should include safe, "provided in the right place at 10:49
26 the right time by the most appropriate clinician", and
27 so forth. In effect, actually, at the Monday meetings
28 we were telling them that this would not work if you
29 don't listen to us and take on board what we -- and

1 they did to a degree, but it was a very, very
2 unpleasant, difficult period for all of us. So, did it
3 succeed? No, it didn't. No more than it did in 1997.
4 25 Q. well if you're looking at what was put in place, what
5 changes were made, from that knowledge that you now 10:50
6 have about it and how the service ended up, what were
7 the problems? what were the traps at the start of this
8 process that led to the poor outcomes, as you see it?
9 A. well it's a difficult circle to square in a sense,
10 because if I were the urological director I would -- 10:50
11 you'd have to be honest with the population and say to
12 them, the most important thing is not to have people
13 seen within two weeks, or one month, or two months, or
14 three months. I mean the emphasis should be at the
15 back of the shop. I mean I think it is scandalous 10:50
16 really that you have a situation then, and we have it
17 even more now, where people are waiting years for
18 urgent admission for surgery or treatment, during which
19 time their conditions are getting worse. I mean you've
20 seen it throughout the course of this Inquiry, I have 10:51
21 read it in all of the evidence that has been given, I
22 just in the last number of days was reading an email
23 from Mr. Matthew Tyson two years ago where he predicted
24 it would take him 6.25 years to clear the complex stone
25 cases that were on the waiting list at that time. You 10:51
26 know, I don't have a magic solution to the current
27 situation, which is dire, but surely it is entirely
28 unacceptable that you have a situation where people are
29 losing their renal function due to stone disease. They

1 could end up in dialysis, they have premature deaths,
2 urosepsis and death. And instead we have had an
3 emphasis this past 20 years and more on ensuring that
4 people are not queueing up outside the concert hall in
5 long queues because it doesn't look good, so that we 10:52
6 get them in as best we can, irrespective of where they
7 come from geographically, and when they get in we'll
8 tell them actually there's no concert on today, but
9 we'll take your name and address and we'll contact you
10 in a few years time when you can come and see the 10:52
11 concert that you have queued up for. There's something
12 fundamental and asymmetric and unacceptable about that
13 situation. And if you compare it to the practice in
14 mainland Europe, it's entirely different. Or even
15 indeed in Britain, you know, my colleagues in Britain 10:53
16 in 2020 had a maximum time for a first outpatient
17 consultation, irrespective of the urgency, of 18 weeks.
18 And in 2020 we had routine patients waiting three and a
19 half years. So in every aspect from every perspective
20 it has been grossly inadequate. 10:53

21 26 Q. The summary position I suppose set out in your
22 statement is, throughout your time at the Trust there
23 was inadequate staffing and insufficient logistics,
24 such as availability of theatre time. Does that, I
25 suppose in a nutshell, explain the waiting lists as you 10:54
26 see it?

27 A. Yes, of course. The whole service in every respect has
28 been inadequate, and when I use that word I'm very,
29 very mindful of the situation that we found ourselves

1 in in those years around 2013 to 2016, when the
2 in-patient ward became increasingly unsafe. I mean,
3 the first major setback for our service was the loss of
4 the ward that we had spent 18 years, or whatever,
5 building up with experienced Staff Nurses and so forth, 10:54
6 and the loss of that in 2009. Thereafter we didn't
7 have, we couldn't provide an adequately staffed
8 in-patient facility to ensure safe care of patients
9 peri-operatively. So inadequate and unsafe, I don't
10 know how I can describe it additionally. It is sad 10:55
11 that we found ourselves in this position, and how it
12 can be rectified, in my view it's going to take a
13 generation to do so.

14 27 Q. Of course one of the outworkings of the Regional Review
15 was the appointment of more consultant staff. The 10:55
16 ambition of the implementation plan was to have those
17 two additional consultants in place by February 2011,
18 but they didn't -- they weren't appointed until the end
19 of 2012 in the case of Messrs. Glackin, Connolly, and I
20 think a third was appointed, Pahuja, but that was to 10:56
21 cover the fact that Mr. Akhtar had left. And then two
22 of those consultants didn't stay around in the Trust
23 very long, they moved on to pastures new, leading to
24 the appointments of Mr. Suresh in 2013 as well as
25 Mr. Haynes and Mr. O'Donoghue. Nevertheless, after a 10:56
26 period of stability in the waiting lists, perhaps as a
27 result of the Australian initiative, as we called it,
28 and the appointment of Mr. Akhtar, the waiting lists
29 got considerably worse in the period following the

1 Regional Review. Is that your understanding?

2 A. It is, and I think I am correct in saying that the date
3 of the last waiting list initiative target was December
4 2013. I think that all of us did work additionally
5 doing waiting list initiatives to take the target time 10:57
6 down to 36 weeks, and I think actually perhaps even a
7 shorter period. I think the last time that we had a
8 target to be met was at the end of 2013. But, you
9 know, waiting list initiatives they are a stop gap, you
10 know, as I have referred to previously and, thereafter, 10:58
11 things just progressively got worse.

12 28 Q. We can see, and I'll invite your comments on this, we
13 can see the waiting lists and how they I suppose got
14 worse over the period of time, let's take the period
15 2015 to 2019. If we go to WIT-27319. And this is the 10:58
16 review backlog position as of the 30th April. And just
17 scrolling down. You have a total of 916 patients at
18 that time, if these figures are correct, and Mr. Young
19 150 or so better off than you, but still significant
20 numbers. It also being significant that some of these 10:59
21 backlogs go back a number of years. They're primarily
22 routine patients, but also some urgent categories of
23 patients. The review backlog in your case, if we go to
24 19th February 2019, and that's at WIT-27573. And in
25 your case we can see that review outpatient backlog 11:00
26 figure, I think we're comparing like with like, has
27 been reduced by 300 or so in that four-year period.

28 A. Mmm.

29 29 Q. But longest waits going back four years. So some

1 improvement, you might say significant improvement, but
2 how do you explain the fact that in terms of review
3 backlog you have the most reviews comparatively
4 speaking? What brings that about? Is that because
5 you're slower at attending to reviews or is it some
6 other factor? 11:01

7 A. If you compare myself to Michael Young, who has a large
8 stone review waiting list at that time, and a lesser
9 general review waiting list at that time, it's
10 reasonably comparable. It's interesting that if you 11:01
11 compare mine at 675 to John O'Donoghue at 549, even
12 though he was only appointed whenever, going back to
13 September 2015, and to Mr. Jacob at 634, there's not an
14 awful lot of difference. And the interesting thing is,
15 is that when you compare all of those to Mr. Glackin 11:02
16 and Mr. Haynes, and I think actually if you would have
17 flipped back to 2015, it's only in the last years that
18 I appreciate, you know, the extent to which I think...

19 30 Q. I can come back to it, sorry. Do you want to go back
20 to WIT? 11:02

21 A. Yeah. Yeah. It...

22 31 Q. WIT-27319.

23 A. Yes. Yes. So just if you'd scroll down. So I think
24 Mr. Haynes, yes, none! Zero. I think that's right.
25 Yeah. And Mr. Glackin is something like 256 at that 11:02
26 time. And I thought that that was just an error at
27 that time, but if it is the case that there were none
28 for review, I mean there is a reality there that is
29 that he didn't review patients to the same extent that

1 others did, and you know my views on that because, you
2 know, you could regard it as a criticism of mine of his
3 practice, but on the other hand, it's not what I would
4 like to do, because I do believe that this is one of
5 the consequences of inadequacy of service, and to my 11:03
6 mind it's a negative consequence in that patients are
7 no longer reviewed at all. Instead, they are
8 monitored, and they're not monitored, but some feature
9 of their pathology is monitored, whether it's a PSA or
10 a CT scan or whatever. I think Mr. Young in his 11:04
11 evidence referred to it very, very simply and nicely
12 and eloquently as "it's a one way conversation", which
13 of course is not a conversation at all, and...

14 32 Q. So just to be clear. If your premise is right, and you
15 say that might reflect that Mr. Haynes isn't carrying 11:04
16 out as many reviews as -- I think to finish the
17 sentence -- as you would in similar circumstances, and
18 to translate that into what I think you're saying, are
19 you saying that the pressures on the service are
20 forcing clinicians into, I suppose choices, difficult 11:04
21 choices in terms of how they practise, in order to get
22 on to see the next urgent or red flagged patient?

23 A. Yeah, I do, very, very much so. And I think that one
24 of the -- I hope you don't mind me saying it, but one
25 of the sad features of this, of what has given rise to 11:05
26 the Inquiry and so forth, is, do you know, this
27 comparative study of O'Brien versus others. I think
28 actually there is a gross underestimation of the impact
29 of inadequacy. When you have such severe inadequacy,

1 as is self-evident from all of the data that you can
2 look at and which you may go on to look at further, it
3 does result in people responding to that in very, very
4 many varied ways, do you know. Do you no longer review
5 patients but just monitor their PSA? Do you stop doing 11:05
6 ward rounds, which is one of the saddest things I had
7 to listen to in listening to evidence being given in
8 recent months, when a phone call can do instead? All
9 of these things, you know, we are diminishing patient
10 care and patient experiences being diminished. And I 11:06
11 can tell you that even though I am four years gone, I
12 mean I'm still being approached by people on the
13 street, in shops and so forth, to tell me about their
14 experience. And it's getting worse instead of getting
15 better, even though you listened to -- I didn't listen 11:06
16 to her -- but like Dr. O'Kane telling the Inquiry about
17 how wonderful everything is getting better. But
18 they're detached from the reality on the ground.

19 33 Q. Well I'm not sure in all fairness that that entirely
20 captures her evidence. But let me take it back to 11:06
21 another aspect of the waiting list, and that is
22 in-patients without a date. If we scroll down to the
23 next page, please, and, again, this is the position in
24 2015. In-patient and day case waiting lists. A total
25 of 924 on the waiting list. Again, I don't intend to 11:07
26 turn this into a beauty contest. You have 112
27 patients, which is more than anyone else. But -- and
28 with the longest wait of 81 weeks. Mr. Young has a
29 longest wait of 84 weeks. Again, help us to understand

1 how that comes about that you would have more patients
2 on your in-patient and day case waiting list than any
3 of your colleagues?

4 A. I don't know, is the simple answer. This is 2015. It
5 doesn't surprise me at all. In fact I think actually 11:08
6 in more recent times, as we have just seen in the 2019
7 figures, it was about 280. So 112 is quite respectable
8 in that whole timeframe going on from 1992.

9
10 But it's interesting that Mr O'Donoghue, down at the 11:08
11 bottom of the screen, even though he has only 30
12 patients waiting is -- nonetheless the longest wait is
13 91 weeks. So there are disparities there. It's also
14 perhaps related to the nature of the cases, the nature
15 of the surgery that is provided, what different 11:08
16 consultants are concentrating on. So you can have 112
17 patients waiting 81 weeks, and those 112 patients may
18 not require as much operating time as half that number
19 requiring more complex surgery, so there's all of those
20 factors that would contribute to that disparity. 11:09

21 34 Q. Yes. And if we just scroll up so that I can see the
22 top of the page. Yes. Thank you. If we go -- just to
23 compare with 2019 so that we can see the picture. If
24 we go back to WIT-27574. And here we have, I suppose,
25 in-patient day case waiting lists. We can see that, I 11:09
26 suppose, there's an expansion in the numbers waiting to
27 be seen compared to 2015, perhaps not surprisingly
28 given the contraction in resources that has been
29 reflected upon in the evidence before this Inquiry.

1 Again, you've a significant number on your urgent 216
2 patients, and on the routine side of it you have 57
3 patients. In terms of -- we'll look after the break at
4 the impacts that you were seeing and were aware of in
5 terms of the patients themselves and morbidity, and 11:11
6 we'll look also at the impact on practitioners,
7 including yourself. But these figures are stark. They
8 clearly reflect a service under strain, is that fair?
9 A. It's minimalistic to say it's fair, it's absolutely
10 correct, and these figures just bear out what the likes 11:11
11 of myself and my colleagues have been saying for
12 decades. We are providing a grossly inadequate
13 service. And the only other thing I would say to that
14 is to reinforce what I've said earlier, and that is if
15 you look at those figures of those people waiting like 11:12
16 230-odd weeks, do you know, four and a half years for
17 urgent surgery, even if you look at the best, which is
18 Mr. Jacob at that time, waiting three years for
19 admission for urgent surgery, it is appalling really.
20 And this is not -- I'm not speaking here with an agenda 11:12
21 to be finger pointing and blaming and so forth, it's
22 just a statement of my view of the reality of the
23 situation, and it's going to be difficult to identify
24 the priorities. These figures would be the priorities
25 to my mind. It is terrible if you have any one of 11:13
26 these, there's 677 patients awaiting urgent admission
27 for four and a half years, and it wouldn't be at all
28 surprising if you had 10 of those patients who died
29 prematurely because of complications of their

1 condition, and that is unacceptable. It's sad.

2 35 Q. Yes. Well, we'll come back and touch upon that in a
3 little more detail after the break.

4 A. Thank you very much.

5 CHAIR: Okay. Thank you. Come back then at 11:30
6 everyone.

11:13

7

8 THE HEARING ADJOURNED FOR A SHORT PERIOD AND RESUMED AS
9 FOLLOWS:

10

11:14

11 CHAIR: Thank you everyone.

12 MR. WOLFE: So just before the break we were looking at
13 the waiting list figures, which the evidence has been,
14 and is again reflected through your statements, those
15 waiting lists have been, I suppose, an outworking or a
16 reflection of the demand, capacity mismatch as it has
17 been neatly called. I suppose to put more humane
18 context to this, you've explained in your witness
19 statement that behind these waiting lists are unsafe
20 services which result in increasing risk of serious
21 harm to multiple patients. Mr. Haynes has, I suppose
22 particularised that by saying in a similar vein, this
23 is in his witness statement at paragraph 393:

11:30

11:30

24

25 "We see patients come to harm, example emergency
26 attendance, when on a lengthy waiting list for surgery
27 necessitating emergency treatment. We see recurrent
28 catheter blockages, changes in catheter related
29 infection in men awaiting bladder outflow surgery. . ."

11:31

1 - and so on. "We're seeing it so regularly", he has
2 said, "that it is almost normalised." Again, your
3 reflections on that. Do you share that view?

4 A. Absolutely, and I think it's a very, it's a very apt
5 term to use, "it has become normalised" and, as you 11:32
6 know, this Inquiry has inquired into how the Trust went
7 about assessing that kind of risk to patient safety due
8 to long waiting lists. And, you know, increasingly I
9 think we all shared that probably central concern with
10 regard to -- this is the greatest risk to patient 11:32
11 safety. It is the length of time that they're waiting
12 to have their definitive remedy to their condition.
13 And if I may say so, in general parlance, in the public
14 domain, you will often hear it being referred to as
15 people in pain, and I'm not diminishing pain. If you 11:33
16 have a painful right hip whilst awaiting a hip
17 replacement, it's pain that you're suffering every day,
18 and that impacts negatively upon your quality of life,
19 but ask most orthopaedic surgeons, and I would say if
20 you have to wait five years, it's a different operation 11:33
21 that is required, and by that time your left hip has
22 gone as well. So this is what had become our -- it has
23 always been my concern since day one since 1992, quite
24 frankly, the harm that people were coming to. I have
25 seen people become dialysis dependent because of 11:33
26 waiting too long to have their stones dealt with. I
27 have seen, as the Inquiry has heard, of patients dying
28 of urosepsis following stone management. So it's a
29 reality and, you know, I'm just going on just to

1 confirm what you have said, but my emphasis is that
2 this is the greatest source of patient harm, in my
3 view.

4 36 Q. I want to go on just a little bit later to delve into
5 some of the responses to this malaise that were 11:34
6 initiated by you and your colleagues to try to, I
7 suppose, arrest management's attention to the need for
8 solutions. I also want to look at whether it would
9 have been feasible to work in a different way as a
10 clinician, or as part of a clinical team, to arrest 11:35
11 some of the worst effects of this shortfall in
12 resources. But can I have your general observation,
13 without descending perhaps into the detail, in terms of
14 whether you think, as a general observation, more could
15 have been done within the Trust, including amongst the 11:35
16 Urology team, to better get to grips with these
17 spiralling waiting lists and the pain, as you say, that
18 lies behind it?

19 A. I don't really think that we could have done anything
20 differently that would have impacted positively upon 11:35
21 the totality of the operative waiting lists. I think
22 it would be quite reasonable to state that perhaps we
23 could have done things differently that would have
24 targeted those people, or cohorts of patients on the
25 waiting lists that were at most risk of coming to harm, 11:36
26 and one thinks of the stented patients, and it may not
27 be the appropriate time now, but my aide-memoire brings
28 me back to an email that I wrote in June '16 where I
29 had 276 patients I think on my waiting lists at that

1 time, and I had placed the red flagged patients, cancer
2 patients who had not been given a red flag status,
3 patients with stents in and patients with catheters in,
4 all in the same category of urgency.

5 37 Q. So if you could just give me that reference and 11:37
6 we'll...

7 A. Yes, it's AOB-77568.

8 38 Q. And what we'll do is we're going to look at stents as a
9 capacity as well as a clinical management issue in the
10 course of the early afternoon I think. So we'll touch 11:37
11 upon that now. One of the things I think you've hinted
12 at, perhaps more than hinted at, is that the situation
13 in which the Trust found itself with Urology waiting
14 lists being, I think by any standard -- out of control
15 might be too strong language to put on it, but 11:37
16 certainly spiralling and causing difficulties for
17 patients. You've hinted at, I suppose, what you might
18 regard as a somewhat desperate measure on the part of
19 the Trust, and you refer here to a waiting list
20 validation exercise which you became aware of in 2019, 11:38
21 and you discovered that a patient had been removed from
22 the waiting list through an administration,
23 administrative validation exercise, and you were
24 concerned about that. And we can see, if we bring up
25 the emails in this respect, AOB-09499. And this is an 11:38
26 email from you on 22nd September. Just scroll down.
27 Yeah. So you're writing regarding this particular male
28 patient who had a stone obstructing his right, upper
29 right ureter in 2015, and you explain his management

1 and how he was placed on the waiting list on 8th
2 October 2015. You discovered in August of 2019 that he
3 had been removed, or in July of 2019 he had been
4 removed from the waiting list. You contacted him by
5 phone and he explained the correspondence that he
6 received. Can you just elaborate then, Mr. O'Brien, on
7 why you were concerned about what you had discovered
8 and what you think it was pointing towards?

11:39

9 A. Well if you could scroll on down it might help?

10 39 Q. Sure.

11:39

11 A. So basically this is a topic or an example that touches
12 upon several aspects of practice, one is waiting list
13 management, and I mean I paid a great deal of attention
14 to waiting list management out of necessity, because
15 every day one would receive queries about where I am,
16 get messages about deteriorating conditions and so
17 forth. So I always, when I got a new print-out of my
18 waiting list, I compared it to the previous one to see
19 if someone was missing, why were they missing that I
20 didn't know about? So I explored it from that point of
21 view.

11:40

11:40

22
23 So four years in this man has been removed from the
24 waiting list. So he indicated that he felt that he
25 didn't require his operation anymore because his only
26 problem was getting up at night to pass urine and that
27 was relatively tolerable and mild for him. But then I
28 got an ultrasound scan performed finding that he had
29 inadequate unsatisfactory bladder voiding, that he had

11:40

1 also a stone in his bladder, and I subsequently found
2 on that CT scan that he also had a stone in his kidney
3 I think, and when I reported back to him the findings
4 of all of that, I dictated a letter to the GP asking
5 that he be prescribed some medication whilst awaiting 11:41
6 admission for the TURP that I recommended that he still
7 did have, and after he would have his diabetic control
8 optimised.

9
10 So basically my concern at that time was that a waiting 11:41
11 list, an administrative waiting list validation
12 exercise was being undertaken without any clinical
13 advice being requested or inputted. Basically, this
14 comes down to informed consent, do you know. It's
15 perfectly reasonable for any patient to say "I do not 11:42
16 wish to proceed with the surgery", provided that they
17 are optimally informed of the consequences of their
18 decision, because it's very easy to be taken off a
19 list, but if he had changed his mind a month later and
20 wanted to be put back on the list, he wouldn't 11:42
21 necessarily have been put back on his previous date.
22 And you will have heard I think from Mr. Cavanagh when
23 this was addressed when he gave evidence, because it
24 appeared to me that Mr. Cavanagh wasn't aware that
25 there was no clinical input into the validation 11:42
26 exercise. So I drew attention to this, and you may
27 wish to draw attention to the fact that I copied
28 Mr. Haynes into this and then he...

29 40 Q. Yes. We can see, if we scroll back up, that Mr. Haynes

1 was also concerned. There was no awareness that this
2 processed started, and he explains that if the process
3 is limited to checking whether a patient is deceased
4 and hasn't gone elsewhere, then that would be fine, but
5 he's articulating the view that there was information 11:43
6 to suggest that the process went beyond that, and that
7 was unsatisfactory and perhaps dangerous from a
8 clinical perspective.

9
10 If we look at -- and it appears that because of your 11:43
11 interventions the process ceased to be carried on. If
12 we look at what Mrs. Corrigan, Martina Corrigan has
13 said about that. If we go up -- just let me see the
14 page numbers at the top of the page? If we go back
15 four pages to 495 in the sequence, please, and she's 11:44
16 explaining, if we just go to the third main paragraph,
17 this process, as she explains:

18
19 "...had been discussed originally with me as being an
20 admin validation, that is to determine if they are not 11:44
21 deceased, living at the same address, check that they
22 have not had their procedure done elsewhere. However,
23 on discovering through increased MLA and patient
24 inquiries that this was a letter sent to patients to
25 ask if they still wanted their surgery, I immediately 11:45
26 put a stop to urology and ENT..."

27
28 - although she says she believes other specialties are
29 continuing. So it would appear from a service

1 perspective, including Mrs. Corrigan's view on it, that
2 this was certainly an unanticipated validation exercise
3 and one that she was not supporting. But it perhaps
4 illustrates your view on this, that sometimes desperate
5 measures are taken to try to address waiting list 11:45
6 issues?

7 A. Yeah. Well, I mean I'm somewhat sceptical, not
8 particularly of Martina's view, that she wasn't aware
9 of the clinical consequences of that, because they had
10 been going on for years previously, and if I am 11:46
11 correct, and I stand to be corrected if I am incorrect,
12 as far as I could see from more recent disclosure
13 they're still continuing. I do not know whether
14 they're continuing with clinical input or otherwise.
15 And really, you know, it's the kind -- I think actually 11:46
16 apart from my criticism in relation to that particular
17 patient and, indeed, Mr. Haynes' criticism, because he
18 found one of his patients who had been taken off the
19 list with even more dire consequences, is that, you
20 know, it's unnecessary. If the patient is on the 11:46
21 waiting list, and if I were considering his admission,
22 of course I would be contacting him and I would be
23 having that discussion with him as to whether or not he
24 wished to have it and whether he was clinically
25 informed and so forth. So I just considered it to be, 11:47
26 you know, a waste of money, because it's easy to take
27 the patient off the waiting list when the clinician is
28 in contact with them, which is one of the reasons why I
29 always felt that the clinician is the most appropriate

1 person to be conducting waiting list management rather
2 than a validation exercise like this, for which
3 £20,000-something was paid to undertake at that time.

4 41 Q. Yes. Just continuing our look at the impacts on this
5 demand capacity mismatch and the pressures it created. 11:47
6 Clearly patients come first, and we've explored how
7 delays in treating patients lead to the risk of greater
8 morbidity and presentation through the emergency
9 channels in extremist, that's one very significant
10 impact. Mr. Haynes in his evidence also reflected upon 11:48
11 the impact on management and their ability to do their
12 job in the way that, I suppose, the whole service would
13 like. And let me just bring you to his witness
14 statement in this respect and ask for your views. It's
15 to be found at WIT-53884, and he says at 19.3 at the 11:48
16 bottom of the page that:

17
18 "The mismatch between demand and capacity and the
19 strains of delivering care within current capacity,
20 also means the directorate management team, that is the 11:48
21 operational managers and the assistant directors, spend
22 a large proportion of time managing day-to-day
23 pressures and responding to complaints with consequent
24 negative impact on their ability to function in a
25 strategic service planning and development role." 11:49
26

27 Your reflections on that. Is that also part of the --
28 is that impact also part of the vicious circle or the
29 consequence of resource pressures?

1 A. I would concur with that entirely, and whilst in view
2 of the fact that I mentioned Martina Corrigan earlier,
3 I often wondered how she managed to work the long days
4 and parts of nights that she did. She spent a lot of
5 time reacting to the consequences of the inadequacy of 11:49
6 the service, just as we as clinicians did, as the
7 nursing staff did, and if there is one message that I
8 would wish to convey by the end of this week is exactly
9 that, that the most important finding on review of the
10 urological service is that it had become so inadequate 11:50
11 that it became so unsafe and, you know, it's like
12 complaints, and people making inquiries and so forth,
13 and sometimes historically you will read and hear
14 people referring to those people as the creaking gates
15 and so forth, but they became less and less the 11:50
16 creaking gate and the silent sufferer was ignored.
17 These were people in desperation through their
18 representatives, their GPs, their MLAs or whatever, due
19 to the inadequacy of the service. So it impacts, it
20 ripples everywhere. So I would concur entirely. 11:51
21 42 Q. Did you understand that ripple or that effect, as, in
22 essence, creating a service where management were
23 reactive as opposed to finding the time and the
24 resources to be, if you like, in planning mode, in a
25 strategic mode? 11:51
26 A. Yes. Insofar as ultimately a strategic mode was going
27 to bring you forward in view of the inadequate
28 resources that were being allocated to you and
29 budgetary terms. You have listened to the difficulties

1 that the service has had over the years in recruiting
2 additional staff and so forth. So even if the money is
3 there you don't always -- are able to expand and to
4 make progress. It's an extremely difficult situation
5 to address and resolve. It's very easy for me sitting 11:52
6 here looking back and saying, you know, we should have
7 had twice as many operating sessions, but then you
8 don't see anybody at a new clinic if all of the
9 inadequate numbers of consultants are operating. So
10 it's a difficult one to address, but I agree, yes. I 11:52
11 mean we experience the consequences of that inadequacy
12 every day. I think in my witness statement I've
13 referred to -- my secretary used to actually come up
14 with the top five major complaints of the 20-odd she
15 would get each day, and there's just only so much that 11:52
16 any one person, or indeed a collection of clinicians,
17 can attend to day in/day out in a sustainable manner.

18 43 Q. Let me move to look at the impact, as you describe it
19 on yourself, and perhaps you would say other of your
20 colleagues, of the inadequate system. Your witness 11:53
21 statement -- and we may have had this before and I may
22 have summarised it at the start of the piece this
23 morning, but it's helpful just to put it on the screen
24 again. It's WIT-82597. And at paragraph 584 you say:

25
26 "Issues which arose in relation to my practice were
27 inextricably linked to the inadequate system I was
28 working in. That led to recurring issues, for example,
29 in relation to triage. These issues could have been

1 prevented had the Trust ensured that Urology Service
2 had adequate staffing and capacity so that a
3 practicable system could have been put in place to deal
4 appropriately with triage."

11:54

6 You link the inadequate system to the choices that you
7 say you had to make in relation to triage, and that was
8 ground we covered in great depth on the last occasion,
9 so you'll excuse me if we don't trespass upon that area
10 in any great detail.

11:54

11 A. Mmm.

12 44 Q. But your answer linking the inadequate system to how
13 you practise, and the way you practised, you've given
14 the example of triage, we have seen other allegations
15 of shortcomings in your practice, or inadequate
16 practice, on the last day, and we'll look at others as
17 we go on over the course of the next several days. Do
18 you say that in terms of the impact of the inadequate
19 system, do you say that it forced you into practise
20 that was less than optimal in any other area apart from
21 triage?

11:55

11:55

22 A. Yes, I would. And without trespassing into triage, but
23 just permit me this one reference, and that is, if you
24 have a situation where you know that someone who has
25 been urgently referred is going to wait 85 weeks, or
26 routinely referred to as going to wait three and a half
27 years, as a clinician I felt an ethical issue: Do you
28 regard the information that you're provided with, and
29 even if you investigate it just as nevertheless it's

11:56

1 urgent or routine, but you do not take any further
2 measures to rule out a greater issue, I always
3 considered that to be an ethical problem. It's like
4 driving past the road traffic accident, or stopping and
5 having a look and seeing injured people, and then 11:56
6 getting back into your car and not doing anything about
7 it.

8
9 So with regard to dictation, yes, similarly so. One
10 has to make choices with regard to actually reading or 11:56
11 being able to deal with all of the emails that you
12 receive each day, which is the more important things to
13 do as you walk into the hospital each morning? Is it
14 go to deal with the in-patients? Is it to sit down and
15 read your emails? You know, I think that when you look 11:57
16 at the differing practices that evolved, whether it's
17 Mark Haynes getting up at 5:00 o'clock in the morning
18 to do all of his administration, and spending some 15
19 hours a week in doing so, or whether it's me doing it
20 until 3:00 o'clock in the morning, or whether actually 11:57
21 increasingly it's people saying "actually I'm not
22 prepared do either and I walk away from it". In fact I
23 have been reading recently some interesting literature
24 talking about the impact of what's called discrepant
25 services on individual clinicians when issues like 11:58
26 compassion and empathy and support that they're able to
27 give to patients during their caring for them is
28 squeezed out because of the priorities that the
29 employer or management would have. So there are

1 serious issues indeed. So, yep, there is no doubt
2 about it, I agree entirely with Mark Haynes. This is
3 the -- he described it very appropriately as the
4 unmeetable expectation arising from that mismatch
5 between demand and capacity. 11:58

6 45 Q. So in terms of the impact of the system, it's making
7 you, you would say, or it's forcing you and compelling
8 you to make choices in terms of how you practised?

9 A. And trade offs, yeah.

10 46 Q. Yes. You mentioned triage, you mentioned dictation, 11:59
11 what about results?

12 A. Everything.

13 47 Q. Everything?

14 A. Yep.

15 48 Q. Mr. Young was asked about additionality, the extra work 11:59
16 in theatre predominantly that was from time to time
17 offered to members of the team in order to assist with
18 the clearance of backlogs, and I note that you have
19 said, for example, in your grievance to the Trust --
20 and I don't need to bring it up on the screen, it can 11:59
21 be found at AOB-02029 -- that you were explaining in
22 your grievance that the pressures you were under for
23 many years with waiting lists for both in-patient
24 treatment and review, and the time that you were using
25 to ease the backlog, caused you to fall behind in your 12:00
26 administrative work. "There had been times", you said.

27

28 "...when I fell behind in administrative work in the
29 past and would have worked additionally to ease that

1 backlog."

2

3 So Mr. Young's point is this: that in taking on extra
4 slots in theatre he says it's clearly done on the basis
5 that you can cope with doing the extra, it's in 12:00
6 addition to what you do, it shouldn't displace what you
7 are assigned to do in your job plan. Did you take on
8 additional slots, as he put it, whilst recognising that
9 this would impact on other aspects of your work?

10 A. Yes. And I'm glad you picked up this topic because you 12:01
11 will -- I've made reference to it in my aide-memoire,
12 but it's also referred to by Michael Young when he was
13 my appraiser. You know, Michael did have the ability
14 to compartmentalise, you know, so that the waiting list
15 of any kind, any kind of waiting list was a Trust 12:01
16 issue, and I think somewhere in -- I wasn't able to put
17 a Bates reference number to it, but somewhere, whether
18 in giving evidence or in his witness statement, he
19 said, you know, the waiting list is a Trust issue or a
20 Trust problem, it's not the clinician's problem. And 12:01
21 once again ethically I felt, actually, do you know,
22 that's a sterile argument, because it's the third leg
23 of that stool is the most important, and it's the
24 patient's problem.

25 49 Q. I think we can just -- I think it is in your 12:02
26 aide-memoire? It's written into one of the...

27 A. Yes, but I don't have a Bates reference number for it.
28 I couldn't find it.

29 50 Q. Yes.

1 A. But, anyhow. I mean I read so much of people saying
2 "well, that's just Aidan", whatever. I didn't hear of
3 it until the Inquiry. But the number of times, you
4 know, that Michael would be able to say "well, that's a
5 Trust issue. That's not our issue", and I just found 12:02
6 that ethically and compassionately, if you are reading
7 and trying to respond to cries of desperation every
8 day, I couldn't pass up the opportunity to operate on
9 two or three more patients. I think I'm correct in
10 saying -- I was reading some of my own notes in recent 12:03
11 days where I think I did something like 26 additional
12 operating sessions during 2019, and yet my urgent
13 in-patient waiting list is longer than ever.

14
15 So to answer your question more directly, did it impact 12:03
16 upon my ability to do the administrative work that then
17 manifests itself as shortcomings? Yes, it did. Do I
18 think in retrospect that that was worth it in order to
19 reduce the risk of other people coming to serious harm
20 by taking on additionality? Yes, I do. 12:03

21 51 Q. But in taking on the additionality were you not
22 creating risks elsewhere in your practice?

23 A. Lesser. That's the point I'm making.

24 52 Q. And who judges that?

25 A. Well it was my judgment. 12:04

26 53 Q. And is that not something that should be, if you like,
27 talked through transparently with management so that
28 they can make the decision whether you can safely leave
29 behind that which is expected of you in the job plan in

1 order to cope with what, I think you've described in
2 your statement as the invidious position of leaving
3 patients suffering?

4 A. well, you will have noted the success that we achieved
5 or had in engaging with management and discussing 12:04
6 exactly that kind of issue with relation to Urologist
7 of the week and how that related to triage and the
8 feasibility and what it was possible and what the Trust
9 expected of us to do, and it never materialised. So,
10 ehm... 12:04

11 54 Q. But Mr. Young, accepting his evidence if you do, he is
12 saying that "I made it perfectly clear when holding out
13 the opportunity for extra slots that this has to be
14 done, it can only be done if you're able to cope with
15 it, if you're able to cope with all of the other 12:05
16 demands in your practice", and he said explicitly in
17 his evidence that he reflects that you were trying to
18 maybe juggle far too much at the time, but that would
19 have been your choice. He sets, for example, the NICA
20 role, the other roles that you took on. There was an 12:05
21 element of choosing to take on work that impacted on
22 the basics of your practice and created risk as a
23 result?

24 A. Yeah, it's -- in retrospect it's a major regret of
25 mine, and I think I've said that in my witness 12:06
26 statement in the final sentences of my original witness
27 statement. But, you know, it's not like as if I raced
28 anywhere to take on these roles. I was approached by
29 NICA if I would consider doing it. It was suggested

1 by the previous incumbent that I should consider doing
2 it. I then made the cardinal mistake "well, I will
3 consider it if no one else steps forward", and of
4 course no one else did step forward, and then I felt
5 that it was incumbent on me to take up the role because 12:07
6 no one else was going do it and I felt it was an
7 important role. That was at the start of 2013, and we
8 knew that we were going to be peer reviewed in 2015.

9
10 With regard to lead clinicianship and chairing of our 12:07
11 own MDT and MDM respectively, this was on the departure
12 of Mr. Akhtar in March 2012, and at that time the only
13 other possible candidate would have been Tony Glackin,
14 who would, in retrospect, have been entirely fit and
15 capable of being a good lead clinician and a good 12:07
16 Chair. But Michael Young and I discussed it and we
17 felt that he wasn't long in position at that time and
18 it was perhaps not quite fair to load that kind of
19 responsibility on a recently appointed consultant. I
20 think he came in in 2011 or thereabouts. 12:07

21
22 So, once again, if I may say so, maybe the reason why I
23 took on that role in the Southern Trust is maybe
24 another ripple of consequence of inadequacy of
25 manpower. You know, there's very little choice. But 12:08
26 there is no doubt whatsoever that taking on both of
27 those roles from April '12 right through to the end of
28 2016 had a major impact, and I think in the addendum
29 statement that I have put in where now, do you know,

1 the lead clinician gets a PA, and the lead clinician
2 and Chair of the NICaN gets half a PA, do you know,
3 which was actually -- that's twice what I was getting
4 or offered for my total administration time during that
5 period of time.

12:08

6 55 Q. You do use the word "invidious position", maybe we'll
7 just bring it up and have your comments upon it and you
8 can fully explain what you mean by it? WIT-82599.
9 This comes towards the end, I think, of your primary
10 witness statement at sub-paragraph (2) there, and you
11 say:

12:09

12
13 "The Trust's knowledge that I was grossly overworked on
14 a chronic basis and its failure to provide realistic
15 job plans and/or support so that I only worked in
16 accordance with those job plans. Had I only worked in
17 accordance with the time allowed in my job plan, more
18 and more patients would be waiting longer and longer to
19 see a consultant and/or have treatment. That placed me
20 in an invidious position, meaning that I tended to
21 sacrifice my own time to try to address the issue."

12:09

12:09

22
23 I think if I can add a caveat to that, I think one
24 you've already accepted, you also sacrificed duties
25 that you recognised that you should have performed in
26 order to address these issues. Is that entirely fair?

12:10

27 A. Not necessarily entirely fair. It depends on which
28 duties you are referring to, because it's easy just to
29 pass over. I'm just thinking of dictation, for

1 example, do you know, where, you know, there was no
2 policy, or guidance, or expectation, for example, that
3 every patient you encounter in an outpatient clinic
4 would have dictation done afterwards. So...

5 56 Q. You'll forgive me if I don't cross swords with you on 12:10
6 that. I think we have dealt on the last occasion...

7 A. No, but it's just to make -- I'm just using the point.

8 57 Q. Well I'm not sure that all of your colleagues would
9 accept there was no expectation. It may well be that
10 the expectation, some might say, wasn't sufficiently 12:11
11 defined or wasn't put into a policy. But leaving that
12 behind, the invidious nature of it is really what I
13 want to get to. Did you feel that in essence if you
14 didn't work in the way that you worked greater
15 suffering would be the lot of a large number of 12:11
16 patients?

17 A. Absolutely. I was between a rock and a hard place
18 basically.

19 58 Q. The addendum statement that you've put together has
20 taken the opportunity to address in forthright terms 12:11
21 some of the criticisms that were made by witnesses in
22 relation to the way that you worked. So, for example,
23 where Ms. Gishkori said that you created havoc in
24 theatres, albeit her explanation around that didn't
25 appear to relate to the theatre itself, more to the 12:12
26 process of establishing -- and for example, she
27 referred to Patient 84 -- the process of making
28 arrangements for theatre. That was the patient who
29 gave evidence before this Inquiry about arriving in the

1 ward over Easter 2015, I think off the top of my head,
2 and finding nobody there, nobody was there who knew why
3 he was there. But leaving all of that aside, and
4 you've dealt with that in detail, I do want to ask you
5 whether upon reflection you consider that you could 12:12
6 have worked in a more efficient way or in a more
7 productive way during your practice?

8 A. Well if I may deal with havoc in theatre? Because I
9 don't want these opportunities to be...

10 59 Q. Well I think, with all due respect, I think those 12:13
11 issues are well covered in your addendum, both your
12 response to Mrs. Gishkori and your response, lengthy
13 response to Mrs. Corrigan, who set out a number of
14 criticisms.

15 A. Okay. 12:13

16 60 Q. And that evidence has been received now by the Inquiry
17 through your addendum statement.

18 A. Yes. Yes.

19 61 Q. Let me take triage, for example. Mr. Haynes's evidence
20 was that you made a choice to telephone a significant 12:13
21 number of patients, and in doing that you were unable
22 to meet the bare minimum triage for other patients.
23 Michael Young reflected in his evidence that triage
24 would certainly not involve, in his view, having to
25 phone the patient and having a consultation about the 12:14
26 issues.

27
28 Anita Carroll, just to bring it to a different issue,
29 reflected that by 2017 you were the only consultant, I

1 think she meant in urology service, not using digital
2 dictation. You've heard evidence -- we've heard
3 evidence about excessively long dictations when you did
4 them. That kind of practice. Can you help us better
5 understand that? Could you have improved your 12:14
6 administrative efficiency working in different ways,
7 perhaps delegating to your secretary more often, so as
8 to free up time for what was more important?

9 A. Well, I say this respectfully, Mr. Wolfe. I think what
10 you have listened to is a lot of almost gossip. It's 12:15
11 rumour. I know that you have not wanted me to do it,
12 but just one statement. I didn't even arrange the
13 admission of Patient 84. It wasn't me at all.
14 Mrs. Gishkori, I'll just say, she formed a view on
15 hearing of this one experience, of which I wasn't even 12:15
16 involved. I've never created administrative havoc in
17 theatre or in the scheduling of patients, because I
18 paid attention to it. There has been no inquiry of
19 theatre staff and so forth from the Inquiry as to
20 whether or not I ever did create any administrative 12:16
21 havoc.

22
23 With regard to triage. It's all so grossly
24 exaggerated. You know, if you actually are referred
25 someone with an elevated PSA and you reckon it would be 12:16
26 a good idea to have an MRI scan done prior to the
27 patient attending, you cannot request it without
28 speaking to the patient to ensure their compatibility
29 to have an MRI scan to make sure about stents in, or

1 other -- have you ever had shrapnel injuries? You
2 can't do it. And actually I was able to, whilst
3 filling it in, I could speak to the patient, if they
4 answered the phone, otherwise an MRI scan, I didn't do
5 it at all because you can't request it without checking 12:17
6 that for the patient. So I could have what's been
7 described -- not every patient had a consultation. In
8 fact actually the only patients who had a kind of a
9 consultation would have been patients like, for
10 example, a 60-year-old woman with recurrent urinary 12:17
11 tract infections who otherwise may not be seen for
12 three years and whom I had noted hadn't had any
13 antibiotic prophylaxis, that maybe that would be a good
14 idea. So in a sense, actually, that involved a
15 discussion, but the discussion didn't go on for half -- 12:17
16 it has been exaggerated, grossly in my mind.

17
18 And I think actually that those who haven't practised
19 in that way, they think that there is something
20 particularly efficient about allowing a scheduler or 12:17
21 the secretary to do it, who will then come back to you
22 and say "well, this patient doesn't know. Could they
23 speak to you?", and I just actually bypassed that and
24 did it myself. So I think in triage -- and what was
25 the third example you gave? 12:18

26 62 Q. well I was referring to trying to, perhaps unfairly,
27 group the -- the general concern is: Could Mr. O'Brien
28 have worked in a more efficient, modern manner?

29 A. (Laughs). Yes.

1 63 Q. And the examples that have been given relate to, in the
2 triage context, contacting patients directly. In the
3 scheduling context, we have the evidence of
4 Mrs. Corrigan that unlike other practitioners you would
5 have rang the patient detailing what they needed to do, 12:18
6 she said. That's a good service for that individual
7 patient, but no other consultant did it, and whilst you
8 were doing that triaging and dictating, or looking at
9 results, there were matters that suffered. Do you
10 reflect at all, Mr. O'Brien, that there were 12:19
11 significant improvements to have been made in terms of
12 your approach to tasks that would have freed up for you
13 the time that you complain was lacking?

14 A. Well it would have been my own time, for a start off,
15 you know. All of this -- most of us were doing this 12:19
16 outside of our job planned time, as has been detailed
17 very well by Mark Haynes. And if you were to ask the
18 same, the others to do likewise, it would be a similar
19 issue.

20 64 Q. It doesn't quite answer the point, Mr. O'Brien. 12:19
21 Significant parts of your practice were falling into
22 disrepair,

23 A. Mmm.

24 65 Q. Some would say, and let me take you to Mr. Glackin's
25 evidence. He was a Research Fellow in 2002, and he got 12:20
26 to know your practice quite well, he was explaining.
27 And he came back in to Craigavon as a fully fledged
28 consultant in 2013, and to his eyes, his evidence to
29 this Inquiry, nothing had changed around your

1 administrative approach. He said:

2

3 "Part of it is due to how he chose to practice. He
4 would have explained on occasion..."

5

12:21

6 -- giving his example:

7

8 "...that he wanted all the results back before he would
9 write a letter."

10

12:21

11 That's in the context of dictation. So is there
12 something in that, upon reflection, that all of these
13 observers, you may call it gossip or secondhand, but a
14 lot of these observers are working very closely with
15 you and they can see room for greater efficiency and
16 see tasks that you shouldn't be performing that no
17 other clinicians would perform, opportunities for
18 delegation that you just weren't taking?

12:21

19 A. Yeah, I mean if it is the case that no other consultant
20 ever contacted a patient prior to scheduling their
21 admission for surgery, which I find almost impossible
22 to believe, but there you are, if it is the case that,
23 you know, if you have reviewed a patient today and the
24 only thing that you are awaiting is to have a urine
25 culture result back, that nevertheless is more
26 efficient do two letters rather than one, you know,
27 three days after the event, if that is a greater degree
28 of efficiency, fine.

12:21

12:22

29

1 I think delegation is the singular most important
2 aspect of that. And, you know, I mean people can have
3 their criticisms of my way of working and, you know,
4 I'm not so sure, and I go back to the inadequacy of the
5 service once again, I'm not so sure that all of the 12:22
6 modern more efficient ways are necessarily an
7 improvement to the patient experience. There is too
8 much one way conversations prevalent now.

9
10 I have listened to the Inquiry, and I gather from 12:23
11 Dr. Swart and others that it has been mandatory for
12 some years to send a copy of the letter addressed to
13 the GP to the patient. Now, I mean, you know, patients
14 are approaching me asking me if I could explain what
15 this letter means. But it's very efficient and 12:23
16 patients are really, they're hardly service users,
17 they're passive service recipients, because the modern
18 efficient service has them less well-informed, less
19 well-understanding than ever. So, that's my cautionary
20 note about, and comments that I would make about any 12:23
21 criticisms of me with regard to adopting more modern
22 efficient services.

23
24 I've even actually had one or two patients approach me
25 receiving copies of letters addressed to the GP telling 12:24
26 the GP about findings of investigations and the intent
27 to have the patients admitted for something, even
28 invasively, under general anaesthesia, without the
29 patient understanding what has been found or what

1 they're going in for. Efficient? That's the way it is
2 right now. Is that good? I don't think so.

3 66 Q. Part of your explanation for being unable to meet the
4 standard expected of you by the Trust, for example, in
5 triage, not dealing with all or a significant number of 12:24
6 the urgent referrals and the routine referrals, part of
7 your explanation for that is "My focus had to be on the
8 patient during urologist of the week and on the red
9 flags that were coming in, and that was just the simple
10 reality", you would argue, "of the environment in which 12:25
11 I worked, with all of the pressures that came with
12 that." But in that environment, no doubt you were
13 reckoning all of the time: what can I do with the
14 resources and time available to me? Is that fair?

15 A. That's fair, yeah. 12:25

16 67 Q. And part of that reckoning should have involved: How
17 can I work most efficiently with the cards that I have
18 at my disposal? So, part of that reckoning was "well,
19 I can't do urgent and routine", and you asked the
20 Inquiry to understand the context for that. But 12:26
21 equally on the other side you are delivering what some
22 might regard as an excessively high standard of service
23 to patients by, for example, contacting them directly
24 when a scheduler could have assisted you with that, or
25 a secretary could have assisted you with that. Was the 12:26
26 balance -- I suppose the question that comes to this
27 is: was the balance tilted too far on occasions?

28 A. It is possibly the case. I mean I am not opaque or
29 resistant to criticism, and constructive criticism, but

1 you know, as urologist of the week, Urologist of the
2 week was a very different model. Now I wouldn't have
3 been scheduling patients during Urologist of the week
4 and, you know, when all of triage was included in
5 Urologist of the week, and to which I agreed and which 12:27
6 I found impossible to complete, you know, I did, I did
7 observe, Mr. Wolfe, I have no doubt that whether it was
8 a major contributor to other people having to allocate
9 their time to triage as opposed to other, I mean I did
10 see, and it's well known, it's well established in 12:28
11 other specialities as well, you know, where, do you
12 know, the urgent operation will be put off until
13 tomorrow, or put off until the next surgeon of the week
14 comes on-call, and I witnessed all of that. You've
15 heard it being given in evidence to the Inquiry where 12:28
16 the ward rounds will not be done anymore. I mean, the
17 priority -- in fact actually, in referring me to the
18 GMC, Dr. Maria O'Kane said that Urologist of the week
19 was introduced to facilitate triage. It wasn't. It
20 was introduced in order to improve the in-patient care, 12:28
21 care of in-patients which we were so worried about.
22 Triage was an add-on. It should never have jeopardised
23 in-patient care. And there were days when I think the
24 maximum number of emergency operations I did in one day
25 was seven or eight in one day. If you actually are 12:29
26 operating on eight patients in one day, you don't have
27 time for red flags, never mind urgent and review.
28
29 I also would just like to take this opportunity of

1 correcting one impression that I think I'm guilty of
2 giving myself, and that is, is that I never triaged an
3 urgent or routine. I did. I just couldn't complete
4 them all, but I certainly did all the red flags.

12:29

5
6 So -- and as you know, when I responded in detail to
7 the Patient 10 SAI in January '17, I asked earnestly
8 that this very conundrum be addressed by the Director
9 of Acute Services to determine who should triage, when
10 it should be done, how it should be done, and to what
11 degree it should be done, and as you know, two years
12 later when we made a second attempt to meet with senior
13 management to address these fundamental issues, they
14 didn't attend.

12:30

15 68 Q. I want to actually move on to the kinds of engagements
16 that were -- that took place and were available to you
17 and your clinical colleagues, and part of that will be,
18 as we move through it, engagement with management. I
19 want to start, however, with whether there was adequate
20 engagement across this urological team in the Southern
21 Trust, and I want to look at it, I suppose, for a
22 number of reasons. I want to have your observations on
23 whether could matters, looking at it from our
24 standpoint today, could matters have been handled
25 better if the team had worked better together? Could
26 difficulties have been mitigated with better engagement
27 across the team? I want to have your views on whether
28 communication was adequate within the team, or whether
29 perhaps each of you, perhaps because of the pressures

12:30

12:31

12:31

1 that you were facing, whether you perhaps functioned
2 independently? Was there a silo culture in place? So
3 those are the issues we're going to spend the next
4 period looking at.

5
6 It appears from your witness statement that there were
7 no shortage of opportunities to meet with your
8 colleagues. There were departmental meetings, there
9 was the multi-disciplinary team meeting, there was a
10 scheduling meeting, patient safety meeting. Ward
11 rounds, we've received evidence about that how they
12 fell into some difficulty around the introduction of
13 urologist of the week and we don't need to go back over
14 the reasons for that, but the short point is that there
15 were lots of opportunities for communication between
16 colleagues. Is that fair?

17 A. That's fair.

18 69 Q. Mr. Young, who was obviously the clinical lead, he
19 explained to the Inquiry that he said as many as
20 possible of the decisions within the service are led by
21 committee. In other words, he said:

22
23 "I, as lead clinician, bring the topics to discuss at
24 departmental meetings. We all discuss any changes and
25 agree them with the team of consultants. All of the
26 consultants in the unit are involved in decision-making
27 about how the unit was run."

28
29 And he said that in his input into Dr. Chada's

1 investigation. Is that an accurate sense of how things
2 were done within the service?

3 A. Yeah, I think, yeah, to the extent that we collectively
4 could address and resolve issues, yeah, that is fairly
5 accurate. 12:34

6
7 You will recall that Mr. Young in his evidence giving,
8 however, stating that if the issue was to be dealt with
9 was one that was coming from senior management or from
10 the executive that we had to address, it was 12:34

11 productive, or whatever. But if it was something that
12 we were trying to have addressed by management and
13 having to deal with it on our own, those discussions
14 were less productive because you just continue
15 repeatedly to discuss the same issues over and over 12:35

16 again. And, you know, if you take six consultant
17 urologists in one room, you know, you may get five or
18 six different views or priorities and so forth, and I
19 really did feel that we needed to have a dialogue with
20 senior management in order to make all of that 12:35

21 worthwhile, and we were just talking to ourselves in
22 the room, and at one stage I think Mr. Haynes said, you
23 know, that we are the Trust. well, frankly, no, we're
24 not the Trust, you know. We were a significant part of
25 the Trust, but we needed to engage with the senior 12:35
26 management to make -- to at least have a truthful
27 understanding of where we stood on certain issues.

28 70 Q. would you have regarded the Departmental meeting, that
29 opportunity to sit down with your consultant

1 colleagues, as being the, I suppose, the best
2 opportunity to put matters on the table and discuss
3 them colleague to colleague? I take your point about
4 it not giving you access to the corridors of power and
5 the need to advance things with management, but so far 12:36
6 as it went, and perhaps limited as it may have been,
7 was that, in your experience, a useful forum, the
8 Departmental meeting?

9 A. Yes, it was a good forum, because when you, when you
10 are pressurised, when you're aggrieved, when you face a 12:36
11 problem, at least to have the opportunity of speaking
12 about it and sharing that with your colleagues and
13 collectively trying to find a resolution to it, it's
14 very worthwhile. And there is no doubt that in the
15 earlier years I found them to be more productive than 12:37
16 when we became, not just a larger group, but half the
17 group wouldn't have been present anyhow because they
18 were doing things in other places, and I know that
19 Michael Young was very, very frustrated by the poor
20 attendance at times. But it was just -- it's not like 12:37
21 that we found them to be pointless and didn't attend,
22 even though were doing nothing else at the same time,
23 most people were actually busy doing other things at
24 the same time. Perhaps another consequence -- I'm
25 sorry to blame everything on the inadequacy of the 12:37
26 service, or appear do so, but that was a reality. You
27 know, if you -- there were so many times actually that
28 I would do an in-patient ward round as Urologist of the
29 week, and after dealing with, you know, maybe 30

1 in-patients on the ward with complex needs, with a
2 registrar and so forth, and at 12:30 or 1:00 o'clock
3 have the opportunity of getting a bite to eat before
4 you would start to see the outliers in the afternoon,
5 it wasn't always possible to fit in a departmental
6 meeting as well. So...

12:38

7 71 Q. Yes. I mean your reflections of the meeting falling
8 into disrepair as the years went on are perhaps
9 consistent with what Mr. Young has reflected. At one
10 point, I think it was 2019, he wrote out to colleagues 12:38
11 -- yes, 29th November 2019, expressing concern about
12 the lack of departmental meetings saying, "We've not
13 met properly in about a year." Mr. Glackin, for his
14 part, suggesting that he was a regular attender, but
15 yourself, Mr. Haynes, Mr. O'Donoghue, frequently failed 12:39
16 to attend, and he expressed the view that:

17
18 "Due to the number of fronts on which the service was
19 failing to deliver, it was difficult to achieve a
20 consensus as to how to move forward without engagement 12:39
21 from colleagues."

22
23 So you put in mitigation "I wasn't away at a fancy
24 restaurant, I was actually attending to work, and the
25 pressure of work meant often times I couldn't attend." 12:39

26 A. Mmm. Mmm.

27 72 Q. But reflecting back on this period, could those
28 departmental meetings have been better used?

29 A. They could have been, yes. That's a fair criticism.

1 And insofar as I contributed to that, it's a fair
2 criticism, yes.

3 73 Q. Obviously it is convenient to try to analyse matters by
4 reference to the line in the sand, I suppose, which was
5 the MHPS investigation that was visited upon you. So 12:40
6 there was the period before that where you would say
7 you were struggling to keep your practice in order with
8 regards to triage, with regards to dictation, and the
9 things that form part of MHPS. Then your exclusion
10 from work and your return to work, subject to the 12:40
11 monitoring arrangement of the Action Plan. I mean,
12 looking at both sides of that temporal line, do you
13 reflect that you should have, could have sought better
14 assistance or support from your colleagues?

15 A. Prior to MHPS? 12:41

16 74 Q. Prior to MHPS.

17 A. Hmmm. I -- that's a good multi-stranded question. I
18 mean my initial reaction is, you know, all of them are
19 working hard enough without my asking for additional
20 support. I think that I have documented in my, was it 12:41
21 the response to the investigation in due course, you
22 know, the additionality that I had undertaken during
23 those years. Could I have sought support? Possibly.
24 would it have been the right and proper thing to do and
25 fair of me do so? I'm not so sure about that. I would 12:42
26 have to think about it in more detail.

27 75 Q. Well, we know that before MHPS, on at least two
28 occasions you reached out in relation to triage and
29 Mr. Young stepped in for periods of time. It didn't

1 take the requirement to triage off you permanently, but
2 was a short-term fix, one might call it. But
3 assistance comes in a variety of ways. When you
4 reflect upon it now, your approach to triage, and
5 dictation, and those kinds of things, should you have 12:43
6 talked it out with your colleagues in a manner which
7 might have led to them better understanding your
8 position and being in a position to offer you advice
9 and guidance?

10 A. Well I think there's evidence that we did have those 12:43
11 discussions.

12 76 Q. Well I know you had those discussions, but what I'm
13 asking you is, could you have approached it in a better
14 manner?

15 A. Possibly. I would still go back to for me what was the 12:43
16 fundamental issue. The fundamental issue with regard
17 to triage was for myself, with my colleagues sitting
18 down with, for example, the Medical Director and the
19 Director of Acute Services, to work out exactly what it
20 was that was required of us. That's what I wanted. 12:44
21 That's what I asked for. That's what did not happen.
22 I don't know if it even has yet happened? So, ehm...

23 77 Q. But is that not, with all due respect, something of an
24 elaboration, in the sense that I hear you repeatedly,
25 and I see it in writing from you, and you've brought it 12:44
26 to the meeting with your fellow consultants, "Give us
27 direction on how do triage", was the request to
28 management. But everybody else was doing triage in
29 accordance with -- and I hope I'm not oversimplifying

1 no doubt some distinctions between colleagues, but
2 broadly you had a way of doing triage which was not the
3 understanding of others and, therefore, I wonder
4 whether you are not asking for something that was
5 unnecessary in seeking guidance from management on that 12:45
6 issue?

7 A. I don't think I was seeking guidance from management at
8 all. I was expecting that, as Mr. Glackin agreed, or
9 it was he who came up with the notion that we would
10 have a Memorandum of Understanding from the Trust. We 12:45
11 wanted actually a shared responsibility that if, for
12 example, I didn't have -- I would never be expected
13 actually to contact the lady with recurrent urinary
14 tract infections and have her started on an antibiotic
15 if the Trust and ourselves were to agree "no, we don't 12:46
16 have the time to do that. That's unrealistic. And if
17 you spend time doing that, you're going to neglect
18 other important things", that's exactly what I wanted.
19 It was an agreement, a shared agreement as to what was
20 expected of us. It wasn't guidance per se. And would 12:46
21 I have adhered to that. And in fact, actually, that is
22 referred to in my appraisals when Dr. Damon Scullion
23 was my appraiser, that I was hoping to meet with senior
24 management in December '18 with my colleagues and that
25 we would have a Memorandum of Understanding and to 12:46
26 adhere to that policy.

27
28 It wasn't, it wasn't -- I wasn't expecting a one way
29 traffic. I was expecting, you know, to be able to sit

1 down in an adult fashion, and I've expressed those
2 sentiments in the Issues of Concern document that I
3 submitted in September '18, and its regrettable that to
4 my mind that it didn't happen, because I think it would
5 have been of benefit all round if it had done.

12:47

6 78 Q. Just coming back, I had sort of departed onto the
7 interface with management, I want to bring it back to
8 your interfacing with your colleagues. You remark in
9 your witness statement that by contrast with how
10 Mr. Suresh was assisted and supported when he ran into
11 practice difficulties in I think 2016, and you were I
12 suppose in the vanguard in assisting him during that
13 difficult year from your -- I think you explained how
14 you put your own health needs to one side to assist
15 Mr. Suresh. So, you've said:

12:47

12:48

16
17 "I've since had reason to contrast..."

18
19 - and this is in your original witness statement at
20 paragraph 405:

12:48

21
22 "I've since had reason to contrast the support offered
23 to Mr. Suresh in 2016 to that offered by the same
24 persons to me."

12:48

25
26 A. Mmm.

27 79 Q. What do you mean by that? What assistance should your
28 colleagues have granted you that was available to
29 Mr. Suresh, albeit in a different context?

1 A. I think probably -- it's probably not fair or
2 appropriate for me to actually refer to my colleagues
3 so much. I think I was making reference to the fact
4 that the person who was leading that assistance, or the
5 formulation of that assistance to Mr. Suresh in 2016, 12:49
6 or at the end of 2015 after the particular event in I
7 think November '15, was Mr. Mackle at the behest of the
8 Medical Director, and I think I was contrasting that,
9 and in which I participated at his request, with the
10 lack of assistance that was offered to me following 12:49
11 March '16.

12 80 Q. But what is it, when you reflect upon it now, what is
13 it in terms of assistance that should have been brought
14 to bear in your case that would have been practicable
15 and realisable, which you didn't receive by contrast 12:49
16 with Mr. Suresh?

17 A. Well, the formulation and the discussions that went
18 into providing support to Mr. Suresh is a perfect
19 template of what could have been done in my case. You
20 know, sit down, discuss the issues. If, for example, 12:50
21 you know, I was being expected to come up with a plan
22 to deal with a review backlog, I mean how am I going to
23 deal with a review backlog on my own? So, that's what
24 I'm referring to. So there were a number of meetings,
25 I think one of which I didn't attend but others that I 12:50
26 did, and you may have read -- I think you have in my
27 witness bundle some email correspondence between myself
28 and Michael Young talking about the support that we
29 were giving to Mr. Suresh and so forth. So -- and he

1 benefitted greatly from it, and he participated greatly
2 in it, and we have made reference to this previously I
3 think in the words of Dr. Swart about a commonsensical
4 approach to the matters that arose in 2016, and that's
5 the contrast I'm making in that regard. 12:51

6 81 Q. Yes. Mr. Young was asked about this very issue, and he
7 wondered, I suppose out loud, about the aptness of the
8 comparison that you were seeking to draw. I suppose in
9 his view the things that you were being pulled up upon
10 as being shortcomings at that time, they were all 12:51
11 matters that you were capable of fulfilling, of
12 performing. It was just a case of not doing it. It
13 didn't need remedial action in the way that Mr. Suresh
14 needed remedial action. He went on to explain that to
15 the extent that you required assistance it was made 12:52
16 available to you. So, for example, the Tuesday
17 following your clinic in the Southwest Acute was, the
18 Tuesday morning was given over to you for the
19 administrative obligations that followed from the
20 clinic. I suppose by way of example we could also 12:52
21 point to the assistance provided to you around triage.
22 So, in that sense, your engagement with colleagues,
23 with Mr. Young, and perhaps then on to management, did
24 bear fruit in terms of providing some assistance to
25 you. Is your point it wasn't adequate or it wasn't 12:53
26 sufficiently broad?

27 A. It comes back, I suppose, you know, in the constituent
28 parts of the issues that were raised in March '16.
29 Triage, we've kind of referred to that. I mean I don't

1 think that for me it was going to be adequately dealt
2 with until we had a clear view as to what it was that
3 we were meant to do in the context of increasingly long
4 waiting lists and with regard to dictation. In terms
5 of the Tuesday morning, I mean it was just that I
6 wouldn't have any one of my two days surgical lists per
7 month on that Tuesday morning, it wasn't a particular
8 additional support, there was no additionality to it,
9 it was just that I didn't do one of those on that
10 Tuesday morning.

12:53

12:53

11
12 I take the point nonetheless with regard to dictation.
13 Could I have dictated after every outpatient encounter,
14 after every clinic? I mean, do you know, personally I
15 always found it very, very difficult to dictate a quick
16 letter after each outpatient had gone out the door and
17 before the next one came in because I had a very full
18 outpatient clinic at Southwest Acute Hospital, which
19 was the main source of the lack of dictation, and not
20 often reflected in the template, because I would see
21 additional patients in conjunction with clinical nurse
22 specialists and go to the wards to see patients and so
23 forth, so it was a busy day, and I left the dictation
24 to after the clinic and then I dealt with those that
25 were most pressing. So.

12:54

12:54

12:54

26 82 Q. Just on dictation, and we'll close on this point before
27 lunch. As you've said a moment or two ago, these
28 issues were discussed amongst colleagues. The problem
29 faced by you, say in relation to dictation, was the

1 subject of discussion. And let me just turn up what
2 Mr. Glackin said in relation to that. TRA-08775. And
3 if we go down to line 21, please. So he is saying --
4 this is in the context of dictation:

5
6 "It was raised with Mr. O'Brien in the departmental
7 meetings and when I think Mr. Haynes raised the
8 particular issue on the particular day, the necessity
9 to have a clinical letter dictated and available in the
10 chart for every patient, and Mr. O'Brien perversely
11 expressed the view, perversely from my perspective, the
12 view that it wasn't necessary to dictate on every
13 patient, that he knew what was going on and he didn't
14 have to write to the GP."

15
16 Just scrolling down:

17
18 "I just couldn't get my head around that."

19
20 And then if we just go down to line 5, I'm asking him:

21
22 "Mr. O'Brien's simply wasn't changing his practice, was
23 that your understanding?"

24
25 And Mr. Glackin bluntly says:

26
27 "Yes. Yeah, I think he would be digging his heels in."

28
29 So is the inquiry to get the sense from this that your

1 colleagues on certain issues were trying to encourage
2 you towards a different way of practising, but you
3 couldn't, for whatever reason, or were reluctant, for
4 whatever reason, to change?

5 A. Well, just departing from the issue of triage. There 12:57
6 is no doubt whatsoever that we had discussions about
7 triage. I have, and I'm saying this with complete
8 honesty under oath, I have absolutely no recollection
9 of there ever having been a discussion around the issue
10 of dictating after every clinical episode, or encounter 12:57
11 as it is referred to. It came to me as a complete
12 surprise at the time of MHPS that people were
13 frustrated because there was no dictation in the chart,
14 often referred to actually as no record, because there
15 was a handwritten record, and I would argue a legibly 12:58
16 handwritten record. Some maybe regarded that it may
17 have been minimalist, but there was a record
18 nonetheless as to what the plan was. So I have
19 absolutely no recollection of us sitting in a room at a
20 departmental meeting discussing the issue of dictation. 12:58
21 With one exception, and that is as lead clinician of
22 the Urology MDT in those years from 2012 to 2016, I had
23 to deal with the issue of dictation in that regard,
24 because when listing a patient for MDM discussion, the
25 clinician who is requesting the discussion to be made 12:58
26 at a particular date, was to provide the Cancer Tracker
27 with a clinical summary, or a clinical update if a
28 summary had previously been done for discussion at an
29 earlier time, and I couldn't get them to agree to that.

1 They insisted, you know, they only had time to do the
2 dictation like as if it was absolutely mandatory to do
3 the dictation, and then they would expect the Cancer
4 Tracker to cannibalise the letter or go back to earlier
5 information to see if she could construct a clinical 12:59
6 summary, which she should not have been placed in that
7 position, and I came across email correspondence of
8 mine to Mr. Suresh in that regard. In fact the only
9 other consultant who did provide a clinical summary was
10 Mr. Jacob. So that's the only time when I had to deal 13:00
11 with the issue of dictation.

12
13 I also observed the more recently appointed consultants
14 dictating a letter after each operation, and they would
15 dictate a letter to say "Your patient has had his 13:00
16 prostate resected today", or "will hopefully be going
17 home tomorrow", and as you have seen from the patient
18 who sadly died, the patient of Mr. Glackin's, you know,
19 the letter was dictated and then typed the day after he
20 had died, and I always thought, you know, that the sort 13:00
21 of predictive prognostic pronouncements dictated in
22 such letters at the end of an operative procedure were
23 not always appropriate.

24
25 So apart from those particular -- the particular 13:00
26 instance of having a discussion around dictation was
27 from me to my colleagues as lead clinicians of the MDT,
28 but I have no recollection of it in any other context.
29 83 Q. Okay. That was the point that I wanted to get to. I

1 think it is time...

2 CHAIR: Yeah. I think we'll come back, ladies and
3 gentlemen, at 2:10. An extra five minutes.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

1 THE INQUIRY ADJOURNED FOR LUNCH AND RESUMED AS FOLLOWS:

2
3 CHAIR: Thank you everyone. Mr. O'Brien. Mr. Wolfe.

4 MR. WOLFE: Good afternoon Mr. O'Brien. We spent part
5 of this morning looking at the idea that inadequacies 14:08

6 in the system or the environment within which you
7 worked caused you to have to make what you described as
8 choices, whether to do things in a particular way or at
9 a particular time, or sometimes not to do them at all

10 because other activities were regarded as more 14:09

11 important. We moved into, just before the lunch,
12 exploring the idea that engagement with colleagues
13 might have been profitable in terms of providing
14 support, or providing assistance, maybe even in the
15 form of advice, when it came to professional practice 14:09

16 issues and the kind of dilemmas that you were facing,
17 and I'm rather left with the impression that you formed
18 the view that that would not be productive in the sense
19 that it would be putting a burden on your colleagues,
20 who were already heavily pressed, and really it was to 14:10

21 management that you would look to to provide solutions,
22 and you perhaps majored in some of your answers, or
23 focused in some of your answers on the triage issue and
24 the absence of a Statement of Policy or a Memorandum of
25 Understanding. Have I picked you up correctly? 14:10

26 A. Well the last remark is absolutely correctly, but we
27 did have engagement, you know. Could we have had more
28 engagement? Could we have had more discussion amongst
29 ourselves about any number of issues? Yes, we could

1 have had. would it have been any more productive? It
2 could very well have been. I mean it's not a black and
3 white, you know, there was no engagement/we should have
4 had engagement, you know. We had many discussions
5 about a number of issues. 14:11

6 84 Q. But I'm focusing -- I'm aware of that.

7 A. Yes.

8 85 Q. In the nature of departmental meetings you would have
9 had lots of things to discuss.

10 A. Yes. 14:11

11 86 Q. And I know, or at least I know from the evidence, I'm
12 not sure whether you would necessarily agree, that
13 there were discussions about your practice issues, or
14 at least if not discussions, communications of views.

15 So, for example, when we come to it, there was a 14:11
16 suggestion on some of the evidence that Bicalutamide
17 was an issue that was raised with you, not necessarily
18 in discussion, although there is some evidence of
19 discussion, but, for example, Dr. Mitchell writing to
20 you, if I was to expand the notion of the team beyond. 14:11
21 We have evidence that the bipolar saline

22 instrumentation issue was discussed. Triage was
23 obviously discussed. Issues around the actioning of
24 results and the use of DARO were raised with you in
25 communication, you might tell me that they weren't 14:12
26 necessarily discussed. But I suppose the picture that
27 emerges from some of the evidence that we've received
28 is that practice issues were raised with you, if I can
29 put that in the round. Issues -- or they were raised

1 with you in the sense that colleagues were maybe
2 dissatisfied or unhappy with aspects of how you
3 practised, or were offering you direction in terms of
4 how you might practice in a different way. Does that
5 resonate with you?

14:12

6 A. I don't think they were necessarily dissatisfied with
7 me, or at least they didn't tell me that they were
8 dissatisfied. The only time I ever heard or realised,
9 came to realise that there was a dissatisfaction was
10 the frustration that they reported to others like
11 Martina Corrigan and so forth that there were no
12 letters in following the clinic appointments of some
13 people when they came to do long waiting follow up
14 reviews. But it was a two-way discussion. It's not
15 just like, you know, so I sat there and others had a
16 different view, and they were all different to mine,
17 and they were advising me that they should move towards
18 them. It could have been that I equally well had a
19 view that maybe we should move towards the centre
20 somewhere. And the picture that I'm trying to get
21 across to you is that all of these issues are
22 trade-offs, and it's a complex situation trying to
23 collectively figure out which of the trade-offs is
24 going to have the less negative effects on the larger
25 number of patients or whatever? So, it was an
26 invidious position to be in. I'm not impervious to
27 criticism. I'm not impervious to receiving advice.
28 Perhaps, actually, we didn't have those discussions
29 often enough and long enough and with greater, you

14:13

14:13

14:13

14:14

1 know, frankness and candour, without causing offence or
2 being confrontational and so forth. They could have
3 been perhaps more productive. But that doesn't
4 necessarily mean that that means that we were all
5 practising in silos and we were not communicating with 14:14
6 one another. That would be an inappropriate picture to
7 portray.

8 87 Q. Certainly, I suppose in support of that analysis, we've
9 heard from Mr. Glackin, who, if we cross the timeline
10 into the, if you like the post MHPS period, or 14:15
11 certainly the period after you returned from the four
12 weeks or so of exclusion, he, in his evidence, I
13 suppose, displays an appetite for receiving more
14 information about the matters affecting you, for a
15 variety of reasons. And what he says is, if I can just 14:15
16 bring it up on the screen, or what is said in his
17 evidence, TRA-08769. And at the top of the page he
18 says:

19
20 "I think it would have been much better if these 14:15
21 issues..."

22
23 - and here he's talking about the issues that Dr. Chada
24 investigated as part of MHPS, and she says:

25 14:16
26 "I realise there are sensitivities around some of them,
27 but certainly I think if the medical managers had
28 discussed with us as a team of consultants the
29 particular issues and allowed us to understand the

1 breadth of issues, but then also to formulate a support
2 plan, a network, if you like, as to how Mr. O'Brien
3 could return to the team and practice safely. It would
4 also have given us greater oversight going forward as
5 to when, if there were any dips in performance or 14:16
6 non-adherence to agreed behaviours, then we would have
7 been able to identify them at an earlier stage."
8

9 Is that something that you would have welcomed, or is
10 it fair to say that there were sensitivities 14:16
11 surrounding, if you like, the attack on your way of
12 practicing that was at the heart, I suppose, of MHPS
13 and it's investigation. It wasn't a pleasant exercise.
14 It was in essence an exercise that led to criticism of
15 you. Would you have -- would his suggestion of better 14:17
16 inform the team as to what was going on have endeared
17 itself to you?

18 A. Absolutely. In fact I think I dealt with this in
19 giving evidence last time. I, I would agree entirely
20 what was said in that paragraph, particularly if it had 14:17
21 been done in March or April 2016 and not waiting until
22 2017, and that's exactly what I was referring to
23 earlier this morning. And perhaps, you know, the
24 medical managers were not necessarily best equipped to
25 do that either. And you've heard evidence from 14:17
26 Mr. Haynes and others about the time pressures on all
27 of us and the lack of time that they had to dedicate to
28 doing so, not that I was expecting Mr. Haynes to do so
29 in that regard, but, yes, I would agree entirely with

1 that.

2 88 Q. I mean...

3 A. Would I have welcomed it? Absolutely.

4 89 Q. He is suggesting that medical managers could have led
5 the discussion on this? 14:18

6 A. Yes.

7 90 Q. There was no reason, I suppose in principle, why you
8 couldn't have led the discussion and been more open
9 about it yourself in terms of your need for, as he puts
10 it, a framework or a network of support? 14:18

11 A. Pre '16 or pre MHPS, possibly, yeah, I could accept
12 that. That was -- it was difficult because I was
13 trying my best to respond to the letter by addressing
14 the issues raised within it, and which I succeeded in
15 some degree by reducing the review backlog by 14:19
16 additionally operating on patients and so forth.

17 91 Q. Mmm.

18 A. After my return to work? I think there was, there was
19 an awkwardness there, because when I came back to work
20 for the first couple of weeks, you know, you have 14:19
21 phased return, as advised by Occupational Health and,
22 you know, I sat in my office and no one came to me.
23 You know, it was difficult, you know. I felt I would
24 have been receptive, but really no one mentioned or
25 offered any kind of assistance, or enquired about it or 14:19
26 anything of that nature, and I felt that if I had led
27 on that, that that would have been maybe an invidious
28 position to be in as well, that maybe I wasn't the most
29 appropriate person to be leading on a support package

1 or the formulation of one.

2
3 I endeavoured, as best I could, to behave with dignity
4 and in a professional manner towards my colleagues
5 thereafter, and I think they have given evidence to 14:20
6 that effect. But it was difficult for them and it was
7 difficult for me, and I think that, you know, a
8 different approach could have been taken to these
9 matters all along from March '16 onwards. I actually
10 did, after a period of recovery I suppose, you could 14:20
11 think of that in terms of 2017. When we got into 2018
12 I was very, very keen to have these matters addressed,
13 and I've made reference to that earlier this morning,
14 and we had bonded sufficiently by that time to be able
15 to sit there in departmental meetings and discuss the 14:21
16 issues and how we would bring them forward, and credit
17 to my colleagues for being receptive to that initiative
18 on my part, but it didn't come to fruition.

19 92 Q. Yes, and we'll look at those meetings and efforts to
20 engage with management shortly. One of the issues you 14:21
21 raise in your witness statement, your first witness
22 statement, was a sense of disappointment. I think you
23 direct it specifically at Mr. Haynes for, as you say,
24 failing to raise a variety of concerns directly with
25 you. A concern, you say, that reached its zenith in 14:21
26 what you describe as a preparedness to make untrue
27 allegations against you regarding what we've described
28 as 2 out of the 10 patients, that scenario. And using
29 that, as you suggest, to justify a lookback exercise.

1 we'll come to the 2 out of 10, if you don't mind, at a
2 different point in time in your evidence over the next
3 few days. But in terms of the other issues as you saw
4 it, that should have been raised with you which you say
5 were not by Mr. Haynes, what were you particularly
6 thinking about? 14:22

7 A. Everything. Because when you -- I mean I had a very,
8 very good working relationship, as I believed, and on
9 the face of it, with Mr. Haynes. He never raised, to
10 my memory, a criticism of me with me. As I read more 14:23
11 and more disclosure, I was taken aback by the
12 magnitude, almost like an avalanche of escalations from
13 Mr. Haynes to whoever, and back again, and so forth,
14 without ever raising these issues with me. If you take
15 the issue, for example, of private practice and the 14:23
16 allegation that I gave preference to people who had
17 attended privately, did he ever discuss that with me?
18 No. Did he ever discuss triage with me? No. In fact
19 if you -- actually as I was doing this yesterday, I was
20 reading some of the communications we had back and 14:23
21 forth, and they were always professional, pleasant. We
22 have dealt with one of them this morning in terms of
23 the waiting list validation exercises and how we
24 collaborated on that. Did I have any idea that in the
25 background he was being critical of me, do you know, at 14:24
26 the earliest opportunity with Dr. O'Kane or whoever it
27 may be? I had no knowledge of that. I had no
28 awareness of that. That's not how I would practice,
29 and I know that I have been the recipient of some

1 criticism for being critical of people directly, but I
2 have done it honestly to their face and I have never
3 escalated things behind their back without speaking to
4 them. So have I been -- I was shocked actually. Have
5 I been surprised? Yes. Let down, disappointed?
6 Absolutely. All of those things.

14:24

7 93 Q. There's perhaps two ways to respond to that and seek
8 your reflections upon them. The first way is to
9 suggest that when it comes to serious matters, such as
10 the suggestion that private patients were receiving an
11 advantage, they're so serious that they should be
12 brought to the attention of the immediate rung of
13 management, in this case Mr. Young, to investigate and
14 address, rather than for the, if you like, the
15 informant to address with you directly.

14:25

14:25

16
17 The second point is this: Mr. Haynes has reflected in
18 his evidence that he has spoken to you about things,
19 but to use his phrase, you were difficult to challenge,
20 you were a challenge to challenge, and that made it
21 difficult to deal with you directly. Your observations
22 on that?

14:25

23 A. Okay. Well...

24 94 Q. And there's two points there of course.

25 A. There's two points there. The first one is that even
26 if you were to accept the proposition that some matters
27 are so serious that they need to be escalated to the
28 next in command, in that case the lead clinician, my
29 approach would be that that should also have included

14:26

1 notifying or discussing it with me directly as well,
2 and not doing all of the escalations about other people
3 without discussing them with the persons involved. And
4 I mean, you know Mr. Haynes, I mean I have listened to
5 Mr. Haynes criticising all of his colleagues to me 14:27
6 without necessarily sharing his criticisms of them with
7 them directly, I suspect. So in the first instance I
8 think -- there are good practice guidelines, GMC Good
9 Practice Guidelines as to how to deal with these
10 matters, depending upon the gravity and the seriousness 14:27
11 of the issue concerned, and virtually all of them
12 actually include arranging to discuss it with the
13 person about whom you have the concern directly in an
14 appropriate setting, possibly accompanied if you think
15 that is necessary, and so forth, and that was not 14:27
16 practised in my case.

17
18 I don't, I don't buy into the challenge to challenge
19 gossip at all. I think we have listened to chill
20 factors, legal connections, knowing Roberta Brownlee, 14:28
21 and frankly I find it confetti really. I don't accept
22 it whatsoever. If you have a serious issue about
23 anything, you know, you deal with it. I don't buy into
24 that allegation at all.

25 95 Q. Let me give you a particular example. The issue of 14:28
26 moving from the use of Glycine for transrectal prostate
27 procedures and moving across to the use of bipolar
28 instrumentation with saline. Mr. Haynes, in his
29 evidence, said he couldn't remember challenging you in

1 relation to that. He said, when asked why not:

2
3 "I suspect that the same, if you like, fear element of
4 challenging Mr. O'Brien existed for the likes of
5 Martina Corrigan and others who were challenged with 14:29
6 challenging his practice. As a result, the easier
7 route of essentially allowing things to continue may
8 have happened."

9
10 Now by contrast, Mr. Glackin could remember you being 14:29
11 challenged in relation to the need to move to saline as
12 he saw it. He said he could remember saying to you,
13 and others saying to you at a meeting that:

14
15 "The next patient that we sent to the ITU with 14:30
16 hyponatraemia or a TUR syndrome, you won't have a leg
17 to stand on."

18
19 And yes, as we'll -- and we'll look at this issue in
20 some detail maybe tomorrow -- and yet you continued to 14:30
21 practice in the way that you had.

22
23 Now I don't want to get into the weeds of that
24 particular issue, but what I'm asking you for is your
25 observations that so many people have come before this 14:30
26 Inquiry and suggested that the way you responded to
27 issues of concern wasn't helpful, you dug your heels
28 in, to use the phrase that I used this morning, and
29 were not receptive to the view that you should change.

1 Is that mere confetti?

2 A. It would be extreme to say it is mere confetti but I
3 think it's a post hoc characterisation that doesn't
4 stand up to scrutiny and objective analysis. I think
5 it's a very unfair characterisation. I'm not that kind 14:31
6 of person, and we can get into the detail of glycine
7 and other issues tomorrow, if that's what you prefer to
8 do?

9 96 Q. Is your -- how would you reflect upon your outlook? I
10 mean one perhaps stereotype that is often drawn upon in 14:31
11 these situations is that you have a highly respected
12 experienced practitioner who has been occupying the top
13 chair, or is known or perceived to be the top
14 practitioner, the most experienced practitioner in the
15 area, and whether it's an experience thing, or whether 14:32
16 it's as you grow older in the job you're less resistant
17 to change, is that something that could have infected
18 your practice as you went on so that you, although
19 other people were standing back and saying "Really you
20 do need to think about this in a different way", that 14:32
21 that was something you were unable to do?

22 A. No, I don't think -- I mean I think that is a
23 characterisation, I've read it and listened to it in
24 other ways. For example, I was slow to accept
25 digitalisation. I thought digitalisation was wonderful 14:32
26 when I received it. I can recall the number of times
27 that my secretary enquired about getting a computer in
28 my office. You made reference to one earlier today,
29 and that was that I was the last person to convert to

1 digital dictation, whereas in fact actually Mr. Young
2 was still using tapes from his Southwest Acute Hospital
3 after I had gone over to digitalisation. You know, in
4 the context of Mr. Hagan's evidence, whilst I used
5 electrohydraulic energy for Lithotripsy when we had
6 nothing else, I found laser to be absolutely wonderful.

14:33

7
8 So it's -- I don't accept that I am impervious or
9 resistant to change. Is there -- I think the -- as you
10 become more experienced, and I don't know if
11 Mr. Hanbury identifies this, with your build up of
12 experience you come to actually value what is of value
13 and you actually will adopt a change if you are
14 impressed that that change actually brings significant
15 additional value. If it is change for the sake of
16 change without any significant value being added,
17 you're not necessarily prepared to jump on the
18 bandwagon for the sake of it. Does that answer the
19 question perhaps?

14:33

14:34

20 97 Q. Perhaps one of the -- you point to Mr. Haynes not
21 addressing you directly, going behind the scene
22 speaking to operational and medical management about
23 concerns that he had. You would say you would rather
24 deal with things directly, and one of the, perhaps a
25 small matter, was your approach to Mr. O'Donoghue at a
26 meeting, and we've heard from Mrs. O'Neill,
27 Mrs. McCourt, Mr. O'Donoghue himself, and
28 Mrs. Corrigan, that that incident were you openly
29 chastised Mr. O'Donoghue for commencing a

14:34

14:34

1 multi-disciplinary meeting before your arrival so that
2 you weren't in the chair when two of your patients were
3 being discussed, they found that episode to be very
4 uncomfortable, perhaps at best. It reminded
5 Mrs. McCourt of how you might speak to a naughty child, 14:35
6 and in her impression the talking to lasted several
7 minutes. That isn't the appropriate way to deal with
8 colleagues, is it?

9 A. Well let me put this in context. First of all, there
10 was no arrival. This happened in April 2020. I was 14:36
11 joining remotely, as was Mr. Glackin and as was
12 Mr. Haynes, and we joined the meeting at 2.15. Now I
13 have chaired that meeting myself alone for many years,
14 and then shared the Chairing of that meeting from the
15 introduction of Urologist of the week, and we would 14:36
16 have never started at 2.15, the starting time. We
17 would have waited a few minutes, usually at the latest
18 to twenty past two, to allow any latecomers to arrive.
19 So important is it that everybody who intends to attend
20 is in attendance, particularly in the context of 14:36
21 deficient quoracy, which is another issue. So then
22 when I linked in to find that three patients had
23 already been discussed at 2.15, and one of them was
24 mine, and I wanted to have the benefit of my two
25 colleagues also being aware of the management and the 14:37
26 discussion, I felt it was most appropriate at that time
27 to ask why he had started four or five minutes earlier?
28 It was an important matter to me. I didn't consider
29 that I spoke to him as a teacher would speak to a

1 naughty child or whatever. I felt it was a very, very
2 important issue, and I didn't consider that I had acted
3 inappropriately. I insisted that we discuss the three
4 patients. And then I remember this particularly, and I
5 don't know if you want me to refer to it, because 14:37
6 within ten minutes of that meeting having ended, I
7 received a phone call from Mr. Haynes, he was in
8 agreement with my criticism of Mr. O'Donoghue, and he
9 was even more concerned about why Mr. O'Donoghue and
10 two CNSs, and a tracker, were in the one room in the 14:38
11 midst of a global pandemic.

12 98 Q. I don't think we need digress into that, that's an
13 issue well covered in your addendum statement.

14 A. Yes. Mmm.

15 99 Q. I suppose the point is, and you appear to resist it, is 14:38
16 that you dealt with Mr. O'Donoghue in an unreasonable
17 way, albeit the issue may -- the issue itself, the
18 criticism itself may have had merit. Can I deal
19 perhaps with the more important issue? Mr. O'Donoghue
20 is the subject of other criticism in your statement in 14:38
21 terms of how he performed his MDM duties. You talk
22 about inaccuracy, about truncated notes, and about the
23 quality of his Chairing. None of those issues were
24 ever brought to his attention by you on his evidence?

25 A. That is true. But not that we sat down and discussed 14:39
26 those issues, but indeed, actually, discussed them case
27 by case. So, you know, I think I made reference, or I
28 alluded to it in my witness statements, so that, you
29 know, if I asked for the background to a particular

1 case that we were discussing, and he -- obviously it
2 wasn't his patient but he was Chairing, he said "well I
3 just didn't have time to look into the electronic care
4 record or look at results in order to prepare", and I
5 think I alluded to the fact that, you know, on the one 14:40
6 hand that's reasonable because he may not have had the
7 time to do so, trade-offs once again. But, yeah, I was
8 -- I took the time, should it have been 2:00 and 3:00
9 o'clock in the morning to preview for such a meeting.
10 And to be fair, my other colleagues did as well. And I 14:40
11 have to tell you that Mr. Haynes also shared my
12 concerns about Mr. O'Donoghue's preparation for MDM. I
13 do -- I've heard him refute that contention, but that
14 is true.

15 100 Q. Let me move on to your engagement with your colleagues 14:40
16 around capacity or resourcing issues. So we've looked
17 at whether your colleagues were in any sense
18 supportive, or whether you expected them to be
19 supportive with regard to practice issues. So this is
20 a separate, different topic about whether as a team you 14:41
21 could have done more to address issues to do with
22 capacity and resourcing.

23
24 We have seen that the stenting of patients, and the
25 management of patients requiring stents, is and was a 14:41
26 capacity issue. And it might also be seen, and we'll
27 look at a number of cases, that although there were
28 capacity issues, there is also, notwithstanding those
29 capacity issues, an obligation on the part of

1 clinicians to effectively manage their patients who
2 require stenting, so far as those resources allow, and
3 it is a feature of the evidence received by the Inquiry
4 that management of those patients, notwithstanding the
5 resourcing problems, has, over a period of time, left 14:42
6 something to be desired, that at least is the evidence.
7 Is that your impression that although there were
8 resourcing issues, clinicians, including yourself,
9 might have done better in terms of the management of
10 patients? 14:43

11 A. Of the stented patients in particular?

12 101 Q. Yes, indeed.

13 A. Yes. I think so. You know, I think that -- you've
14 read it where people have said that I didn't, I didn't
15 agree with the red flag category and different 14:43
16 circumstances or contexts. I believe that patients who
17 were stented and were on a waiting list for readmission
18 for definitive management of their stented ureter, for
19 whatever reason it was stented, should have been
20 treated with the utmost urgency, and equivalent to most 14:43
21 red flags, and with greater urgency than some cancer
22 patients. For example, if someone is just awaiting
23 readmission for recurrence of a superficial bladder
24 tumour that they have had several times before, I would
25 have placed a patient who was waiting longer with a 14:44
26 stent in to have that managed.

27
28 I think actually, and here I'm going to be somewhat
29 self-critical, I think that we could have taken up

1 Mr. Young's suggestion of stents with strings, much
2 more for those people who didn't require readmission
3 for definitive obstructive ureteric management. I
4 tended to, if I had such a patient, I put them on to my
5 next available day surgical unit flexible cystoscopy 14:44
6 list for flexible cystoscopy and removal of stent. So
7 I think, yes, we could have done that.

8
9 I think really if you were to ask me what is it that
10 would have made all the difference in terms of 14:45
11 shortening to some significant degree the length of
12 time that people were waiting, I would have -- I would
13 say to you it was to give them the same priority as red
14 flag patients.

15 102 Q. And of course that wasn't always possible, given the 14:45
16 resources available. But what appears to be a theme
17 that has run through the evidence, and over a period of
18 several years, was that there was sometimes an
19 awareness, properly recorded, green form completed to
20 indicate that the patient needed a stent removed or 14:45
21 replaced, but that the management plan around that
22 seemed to get lost, or there wasn't sufficient
23 attention given to it so that the patient was delayed
24 in coming back, leading to the risk of sepsis and what
25 have you. I want to take your observations on a number 14:46
26 of examples.

27
28 Patient 136, I don't understand him to be a patient of
29 yours, but in April 2015, Mr. Suresh opened an incident

1 report, or a Datix, having become aware of the fact
2 that a number of patients, including Patient 136, had
3 been discharged with no mention about stents in their
4 discharge letter. And if we pull up WIT-50465, we can
5 see the Datix of the incident report opened by
6 Mr. Suresh. He was discharged, as I understand, on
7 17th November 2014, at which point it says he was:

14:47

8
9 "Wait listed for ureteric stent on that date.

10 Request: Registered in the book in the Stone Treatment
11 Centre, a green booking form completed, but this was
12 overlooked. The patient had to have the stent in
13 unnecessarily long."

14:47

14
15 In fact it was March before the stent was removed. And
16 if we scroll down through this document to WIT-50469,
17 and we can see the analysis that flowed from the
18 reporting of this incident. Just scrolling down the
19 page. Back the way you went. Thank you. So it's
20 recorded that interrogation of PAS confirmed that a
21 green form had been actioned. "Therefore, this is not
22 an admin issue", it said.

14:47

14:48

23
24 "The wait is related to capacity. The communication
25 email sent to the Head of Service to comment and
26 close."

14:48

27
28 And if we just scroll down further. Alongside that
29 it's recorded that the lesson to be learned is that a

1 new process would be agreed that all patients that had
2 a stent fitted need to be added to a waiting list with
3 a planned date to come in.

4
5 So there seems to be two issues sitting side by side 14:49
6 there. One, primarily perhaps, there's a resourcing
7 issue. It's difficult to get these patients back in
8 for replacement or removal of stents as quickly as
9 clinicians would like, notwithstanding the risks. But
10 equally it's felt that there's a need for a new process 14:49
11 to be implemented so that the patients are not
12 forgotten about.

13
14 I'm going to show you a number of further cases, but
15 would you agree with me that this problem of trying to 14:50
16 bring better management to a resourcing issue was one
17 that dogged the service for too many years?

18 A. Yes. Well, I think it's important to appreciate, as
19 Michael Young tried to describe the three, basically
20 three different scenarios with regard to stents. The 14:50
21 simplest being, the stented person, who on discharge,
22 the only thing that is required is that they have the
23 stent removed. The second one is where a stent is put
24 in in conjunction with the management of usually
25 obstructive stone disease, and they have to be 14:50
26 readmitted for further management under general
27 anaesthesia. And the third one is where patients are
28 going to remain stented probably for the rest of their
29 lives because of other kinds of pathology, and they're

1 going to have stents replaced on a yearly basis
2 usually, or something of that order.

3
4 In this case that you have demonstrated, if it was
5 purely the case that this patient required nothing 14:51
6 other than removal of a stent, then I would doubt very
7 much whether it was a capacity issue, because if this
8 had been my patient, my own system, probably regarded
9 as somewhat perverse, is, before I wrote an operation
10 note I emailed to my secretary to put this patient on 14:51
11 the list for whatever with whatever urgency, so that I
12 wouldn't overlook it. That doesn't mean to say it was
13 an absolutely perfect.

14
15 So this one, whether it was stent with strings, that 14:52
16 would have been a solution, or put this patient on the
17 next available flexible cystoscopy list that you have,
18 I find it difficult to imagine that someone could wait
19 three or four months to have a stent removed, if that's
20 all they required. 14:52

21 103 Q. Yes. Patient 16 was one of your patients.

22 A. Mmm.

23 104 Q. And this was -- this case was a subject of a Serious
24 Adverse Incident.

25 A. Mm-hmm. 14:52

26 105 Q. I bring it to your attention in this context to remark
27 upon the fact that as we can see in front of us,
28 Patient 136 on the screen, that investigation was
29 closed on 7th September 2015, with the lesson learned

1 set out in front of us, need for better planning around
2 stent replacement.

3
4 Patient 16, as we can see from the Serious Adverse
5 Incident Review, was a case that was bedeviled by a 14:53
6 range of communication failures. I don't wish to get
7 into, if you like, the fine detail of it. The
8 narrative set out in the review, and the Inquiry has
9 your response to it, suggests that a number of efforts
10 were made to contact you through your secretary and 14:53
11 directly over a period of time. You'll recall perhaps
12 that this patient was deemed ready for stent
13 replacement in November 2015, and you called for his
14 admission on 24th June 2016, and I think operated four
15 or five days later. 14:54

16
17 So the outworking of that Serious Adverse Incident
18 Review was a series of recommendations, and if I could
19 bring you to those? PAT-00 -- sorry, PAT-000116, and
20 Recommendation 6 in particular, if we scroll, down 14:54
21 makes the point that:

22
23 "The Trust, with the Health and Social Care Board, must
24 implement a waiting list management plan to reduce
25 urology waiting times." 14:55
26

27 I suppose that, at a high level, is the problem here,
28 that there wasn't sufficient resources to bring down
29 waiting times. But in terms of stent management, this

1 seems to be a case, I'll take your views on it, that
2 although it was appreciated that the patient needed his
3 stent replaced, eight or nine months went by without
4 that being done. Is that, notwithstanding the limited
5 resources, another indication of stent management not 14:56
6 being well attended to within the service?

7 A. Yes, I would agree, and if it's not inopportune to
8 refer to that email that I mentioned earlier.

9 106 Q. Yes.

10 A. AOB-77568, if that's okay? Because I do think that the 14:56
11 sentiments that I have referred to in that, and it
12 makes reference to this particular...

13 107 Q. Would you like it up on the screen?

14 A. Yes, I would. Yes, please.

15 108 Q. Yes. So it's dealing with, yeah, AOB-77568, and it's 14:56
16 an email from Mr. O'Brien to Mrs. Corrigan in June
17 2016. You're replying to an email from her, isn't that
18 right, which urged priority would be given to red flag
19 cases, and you're making the point that there are other
20 kinds of case on the benign or non-malignant side that 14:57
21 equally merit or co-equally merit urgent treatment.

22 A. Yes, as I referred to earlier. And if I may ask that
23 you scroll down?

24 109 Q. Sure.

25 A. Because indeed without mentioning -- keep going I 14:57
26 think. Oh, sorry, sorry, go back up again. Yes, so it
27 has been redacted so I'm not going to mention the
28 patient's name, but that is Patient 16:
29

1 "...had a stent in his left ureter for relief of left
2 ureteric obstruction due to metastatic bowel carcinoma.
3 Since 2nd April 2015 he has been waiting its removal,
4 reassessment, and possible replacement since then. His
5 oncologist has requested that his admission be 14:58
6 expedited due to increasing back pain attributed to it,
7 but he is not a red flag patient either."
8

9 And irrespective of whether he had his ureter stented
10 because of malignancy that wasn't of the urinary tract, 14:58
11 or some benign pathology, my contention was that he
12 deserved to be treated with the same degree of urgency.
13 I appreciate that doesn't absolve me of the
14 communication failures, but it's just to make the point
15 that I'm trying to make. 14:58

16 110 Q. Yes. And if we -- I just want to bring the various
17 temporal pillars into play. So if we can fast forward
18 a further two to three years until 2018. Patient 91,
19 again I emphasise not your patient, came into the
20 system. He required stent replacement. He was added 14:59
21 to the waiting list in March 2018, and as Mr. Glackin
22 suggested, but relatively speaking brought back into
23 the system on 18th May 2018, ten weeks later,
24 relatively quickly given the standards of the time.
25 This was a patient who unfortunately died in the care 14:59
26 of the service. He had a number of co-morbidities, so
27 delay in the addressing of his stent needs need not
28 necessarily have been the sole reason for his demise.
29 But the point I wish to draw to your attention is set

1 out in the recommendations. WIT-33320. And
2 Recommendations 3 to 6 at the bottom of the page I
3 think encapsulate the point. Particularly
4 Recommendations 4 and 5.

5
6 "The consultant urologist should ensure that they have
7 a system in place which ensures that patients with
8 ureteric stents inserted are recorded with planned
9 removal or exchange dates in order to ensure patients
10 do not have the stents in place for longer than
11 intended."

12
13 And:

14
15 "All patients who have stents inserted should have
16 plans for definitive management within one month unless
17 there are clinical indications for a longer interval."

18
19 So these are recommendations being written some four
20 years after Mr. Suresh had raised the Datix in
21 connection with Patient 136.

22
23 And if we could just add one further ingredient to the
24 mix before I seek your views? The issue of stent
25 management was a frequent visitor to the patient safety
26 meetings, which at that time I think were chaired by
27 Mr. Glackin, moved into the hands of Mr. O'Donoghue.
28 And if we go to the meeting for 19th July 2019. We can
29 find it at TRU-387331. So that's the first page of the

1 PSM for the 19th July. If we scroll just down onto the
2 next page, please, and we can see that there's a new
3 complaint for investigation. I emphasise it's not the
4 case of Patient 91, which we have just looked at. In
5 the same period of time another stent issue has arisen. 15:02
6 And the point that I suppose roars out from the page is
7 that:

8
9 "All at the meeting agreed that the surgeon placing the
10 stent is responsible for..." 15:03

11
12 - it should be "actioning":

13
14 "...the removal in a timely manner. There is no agreed
15 Trust protocol in place for this scenario." 15:03

16
17 So your observations, please? You can see, because
18 I've traced it since 2014/2015, along through a number
19 of years, a number of similar cases where patients who
20 are in need of stent management are being let down it 15:03
21 seems and, yet, in combination with the resources
22 issue, the clinicians are not getting together to
23 provide a protocol or an effective management plan. Is
24 that fair comment?

25 A. Yeah, it is a fair comment. I mean I think -- I agree 15:03
26 entirely that the surgeon who places the stent is
27 responsible for making arrangements for the stent to be
28 removed in a timely manner, and I emphasise the word
29 "removal" because that's Category 1 again. If you

1 think that any protocol is going to enable a patient in
2 Category 2 to be re-admitted within one month in the
3 context of the inadequacy of service that we did have
4 to deal with, that's pie in the sky. That was never
5 going to happen. That's an impossibility. And there 15:04
6 you really are -- the only way that would happen, even
7 a remote chance, is that if every stented patient had
8 the same red flag category applied to them, and I think
9 that there would have been resistance to that being the
10 case. So I think that the person who places the stent 15:05
11 has a responsibility.

12
13 I don't know if you would care to indulge me just for a
14 moment, but going back to the case of Patient 91 that
15 we have just looked at, because I have listened to all 15:05
16 of the evidence in relation to that particular case,
17 and the No. 1 clinical lesson that seems to have been
18 learnt is that everybody should have a preoperative
19 urinary culture done, and he didn't have one done long
20 enough in advance for the result to be known, and so 15:05
21 forth, and to me, crying out from that particular SAI,
22 was the fact that this man was admitted to another
23 hospital I think, or another ward in the same hospital,
24 within three weeks of having his ureter stented with
25 urosepsis. Now that man actually, in my view, should 15:06
26 have been transferred to our department and had his
27 intravenous hydration and antibiotic therapy continued
28 until his inflammatory markers had all resolved, and
29 then had his stented ureter dealt with, and he wouldn't

1 have been in the situation he found himself in in May.
2 So thank you for your indulgence in that matter.

3 111 Q. But just to conclude on stent management. I raise it
4 in this context because we have heard loud and clear
5 before the Inquiry the evidence of resource problems, 15:06
6 that we don't have as a service the resources to deal
7 with patients as we would like. But you would accept,
8 and I think you have accepted, that notwithstanding
9 those pressures, you have to find -- you have to try to
10 find solutions to manage patients so that they don't 15:07
11 fall into risk, and I wonder when you think about how
12 often these stent issues arose over a period of six
13 years, and we hear the evidence from Mr. Young that
14 resources are more readily available now, and the Lagan
15 valley initiative is available, the use of stents with 15:07
16 strings, that kind of thing. But before all of that
17 arrived, was the service, were the clinicians doing all
18 that they should have done to manage this problem and
19 create solutions?

20 A. The answer is, probably not. Could we have done more? 15:07
21 Yes. Could we have had pooled lists? Yes.
22 Personally, even if we had met frequently and discussed
23 that frequently, I don't think that we would have been
24 able to make an impact on this issue without giving
25 stented patients the same priority as red flag 15:08
26 patients.

27 112 Q. Okay. I think we're going to take a short break now
28 and come back in 10 minutes?
29 CHAIR: Yes. So 10 minutes then. I think that's 3:10.

1 So twenty past then.

2

3 THE INQUIRY RESUMED AFTER A SHORT PERIOD AS FOLLOWS:

4

5 CHAIR: Thank you everyone. I think in ease of 15:19
6 everyone, Mr. Wolfe, we'll not sit beyond 4.15 today.

7 MR. WOLFE: We have spent some time, Mr. O'Brien, with
8 other witnesses trying to get a sense of the, I suppose
9 the effectiveness of both medical management and
10 operational management as it impacted on the urology 15:19

11 service. We've looked at that from a number of
12 perspectives. We've looked at it, for example, in

13 relation to the management of your clinical practice
14 and how that worked. Was there a confusion or a sense

15 of incongruity between operational and medical 15:20
16 management in terms of how it handled things, for

17 example. We've also looked at it in terms of the
18 management of these resourcing capacity issues and how

19 the service was supposed to respond to the environment
20 in which it operated. 15:20

21

22 From your perspective, you've indicated within your
23 witness statement, I suppose the frequency, the

24 inevitable frequency of your engagement with Mr. Young.
25 I suppose a sense on your part of not quite 15:20

26 understanding or not quite knowing how to view him in
27 terms of his management responsibilities. Was he there

28 to support the service or support the clinicians within
29 the service? Was he an advocate for the clinicians or

1 was he something else? You've also reflected that in
2 terms of the Clinical Director, you didn't have regular
3 interaction with him. A number of people wore that
4 hat.

5
6 In terms of the Medical Director, again engagement with
7 Dr. Loughran in relation to the intravenous fluid and
8 IV therapy issue, but not much more than that, and very
9 little, if any, engagement with his successor Dr.
10 Simpson, and then you engaged with Dr. Wright and
11 Dr. Khan through the MHPS process. That's a bit of a
12 summary of your engagement with medical management.

13
14 In terms of -- let me leave out of this your practice
15 issues, or the issues that management had with you. In
16 terms of those tiers of management, and I've probably
17 left the Associate Medical Director out, not
18 deliberately, but in terms of your engagement, or your
19 colleagues's engagement around the issues of the
20 pressures faced by the service, had you much, if any,
21 interface with those management levels?

22 A. I would say 95% of any engagement that there was, was
23 engagement that was necessitated from above rather than
24 below and about which we have alluded earlier. In many
25 ways, you know, my own personal view of this has been
26 for quite a number of years, there are far too many
27 layers in that hierarchical management. I much
28 preferred it when, in the days of John Templeton as
29 Chief Executive, when literally those of us on the

1 ground, even though we were then even fewer in number,
2 could draw up by consensus our priorities, our greatest
3 concerns, and perhaps our shopping list, as it were, to
4 address those in order of priority, and go once a year
5 at least, preferably maybe twice a year, to the boss, 15:23
6 to bring our concerns, and at least you knew they got
7 there and you discussed them frankly. I think the
8 first document that you showed this morning in 1997
9 might have been very much a part of that kind of
10 process, and if you didn't get what you asked for at 15:24
11 least you knew that you had addressed it and it hadn't
12 been lost in the mists of layers of management. So...

13 113 Q. So in terms of - - one can see, and we'll turn to look
14 at it in a moment, how concerns around practice issues,
15 concerns around how you and your colleagues were able 15:24
16 to practice for the betterment of patients, those
17 concerns tended to be directed at the Head of Service
18 Mrs. Corrigan, or in extremist, to the Director of
19 Acute -- and I'm thinking here in particular about
20 correspondence with Mrs. Gishkori. But I don't get a 15:25
21 sense, correct me if I'm wrong, that you and your
22 colleagues had the ear of the various levels, you say
23 the unhelpful levels, of medical management to enable
24 you to better address the needs of your patient body?

25 A. Well, I would agree with you, but I would add to that, 15:25
26 that even if we did have the ear, and I say this not in
27 my defence but in defence of Mr. Haynes, I mean he has
28 written graphically and extensively expressing his and
29 our concerns about patient safety to the Medical

1 Director and to the Director of Acute Services, and yet
2 there is very little comes out of that. And that may
3 not be the fault of those personnel, you know, it just
4 may be impossible and it doesn't happen.

15:26

5
6 I think one of the most -- the best example that
7 demonstrates that is that, is it in 2018 or -- yeah, I
8 think it is in 2018, or is it 2019, when we asked for
9 more operating and we were given, we were increased
10 from ten and a half sessions per week to eleven
11 sessions per week and it lasted one month and it was
12 back down again.

15:26

13 114 Q. Yes. Let me put the point precipitatively that I was
14 pressing, I should say, I was maybe going to lead to.

15 A. Okay.

15:26

16 115 Q. As part of the leading to the point that you've just
17 made, which was an attempt on the part of the
18 clinicians within the service to, if you like, try to
19 attract more operating time given the pressures of your
20 waiting lists. The context for that is, it appears to
21 me, the emphasis that was placed on the need to
22 prioritise red flag cancer patients, and as we saw from
23 your email just before the most recent break, the, I
24 suppose, the attempts on the part of the Head of
25 Service, Mrs. Corrigan, to -- I don't mean this
26 pejoratively -- but to relegate in importance the needs
27 of the non-red flag patients, the non-malignant cases.

15:27

28 A. Yes.

29 116 Q. Let me introduce that by reference to Mrs. Corrigan's

1 emails that you were responding to. We saw your
2 response just before the break. We should maybe take a
3 closer look at how she introduced the issues.
4

5 So if we go to AOB-77570, and just this is an email 15:28
6 dated 21st June, I think. If we just go up? Up a
7 little higher so we can see the date. Okay. So this
8 is an email of 21st June 2016, and it is being issued
9 to -- some of the names have been taken out, but it
10 appears to be everybody of relevance within the 15:29
11 Surgical and Elective Care Directorate. And she
12 writes:

13
14 "As you will be aware, we are experiencing significant
15 bed pressures which are impacting on the running of our 15:29
16 elective lists. I've already been in touch with those
17 of you operating tomorrow. However, a decision has
18 also been taken for lists planned to take place in the
19 Craigavon main theatres on Thursday, Friday, and
20 Monday. Only red flag patients are to be operated on, 15:29
21 and I would be grateful if you could review your lists
22 and cancel anyone who is not a red flag."
23

24 And then -- so that was the 21st June. If we scroll up
25 the page? Back up. Thank you. She writes again on 15:29
26 the 27th June to repeat more or less the same message
27 for the next period. So for those days in the middle
28 of the email are to be red flag patients only.
29

1 So that reflects back on the point that you, your
2 response, which is "well, take for example, Patient 16,
3 a patient who has been waiting six or seven months for
4 a stent replacement. He's not red flag. Where does
5 that leave us?" Your observations in your email are, I 15:30
6 suppose, echoed more -- a little more concisely by
7 Mr. Glackin some several years later in 2019, and if I
8 could just pull this up for illustrative purposes as
9 well?

10
11 If we go to TRU-258588, and if we just go to the bottom
12 of the page, please? Alana Coleman is writing and she
13 is explaining to her colleagues:

14
15 "We have been receiving a few referrals back from 15:31
16 grading recently where the consultants have triaged
17 patients to be booked within two to four weeks."

18
19 And an example is attached. She says:

20
21 "Red flags are booking at no less than six weeks at 15:32
22 present."

23
24 And she is saying:

25
26 "Should these patients not wait longer than red flag 15:32
27 patients or at least wait the same length of time, or
28 should we just ask the consultants if they are willing
29 for their clinics to be over-booked to accommodate?"

1 And Mr. Glackin comes in on this, if we scroll up, up
2 above that, please. Keep going. And he is replying or
3 copying you and others into his reply on this issue.
4 He is saying:

5
6 "There are times when non-cancer cases are clinically
7 urgent and should be seen within the stated timeframe.
8 Based on the information provided in the referral I
9 think I am making a reasonable clinical decision. If
10 the Trust cannot deliver this then there is an issue of 15:32
11 demand outstripping supply. Simply relying on me or
12 any other clinician to overbook a clinic will not solve
13 this supply issue and I am not willing to do this work
14 unpaid or to the detriment of my existing workload."

15
16 As I say Mr. O'Brien, broadly the same theme that you
17 had addressed with Mrs. Corrigan three years earlier.
18 There is from the management side a need to promote, it
19 seems, the interests of red flag patients, and I
20 suppose no understanding, or little understanding as 15:33
21 Mr. Glackin would portray it, that non-red flag
22 patients, or to put it another way, patients not
23 suffering from malignant disease do regularly have
24 urgent needs, needs as urgent as the red flag patient.

25 A. And in many cases far greater. I mean, you can have an 15:34
26 urgent referral from the emergency department of a
27 patient who has attended 24 hours previously with an
28 obstructed ureter due to stone disease, and they do
29 need to be, you know, attended to with some urgency.

1 Not every one such patient requires urgent attention.
2 You look at all of the other details, and indicators of
3 inflammatory markers and infection and so forth, and
4 renal function, and co-morbidities, but you may have
5 read email correspondence from me where I have arranged 15:35
6 for people to be admitted directly from home whilst I
7 was urologist of the week in such a situation, and
8 there are very, very few malignant cases where you have
9 to deal to respond with such urgency.

10
11 So not only would I back up what Mr. Glackin has
12 written, but I would further state that at times they
13 require a greater degree of urgency than red flag
14 referrals.

15 117 Q. And to what extent, if we start with Mrs. Corrigan's 15:35
16 intervention to the group of surgeons saying "it's red
17 flag only for this week", and then the next week comes
18 and it's red flag only for this week. How often was
19 that intervention required of her, or how often did she
20 make that kind of intervention? 15:35

21 A. Well increasingly frequently as the years went by. It
22 used to be an annual occurrence, particularly in the
23 winter months, but as everybody hears on mainstream
24 media, you know, the winter has become June, July and
25 August as well as November, December, January. So it 15:36
26 became more frequent, and like Martina is the messenger
27 in that regard. But I think the point that is being
28 made here from a clinical perspective is that, do you
29 know, patients who have malignancy and patients who are

1 suspected of malignancy are deserving of top priority,
2 but so are some other cases as well, and even more so
3 on occasion. But, it's very...

4 118 Q. And why -- if I can just intervene?

5 A. Yes.

15:36

6 119 Q. why had that point, which has been made by you in 2016,
7 and we'll come on to see how Ms. O'Kane has raised it
8 with Mrs. Gishkori, and of course Mr. Glackin here in
9 2019, why had that point not landed? why had it not
10 apparently been understood by those in charge of

15:37

11 scheduling or managing throughput in the theatres?

12 A. Because you've got to understand, as I'm sure you do,
13 that, you know, the Chief Executive, and the Medical
14 Director and, you know, they are obeying their orders
15 from above, you know. It's -- red flags are such a
16 politically potent issue, understandably, but we as
17 clinicians found ourselves in that same situation time
18 and time again as the years went by. Whether it's
19 waiting list validation exercises, or whether it's this
20 issue, and when you're at it for 28 years you get tired
21 of that, that's what gives rise to fatigue and burnout
22 when you're dealing with the kind of discrepant service
23 that I referred to this morning:

15:37

24 120 Q. We can pick up a trail of correspondence from May 2018,
25 which would appear to have, at least in part, been
26 precipitated by the death of Patient 91, but I suspect
27 knowing the contents of the letter, not only that. And
28 Mr. Haynes, if we can bring it up on the screen, I
29 think it's a letter which the Panel will be familiar

15:37

15:38

1 with, it's WIT-96842, and he's writing 22nd May 2018.
2 You're copied in, along with your colleagues. He's
3 writing to Esther Gishkori, who was the Director of
4 Acute Services at that time. And he's setting out, if
5 we take up the second paragraph, that routine surgery 15:39
6 has ceased and clinically urgent surgery has been
7 limited, and he's saying there are staffing
8 difficulties in theatres which renders it likely that
9 there will be ongoing reduction in elective capacity
10 and this will cause a disproportionate impact on 15:39
11 urology, because, as a speciality, you have such
12 limited numbers of theatre sessions as a baseline.

13
14 He goes on in the next paragraph to talk about the
15 risks for those patients generally regarded as falling 15:40
16 within the urgent and sometimes the routine categories,
17 the risks of, for example, sepsis.

18
19 And in the fourth paragraph he touches upon the death
20 of Patient 91, the stent patient, if I can respectfully 15:40
21 call him that? This operation he says:

22
23 "... took place 10 weeks after initial stent placement."

24
25 He says: 15:40

26
27 "While this may have happened because surgery took
28 place within a month and there will be other factors
29 involved including his co-morbidities, his risk of

1 urosepsis was increased five-fold by his waiting time
2 for the procedure."

3
4 And then if we go over the page, I think, yes, he's
5 making -- sorry, just at the bottom of that. Yes, he's 15:41
6 making a pitch, again if I can use that term, for, if
7 we scroll down, the target, he says:

8
9 "...should be four additional lists per week in order
10 to meet the substantial volumes which the urology 15:41
11 service faces."

12
13 Now, we don't have the time to go through all of the
14 correspondence that flowed from that, but this was
15 2018, and there was intended to be a meeting with 15:41
16 management scheduled for September 2018, but it was
17 cancelled as I understand it, because Mrs. Corrigan was
18 off for surgery.

19
20 You contributed in advance of that meeting, if we just 15:42
21 bring it up on the screen, AOB-01904. You contributed
22 your thoughts in writing covering the three issues of
23 Urologist of the week, the issue of triage I think, if
24 we just scroll down, and a concern about the, if we go
25 over the page, elective in-patient surgery. 15:42
26

27 The meeting having been postponed was rearranged for
28 December and again didn't take place, isn't that
29 correct?

1 A. Well, it's interesting that, because I attended -- if I
2 may just take those two meetings in chronological
3 order? Because even though the first meeting didn't
4 include senior management because of the inability of
5 Martina Corrigan to be present, it was a useful 15:43
6 meeting. In fact it probably was a meeting that was
7 necessary for the clinical team and the nursing team to
8 discuss the issues that we wanted to deal with, and
9 these three that I submitted were only three of those.
10 I think the last time I gave evidence the Chair asked 15:44
11 me -- there was a coffee break and whether we had gone
12 on to discuss...

13 121 Q. The issue of triage?

14 A. Triage thereafter. I can't recall, because the only
15 reason I was recording it -- and I'd like to take this 15:44
16 opportunity -- was not to record actually discussions
17 between me and my colleagues, but it was actually to
18 record the discussions that we would have with senior
19 management, and as they didn't turn up there was no
20 point in continuing. 15:44
21

22 But then when it comes to the 3rd December, this might
23 be entirely coincidental, but I submit my grievance on
24 the morning of Friday, 30th December. I, like
25 everybody else, turned up for the meeting to occur on 15:44
26 Monday, 3rd December. I hadn't read the email that was
27 sent by Martina Corrigan in the early afternoon of 30th
28 December saying it had been...

29 122 Q. 30th November?

1 A. Of November, saying it had been agreed that the meeting
2 was cancelled. I'm not quite sure of the exact words.

3 123 Q. Yes. I think that was the language she used. I think
4 the email is at AOB-04250. Is it jumbled on your
5 screen? Yes. 15:45

6 CHAIR: Yes, it's a jumble on ours.

7 MR. WOLFE: I think if I...

8 CHAIR: If you just want to read it out, Mr. Wolfe,
9 that will do.

10 MR. WOLFE: Yes. So I'm reading from AOB-04250, which 15:45
11 is an email from Martina Corrigan to a range of
12 personnel, including Mr. O'Brien:

13

14 "Apologies, as I had to send this email earlier.
15 It has been agreed that the away day on Monday is 15:46
16 cancelled but the consultants and I would get together
17 at 10.00am for a couple of hours to discuss some of the
18 issues that had been raised on the 24th September..."

19

20 which was the earlier meeting that had to be cancelled 15:46
21 due to her unwellness.

22 A. Mmm.

23 124 Q. So you were wishing to make a point about the
24 cancellation of the December meeting?

25 A. Yeah. I mean, you know, I wondered who agreed it or 15:46
26 with whom was it agreed? I've never sought any
27 clarification of that, nor have I ever received it.
28 But for me, not necessarily particularly for me, but
29 certainly for all of us it was a disappointment that

1 senior management couldn't meet with us to discuss and
2 address and hopefully arrive at the kind of shared
3 responsibility that I think I projected earlier this
4 morning, rather than guidance.

5 125 Q. Yes. I draw attention to this correspondence in the 15:47
6 context of the pressures being applied to the
7 management of elective patients in the non-malignant
8 area in order to allow you to illustrate that
9 clinicians were not inactive in seeking to procure
10 change and better support for their patients, who you 15:47
11 well recognise were at risk, and we can see that
12 through your response in 2016 to Mrs. Corrigan, and
13 Mr. Haynes in his correspondence with Mrs. Gishkori. I
14 wonder, however, whether upon reflection you consider
15 that as a team of urologists, more might have been 15:48
16 done, perhaps with the support of management, to better
17 target your limited resources where they were most
18 needed? I want to put the following perspective to
19 you. In his evidence, Mr. Glackin, if we can bring it
20 to the screen, please? WIT-42315. And at paragraph 15:48
21 46.1 he has stated that:

22
23 "Performance objectives are not utilised for consultant
24 medical staff. A consultant job plan sets out sessions
25 of direct clinical care and supporting professional 15:49
26 activity. It records the frequency of clinics, theatre
27 lists, on-call activity, et cetera."

28
29 But if I could just skip down to the important point:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

"My job plan does not specify how many patients I am expected to see per clinic or theatre list. It does specify how many clinic and theatre procedural sessions I am expected to deliver over the course of a year."

15:49

And in expanding upon that in his evidence, the lack of performance objectives, he explained that it was his view that the consultant team should have been sitting down with management and with the relevant data available to see what could be done to better deliver based on the resources available. In other words, using the data intelligently, where is our most urgent needs? How can we pool resources, perhaps? Divide our available time to more readily focus on what appears to be most urgent? And he didn't diagnose or define what that might be. What he was reflecting, I suppose, was his experience in Great Britain as a younger professional, where the department met regularly to discuss workloads, numbers, available resources, and arrived at strategies for dealing with it. He was reflecting that until relatively recently, and it was just a week or so before he had given evidence I think, that new age thinking hadn't arrived at the urology service in Craigavon, or perhaps within any of the surgical services within Craigavon. Does that omission or that gap chime with you?

15:49

15:50

15:50

15:51

A. Yes, it does. It doesn't mean to say that it never occurred previously, because I remember a period of

1 time when there was an intensive look at operating
2 theatre utilisation, do you know, arrival time, start
3 time, anaesthesia time, WHO safety check time, and all
4 of that. And very often actually there was, there were
5 issues with regard to the reliability of data and what 15:51
6 exactly was being measured, and the heterogeneity that
7 is intrinsic in patient operative cohorts and so forth.
8 So it has been visited previously, but I certainly
9 acknowledge that we stopped doing it, hadn't been doing
10 it maybe for quite a period of time after we got the 15:52
11 one stop clinic model set up, which was a kind of issue
12 like that.

13
14 So, yeah, I mean, I listened to his evidence with
15 regard to performance measures, how performance perhaps 15:52
16 could be included in appraisals, so I've listened to
17 all of that, and I'm just -- it's not either excuse or
18 explanation or justification for such a gap, I just do
19 remain somewhat sceptical of the extent to which you
20 could achieve significant improvement in the context of 15:53
21 such inadequacy. I'm not, you know, knocking it on the
22 head.

23
24 One of the things I did actually when I was lead
25 clinician and Chair of MDT and MDM respectively, was 15:53
26 during 2014, I had the Cancer Tracker give to me the
27 three patients who were waiting longest on their care
28 pathway at the start of a meeting, and we started off
29 with three patients only, and they might have been

1 about to breach in a week's time, and I took those
2 three patients as Chair myself, and if the other
3 clinician couldn't review them, I did it. And if you
4 actually do things like that, if you start salami
5 slicing off, you can make -- you can achieve change, 15:54
6 but there are probably limitations to it as this
7 ongoing inadequacy just spirals out of control, as you
8 have said.

9 126 Q. Mmm. You've reflected already I think that process of
10 engagement with Mrs. Gishkori, with Mr. Haynes taking 15:54
11 the lead on behalf of the team. I'm not quite sure
12 whether he was wearing his AMD hat or whether he was
13 wearing the hat of a clinician within the team? It
14 probably matters not. But it bore minimal fruit in
15 that the number of operating or theatre sessions made 15:54
16 available to the team increased marginally but were
17 then reduced a short period of months, I think two
18 months maybe?

19 A. One month.

20 127 Q. One month. One month later back to the level at which 15:54
21 you were at.

22 A. Mmm.

23 128 Q. You spoke in your witness statement at paragraph 415 of
24 your original statement, that having raised issues over
25 time there is a sense of fatigue and disillusionment, 15:55
26 as you put it, with regard to raising concerns, and it
27 gives rise to -- the lack of responsiveness gives rise
28 to a belief that raising concerns was no longer
29 productive?

1 A. Or counter-productive even.

2 129 Q. In what sense?

3 A. I certainly remember Michael Young and I coming to the
4 conclusion at times that if you kept repeatedly raising
5 the same issues with the same people, it became 15:55
6 increasingly difficult for them to respond positively
7 to them because that kind of, you know, removed any
8 justification for not having done so at an earlier
9 time, and they kind of dug their heels in -- something
10 I've been accused of earlier today. But, you know, it 15:56
11 became difficult.

12
13 I also think actually that the term that sprung to my
14 mind as you were introducing that question is one of
15 additionality. I think actually from day one in 1992 15:56
16 the Urological Service was additional. You may have
17 seen or read Mrs. Gishkori's response to the concerns
18 that arose from the death of Patient 91 and, you know,
19 that we need to respond to this. But, you know, we
20 don't want to upset or diminish any other service, even 15:56
21 though if you have finite resources you have got to
22 actually share the cake out more equitably, even if the
23 size of the cake does not increase.

24 130 Q. We can see from -- moving your engagement with
25 management away from the bigger picture issues of the 15:57
26 resources, we can see that in terms of your own
27 specific practice that your engagement with management
28 in terms of your requirements for support appears to be
29 limited in a sense to finding or seeking to find more

1 time for your administrative obligations, whether that
2 was facilitating you with a Friday on leave following
3 your Urologist of the week to enable you to complete
4 triage. Were there any other types of support or forms
5 of support that you sought from management to assist 15:58
6 your own practice, particularly after returning to work
7 in March 2017 or February 2017, or indeed after the
8 publication of the MHPS Report in 2018?

9 A. I think the answer to that is on the one hand, no. I
10 think on the other hand that really, I think in one of 15:59
11 the meetings with Colin Weir and Martina Corrigan that
12 I had recorded, I think that I refer to the job plan as
13 a kind of scam, because I think actually what I would
14 have liked to have done is for the management to
15 acknowledge that if you're going to require, let's say 15:59
16 six hours per week to do triage, or whatever
17 administrative duty, or something like that, but
18 management insist that you're not going to have more
19 than 12 PAs, then management has to make some choices
20 as well as to what kind of clinical activity is going 15:59
21 to be dropped. So there is a distinction to be made
22 between -- job planning really doesn't give you time,
23 it acknowledges what you do in particular sessions, it
24 is overruled by the amount of remuneration you're going
25 to get for it, and that's expressed in PAs or whatever, 16:00
26 but if you are, like as Mark Haynes has demonstrated,
27 he took 15.25 hours per week to attend to his
28 administrative duties, and that is the equivalent of
29 two standard working days, which was in his own time.

1 I don't think that any consultant clinician should be
2 expected, by their employer, to sacrifice so much of
3 their time to meet the expectations of the employer.
4

5 Now, to answer your question more directly, what should 16:01
6 have been the response in 2017, '18, '19? Could we
7 have, as a group of clinicians, sat down in a room and
8 somehow succeeded in getting management to engage with
9 us to at least attempt to understand what those
10 expectations meant for us, the amount of time that was 16:01
11 required to undertake them, and what trade-offs that we
12 could all agree to would be made? But, I mean, I did
13 make a genuine and serious attempt to have those issues
14 that I highlighted, from I would say actually early
15 2015, when I appreciated, and when I made it very clear 16:01
16 that it was impossible for me to complete triage whilst
17 urologist of the week, but then more formally in
18 January '17, and again in 2018, to have that real
19 substantive discussion with senior management to
20 address these issues in a sustainable manner, but I 16:02
21 didn't succeed.

22 131 Q. Yes. One of the supports on one view that is available
23 to the clinician is the process of appraisal.

24 A. Mmm.

25 132 Q. And certainly we've heard evidence that when it was 16:02
26 introduced in conjunction with the revalidation
27 process, it was an instrument very much geared towards
28 assisting the professional, the clinician, in their
29 developmental needs, and I think we'll start with that

1 on the next occasion. But can I have your observations
2 just before we close today. Appraisal, and we'll look
3 at some of the particular appraisal documents on
4 wednesday, did appraisal provide any benefit or
5 assistance to you, whether in the early years of it or 16:03
6 as the process matured, in particular in relation to
7 the challenges that you were facing in your practice?

8 A. Yeah. I think -- I mean appraisal in the early years
9 from 2010 onwards was pretty bereft almost of detail
10 and reflection and so forth. And even though it wasn't 16:04
11 my favourite activity of the year, I found it to be
12 increasingly useful as the years did go by, because you
13 were -- it was obligatory, it was mandatory to reflect
14 upon what had been identified by complaints, or SAIs or
15 whatever. So I found it increasingly useful. 16:04

16
17 I, I mean I have my reservations about the whole issue
18 of, not so much appraisal, but I have my own
19 reservations about the issue of revalidation or
20 validation in the first instance, because I've always 16:05
21 believed from I first heard of it that the validation
22 and revalidation of any clinician should not be at all
23 the responsibility of that clinician's employer. I've
24 always held the view that if the Royal Colleges, like
25 in my case the Royal College of Surgeons in Ireland, 16:05
26 had been regarded as trustworthy enough to determine
27 whether I had completed satisfactory training and was
28 eligible to become a consultant, that the colleges
29 should be the repository of responsibility for

1 determining one's competence and fitness to practise
2 and to be validated or to be revalidated, because it's
3 obviously a conflict of interests, which is to me so
4 glaringly evident, and which has been addressed as I
5 think I believe you're aware, by Sir Anthony Hooper in 16:06
6 his report to the GMC in 2015. It's open to abuse and
7 it's open to exploitation. So that's a particular view
8 I have about revalidation. But appraisal, yes. And
9 could other things have been added into appraisal?
10 Yes. But once again, do you know, what is appraisal 16:06
11 and revalidation? It's about your competence in the
12 speciality in which you have been employed to date, and
13 it's a report that should go from an outside body to
14 the employer rather than the employer doing it
15 themselves. 16:06

16 133 Q. Well we will pick up on some of those strands on
17 wednesday, Chair. That concludes me for today.

18 CHAIR: Okay. Well ladies and gentlemen, we'll see you
19 again on wednesday, Mr. O'Brien, but we'll all be back
20 here at 10:00 o'clock tomorrow morning for a different 16:07
21 witness. Thank you.

22
23 THE INQUIRY ADJOURNED UNTIL TUESDAY, 9TH APRIL 2024 AT
24 10.00 A.M.