



Oral Hearing

Day 12 – Tuesday, 29th November 2022

Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

1 THE INQUIRY RESUMED ON TUESDAY, 29TH DAY OF
2 NOVEMBER, 2022 AS FOLLOWS:

3
4 CHAIR: Good morning, everyone. Mr. Hughes,
5 Mr. Gilbert, good morning, welcome. It's very unusual 10:08
6 for us to have two witnesses giving evidence at the one
7 time. Can I just remind you both we only have the one
8 microphone and we need to pick up what each of you say.
9 If you wouldn't mind putting it between you, that's
10 a good idea. Thank you. 10:08

11
12 MR. HUGH GILBERT, HAVING BEEN SWORN, WAS EXAMINED BY
13 MR. WOLFE KC AS FOLLOWS:

14
15 DR DERMOT HUGHES, HAVING BEEN SWORN, WAS EXAMINED BY 10:08
16 MR. WOLFE KC AS FOLLOWS:

17
18 MR. WOLFE KC: Good morning. For the record, the first
19 witness who took the oath this morning was Mr. Hugh
20 Gilbert and the second witness who took the oath was 10:09
21 Dr. Dermot Hughes.

22
23 Good morning, Panel, as you say, a slightly unusual but
24 not wholly unconventional arrangement this morning.
25 Lawyers sometimes call it hot-tubbing, but we have two 10:09
26 witnesses and the road map, if you like, this morning,
27 just to explain. As you know from your papers,
28 Dr. Hughes and Mr. Gilbert were commissioned by the
29 Southern Health and Social Care Trust to form part of

1 a Serious Adverse Incident Review team, or panel, which
2 examined nine cancer cases; five of us were prostate,
3 two renal, one testicular, and one penile. They
4 carried out their work in late 2020 and into 2021.

5 Their evidence this morning, the rest of the day and 10:10
6 into tomorrow, will, hopefully, assist the Inquiry,
7 particularly in relation to Term of Reference Part C.
8 Their evidence should enable the Inquiry to develop
9 a better understanding of the clinical aspects of the
10 cases which reached the threshold for an SAI, and the 10:10
11 kinds of deficiencies in governance which they, in
12 their various reports, identified.

13
14 Before getting into some of the issues arising out of
15 all of that, let me just ask the witnesses about their 10:11
16 Section 21s.

17
18 First of all, Mr. Gilbert, if I could have up on the
19 screen for you your Section 21 response to the Inquiry.
20 It can be found at WIT-85886. Do you recognise that, 10:11
21 Mr. Gilbert?

22 A. MR. GILBERT: Yes.

23 1 Q. If we can scroll down, I think there's a signature on
24 the last page at line 1, 85891, yes, it's
25 electronically signed, dated 9th November 2022. Do you 10:11
26 wish, Mr. Gilbert, to adopt that statement as part of
27 your evidence to the Inquiry?

28 A. MR. GILBERT: Yes.

29 2 Q. Thank you. And similarly, Dr. Hughes, you provided

1 a Section 21 response, we will call it a statement, on
2 17th October 2022, it can be found, let's go to the
3 first page, WIT-84148. Again, Dr. Hughes, that should
4 be familiar to you?

5 A. DR. HUGHES: Yes.

10:12

6 3 Q. Let's scroll to the last page, WIT-84176. There you
7 go, your signature. That's your signature?

8 A. DR. HUGHES: Yes.

9 4 Q. Any amendments or revisions that you wish to indicate?

10 A. DR. HUGHES: No.

10:12

11 5 Q. I might, and perhaps should have done this in advance.
12 My apologies. Can I just bring you to something
13 I spotted, WIT-84152, and see if you can resolve this
14 for me? Paragraph 10(i), here you are talking about
15 the circumstances in which you were briefed about the
16 SAIs, and you talk about the involvement of the PHA,
17 the Public Health Agency. The last sentence, the
18 classification of the SAI process would be agreed
19 between the Trust and, it says SAI, I assume it should
20 say PHA?

10:13

21 A. DR. HUGHES: It should have said PHA. I beg your
22 pardon.

23 6 Q. No problem. I should have spoken to you in advance.
24 If we can delete SAI and insert the word PHA?

25 A. DR. HUGHES: Yes, please. Apologies for that.

10:14

26 7 Q. Not at all. The final piece of housekeeping before we
27 begin, gentlemen, is you should have in front of you
28 a cipher list. When you wish to refer to the name of
29 a patient, you should use that cipher list.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

I trust the Panel have a copy of it?

CHAIR: Yes.

MR. WOLFE KC: what should be immediately obvious is that the cipher list that we have been using to date, 10:14
has had to be tweaked slightly because, within the SAI reports, the patient designations are letters, so patient A, to read across into the patient ciphers that the Inquiry has been using in respect of patient A, should be Patient 1. I will hope to be consistent in 10:15
using the Inquiry's ciphers, but we have that designation list for clarification. Of course, as I said before, everybody should be conscious of the restriction order which applies in these hearings and refrain from identifying any patient or family member 10:15
by name.

Mr. Gilbert, you are a Consultant Urologist?

A. MR. GILBERT: Yes, I have been a Consultant Urologist for 24, 25 years, the first 23 in Gloucestershire. 10:15

8 Q. If I just stop you there. It's just for the ease of the Panel's note and your own eye. Let's bring up your statement to guide us through this, WIT-85890. College medical degree, and then various Royal Colleges. Scrolling down to your employment, first employed as 10:16
a Consultant in 1996 at Gloucester, and 19 years there or so, maybe longer than that?

A. MR. GILBERT: 23 altogether.

9 Q. 23.

1 A. Yeah.

2 10 Q. Then a short hop over to Bristol in 2019?

3 A. MR. GILBERT: Yes.

4 11 Q. You have been there to date. You tell us, just below
5 that, in positions, in terms of the positions that you 10:16
6 have held that are perhaps most relevant to the work
7 that you were asked to do for the Southern Trust, can
8 you highlight some of that for us, please?

9 A. MR. GILBERT: Yeah. As a Consultant Urologist I have
10 been involved in case reviews for my own Department, 10:17
11 initially. I was responsible for setting up the MDT
12 when Improving Outcomes Guidance was first published
13 just over 20 years ago. I then became the Clinical
14 Director for General Surgery and Urology Services, and
15 established a formalised Clinical Governance structure 10:17
16 with regular reviews of performance in terms of
17 publishing audits, and so on and so forth.

18 I subsequently volunteered to become a GMC Performance
19 Assessor, which essentially was a review of notes to
20 ascertain the effectiveness of someone's practice and 10:18
21 subsequently their ability to put that into effect,
22 because there were questions about the individuals
23 concerned. I then became part of the Invited Review
24 Mechanism, which is a body under the auspices of the
25 Royal College of Surgeons in London. This is 10:18
26 a surgical group subdivided into specialties and is
27 a resource for Chief Executives and Medical Directors
28 to obtain independent and systematic advice regarding
29 any concern they might have about a Service or an

1 individual. In 2019, at competitive application, I was
2 appointed as its lead for Urology.

3 12 Q. Yes. Thank you. That's very helpful.

4
5 Dr. Hughes, likewise, if we could have up on the screen 10:19
6 WIT-84149. At paragraph 4, yes -- so you are
7 a pathologist by trade, by profession?

8 A. DR. HUGHES: Yes, I am a histopathologist by trade.

9 I trained in Northern Ireland and I also trained in
10 Washington D.C. Following that, I was appointed as 10:19
11 a Consultant Histopathologist in the Western Trust in,
12 goodness, in 1990. I managed Pathology Services in
13 that, and I was a senior lecturer in Queen's University
14 Belfast. In my time there, I became the Lead Clinician
15 for Cancer Services and Diagnostics from 2003 to 2008. 10:20

16 After that I became the Medical Director for the
17 Northern Ireland Cancer Network between 2008 and 2011.
18 At that time, we were setting up MDT services across
19 Northern Ireland, and I led and brought in the first
20 round of peer review of Cancer Services in Northern 10:20
21 Ireland, and that was facilitated by the London team.
22 At that time the initial work was with breast cancer,
23 lung cancer and colorectal cancer.

24
25 Following that appointment, I returned back to the 10:20
26 Western Trust and was Clinical Director of Diagnostics
27 in Cancer Services. At that time we developed
28 a cross-border Radiotherapy Centre and a cancer
29 Service, which is shared between the Republic of

1 Ireland and Northern Ireland. I then became the
2 Associate Medical Director and eventually became the
3 Medical Director of the Trust for four years. I am
4 a visiting professor of the Ulster University, at the
5 newly established graduate entry medical school, and 10:21
6 I currently am an Associate with the Leadership Centre.
7 Some of my work that I currently do, I spend one day
8 a week at the Independent Medical Examiner's Office,
9 I have supported RQIA in the review of deceased
10 patients who were previously seen by Dr. Watt, and I am 10:21
11 the senior responsible owner for the Encompass Project
12 for Northern Ireland, which is an Epic implementation
13 to completely review the IT infrastructure on an Epic
14 platform for Health and Social Care and providing
15 a portal for patients. 10:21

16 13 Q. In terms, Dr. Hughes, of your SAI experience and know
17 how, if I can put it in those terms, could I draw your
18 attention to what you have said at WIT-84149. Just
19 scroll down the page to paragraph 5. You have
20 explained that you have formal training in SAI, that 10:22
21 you have chaired SAIs and that, as Medical Director,
22 you had a review and quality assurance role. You
23 suggest that your experience, between 2015 and '19,
24 shortly before doing this work for the Southern Trust,
25 that quality assurance role brought 350 cases across 10:22
26 your desk?

27 A. DR. HUGHES: Yes, all SAIs in the Trust would have been
28 reviews at Director level, and I chaired that process,
29 and that was to assure immediate learning to quality

1 assure and make sure that the learning was embedded
 2 within the system. Subsequently to that, after leaving
 3 that role, I have done a range of SAIs, one -- as well
 4 as the Southern Trust, one I have done work for the
 5 Belfast Trust reviewing nine cancer-related cases in 10:23
 6 Thoracic Surgery. I have also done two nosocomial
 7 covid SAIs relating to outbreaks of Covid, both within
 8 the Western Trust. These would have involved patient
 9 engagement and chairing SAIs processes. I think it was
 10 about 22 patients in total. 10:23

11 14 Q. We will come on, in just a few moments, to look at the
 12 circumstances in which you became to be appointed to
 13 the role for the Southern Trust. Your role
 14 specifically, Dr. Hughes, was to be the external
 15 Independent Chair; isn't that correct? 10:24

16 A. DR. HUGHES: Yes, that's correct.

17 15 Q. Mr. Gilbert, again, external independent subject matter
 18 expert, I suppose, with responsibility for reviewing
 19 the clinical aspects, benchmarking, and providing
 20 an analysis of any deviation from benchmark? 10:24

21 A. MR. GILBERT: Exactly, yes.

22 16 Q. Dr. Hughes, in the last paragraph of your statement,
 23 I'm going to bring it up in front of you just to
 24 orientate you, it's WIT-84175, paragraph 24. You draw
 25 the Inquiry's attention to the General Medical 10:25
 26 Council's guidance called Leadership and Management For
 27 All Doctors, which was published in January 2012, and
 28 you go on to say:
 29

1 "I have used this guidance to benchmark how doctors
2 with additional responsibilities perform in the
3 management of governance of care delivered by teams
4 they manage."

10:25

5
6 You say:

7
8 "The principles set out in this document have informed
9 my clinical and managerial practice and informed the
10 approach to the ten Serious Adverse Incident review
11 reports"
12 which you prepared for the Southern Trust.

10:26

13
14 Just on that, why is that an important document from
15 your perspective?

10:26

16 A. DR. HUGHES: I think it's a very important document
17 because it describes how professionals work in teams.
18 It describes how professionals work with other
19 professionals. It describes the responsibilities that
20 people should know they are adopting when they take on
21 roles of Leadership. It details the expectations of
22 these professionals. Sometimes I have found in the
23 past that people take on Leadership roles thinking it's
24 a seniority, thinking it's a vague role to do, without
25 actually seeking detailed information about what the
26 expectations are, what the goals are, and what they
27 should do when there are problems. That could be
28 interpersonal problems, that could be resource
29 problems, that could be many. This document is set out

10:26

10:26

1 in a very helpful, straightforward manner to explicitly
2 state how people should approach their roles. It's
3 divided into expectations of all doctors who work in
4 teams, and then it has doctors with additional
5 responsibilities. I think often when you talk to 10:27
6 people who have taken on additional responsibilities,
7 A, they are not aware of the document, and B, they are
8 not aware of the expectations that roles often are
9 required of them [sic].

10 17 Q. Yes. I'm going to touch on some of the principles, 10:27
11 maybe principles is perhaps the wrong word in the
12 context, certainly the guidance within that document,
13 in just a moment, and you can help me with some of the
14 points that you think were particularly important in
15 guiding your work. Just as a general issue on this 10:28
16 whole area of medical management, obviously the Inquiry
17 is at a very early stage of hearing evidence, but last
18 week, or was it the week before, we heard from
19 Mr. Haynes, who took up the role of Associate Medical
20 Director within the Surgery and Elective Care side of 10:28
21 the Southern Trust. He had specific responsibility for
22 Urology and he took up that position from October 2017.
23 Just asking, not necessarily specifically in relation
24 to him, but I will set it out in his context; he
25 reflected to the Inquiry that, as a very busy 10:29
26 Clinician, holding down a practice in the Southern
27 Trust but also providing nephron sparing services to
28 Belfast, I think, one day a week, he was also Chair of
29 NICA, that he had great difficulty in carrying out all

1 of the duties necessary to comply with the job
 2 description of Associate Medical Director. In general
 3 terms, is that a problem perhaps in Northern Ireland,
 4 or in Trusts within Northern Ireland, that you have
 5 come across, that doctors take on these managerial 10:29
 6 roles but the resources aren't there necessarily to
 7 support them to do it properly?

8 A. DR. HUGHES: I suspect it's a problem across the UK and
 9 I expect it's a problem throughout the NHS. Often
 10 people who seek these senior roles are highly 10:30
 11 functional, high achievers, very busy people, and often
 12 if you want something done you ask a busy person, but
 13 sometimes they may not have enough insight into the
 14 roles they are taking on, and sometimes people need to
 15 be protected from their own willingness and people 10:30
 16 should step back, make sure they understand the roles
 17 and responsibilities of an Associate Medical Director
 18 before, you know, assenting to that role. I often
 19 think people are not mentored, not guided, not
 20 supported, so people end up dealing with quite complex 10:30
 21 issues and there's nothing more complex than dealing
 22 with your immediate colleagues, because that's an
 23 incredibly difficult psychological space to be in,
 24 without training, without support, and without
 25 expertise. I have seen that frequently in Northern 10:31
 26 Ireland. People are offered training episodically, but
 27 often it's not necessarily focused on the skills they
 28 need.

29 18 Q. Yes. Mr. Gilbert, could I ask you have you any

1 reflections on that broad area? You have been
2 a Medical Manager, I suppose, and you point in your CV
3 to Director's role and I think Clinical Director's role
4 as well. Is there a difficulty, perhaps a fundamental
5 difficulty, in busy Clinicians also taking on 10:31
6 managerial roles and being able to deal with them
7 effectively?

8 A. MR. GILBERT: Undoubtedly, there is. Very often, people
9 don't volunteer to do these jobs, it's a question of
10 everybody else stepping backwards, and very often it's 10:32
11 a baton which is passed from one Clinician to another
12 after a fairly short time, simply because it's an
13 untenable position in many respects, and largely
14 because hitherto there's been very little support and
15 training for what is, in fact, a very specialised job. 10:32
16 That is being addressed by Leadership courses up and
17 down the country, and certainly in the southwest anyone
18 aspiring to this sort of role will now go through the
19 appropriate training, but that hasn't been the case
20 across the country. 10:32

21 19 Q. Thank you for that. Dr. Hughes, I promised I was
22 going to bring you to the Leadership Management GMC
23 document, so if I can have that up on the screen,
24 please. It's INQ-30227. I wonder is there an earlier
25 page to it. I want to get the front page up. Yes, 10:33
26 that's the document. I'm sure you are familiar with
27 it, Dr. Hughes. Is there any particular principles or
28 guidance that you'd like to draw the Inquiry's
29 attention to?

1 A. DR. HUGHES: If you scroll down.

2 20 Q. I was going to bring you to INQ-231. This is the
3 section which tells you what the guidance is about.
4 It explains that being a good doctor means more than
5 simply being a good clinician. 10:34
6
7 "Doctors can provide leadership to their colleagues and
8 vision for their organisations. However, unless
9 doctors are willing to contribute to improving the
10 quality of services and to speak up when things are 10:34
11 wrong, patient care is likely to suffer".
12
13 Is that something that I suppose you went into this
14 task for the Trust worrying that that's the kind of
15 thing that you might find? 10:34
16 A. DR. HUGHES: Possibly. I think that opening statement
17 is to emphasise to everybody, all doctors, that the
18 first and foremost responsibility is to patient care
19 and patient safety, and that the culture that
20 Leadership must bring to it is an open culture, and 10:35
21 a culture where people can put their hand up and say,
22 I am concerned about things, and that there is
23 a process for that to be escalated and to be heard.
24 21 Q. If you scroll down a little. Back up again, please,
25 sorry. I think it may not be on that page but there's 10:35
26 a reference to speaking up when things go wrong. Is
27 that something that --
28 A. DR. HUGHES: Yes.
29 22 Q. -- is relevant in this context?

- 1 A. DR. HUGHES: Yes.
- 2 23 Q. There's a section within the guidance on
3 multidisciplinary working. If we go to INQ-30235. Of
4 course your work for the Southern Trust was to bring
5 you face-to-face with the multidisciplinary team in 10:36
6 Urology, Cancer, and you were, I suppose, asked to run
7 your rule over the efficacy of those arrangements.
8 What, within this guidance, was informing you about
9 multidisciplinary working?
- 10 A. DR. HUGHES: This guidance shows that everybody within 10:36
11 the team has a responsibility to Patient Safety and
12 good patient outcomes. While it's shared with the
13 whole team, there's a further guidance for those with
14 additional responsibility, which clearly sets out their
15 roles and responsibilities, and they have to have 10:37
16 systems in place to know about issues, systems in place
17 to deal with issues. If you take on a leadership role,
18 be it Chair of the Multidisciplinary Team Meeting, you
19 have to have systems to know about problems and systems
20 to escalate problems. 10:37
- 21 24 Q. If we could go back to 30327 in this sequence. Sorry,
22 it's maybe 30337. I beg your pardon. Scroll up,
23 please. It appears the communications are of
24 significance with multidisciplinary teams?
- 25 A. DR. HUGHES: I think it's the core of what they do. If 10:38
26 you don't have clear communication, and clear
27 communication between professionals and with patients
28 you'll end up with poor results. That requires
29 a highly functional team. That requires a space where

1 people feel comfortable to work, to discuss, to have
2 differences. It requires people to know that the
3 patient is at the centre of what they are doing and
4 first and foremost, of what their outcome should be
5 focused on. That doesn't always exist in
6 multidisciplinary teams. That takes work. That takes
7 effort. That takes insight. Without that, you will
8 not get the positive goals and the additional benefit
9 that the teams are set up to deliver for patient care.
10 I think when it says:

10:39

10:39

11
12 "You must communicate relevant information clearly to
13 your colleagues, to those who work within Services and
14 to patients".

10:39

15
16 I think that's critical to what we are dealing with
17 today. Patients and professionals should know when
18 they are working in a multidisciplinary team that, when
19 treating a patient, they have to feed back information
20 about changes in plans. They have to make sure the
21 team is informed, that they have oversight and
22 governance of the care that the team is delivering, and
23 also other colleagues who work within other services,
24 so if there are issues they must escalate it to their
25 line managers, their Clinical Managers and their
26 Service Managers.

10:40

10:40

27
28 The other issue here is we talk about patients.
29 Healthcare can be very complex. It can be very full of

1 jargon, but you need to have mechanisms so that
2 patients can fully understand the care they are
3 receiving and fully understand the options they have
4 around treatment, and that should be done in a highly
5 supportive way with a multidisciplinary professional
6 input. 10:40

7 25 Q. Jumping slightly ahead to the findings of your reviews
8 that I will explore with you later, you found
9 communication problems right throughout these
10 arrangements; isn't that right? For example, the 10:41
11 Cancer Services Management, I think it was your
12 conclusion, didn't appear to be well-connected to the
13 multidisciplinary team or well-connected to Urology
14 Services. Can you explain that just briefly to give us
15 a taster of what lies ahead in this communication 10:41
16 context?

17 A. DR. HUGHES: Yes. Initially talking to the Senior
18 Clinical and Managerial Cancer team I would have
19 expected them to have oversight, knowledge and
20 experience of what was happening in each MDT. I would 10:41
21 have expected them to have a corporate view of the
22 patch. I would have expected them to have joint
23 meetings with all the different Leads, taking best
24 practice from the more mature MDTs. Classically in
25 Northern Ireland the more mature are the better 10:42
26 resourced ones, such as breast and colorectal and lungs
27 because they have been formed the longest. I didn't
28 see that. I found it virtually an adversarial
29 relationship between the team and the Urology Services.

1 I found a disconnect. Governance was stated to be
2 through their professional lines. While I can
3 understand that in terms of what a professional
4 delivers, the overarching team needs to know about
5 issues and needs to know how to escalate them because, 10:42
6 ultimately, they are responsible for the outcomes from
7 Cancer Care, so if they don't know about issues they
8 won't know about the deficits or the problems and how
9 they can resolve it. Especially when there are
10 problems within teams, it is very difficult for a team 10:42
11 to resolve their own issues, and that often needs to
12 have a senior person, or a critical friend, or somebody
13 in management to have an ear to the ground to address
14 problems and help resolve issues.

15 26 Q. Yes. Thank you for that. We will descend into some of 10:43
16 the finer details and specifics of that presently.
17 Just working through this, can I jump to the issue of
18 systems at INQ-30240?

19
20 Paragraph 19 talks about doctors with extra 10:43
21 responsibilities:
22 "You should contribute to setting up and maintaining
23 systems to identify and manage risks in the team's area
24 of responsibility".

25
26 Again, is that something that was germane to,
27 I suppose, the review that you were going to conduct
28 for the Southern Trust?

29 A. DR. HUGHES: Yes, I think Cancer Services have evolved

1 over the last 25, 30 years, I come from a laboratory
 2 background so I am very used to standard operating
 3 procedures, variance from best practice, you know,
 4 minor variance, major variances, quality assurance,
 5 manage the improvement, and that's core to any good 10:44
 6 Clinical Governance. They had tracking systems but the
 7 tracking systems were very focused on the ministerial
 8 targets of 31 and 62 days. I would have expected an
 9 empowered enabled tracking team to almost augment the
 10 audit processes, so you knew that the recommendations 10:44
 11 from MDT were actually actioned. There was feedback
 12 groups so that you knew were there issues within
 13 patient accessing scans, patients' pathways that there
 14 would be information and knowledge to feed that back so
 15 there could be early intervention and early action. 10:45
 16 I didn't see that. I found limited assurance audits,
 17 focused on patient experience by Clinical Nurse
 18 Specialists, very good audits on what the Clinical
 19 Nurse Specialists did in their Trust biopsy procedures,
 20 but not assurance audits on, say, how did we manage the 10:45
 21 last 15 prostate cancers? How did we manage the
 22 bladder cancers? I didn't see work that is usually
 23 done by maybe training staff, just to have an annual,
 24 not annual, twice yearly business meeting that focused
 25 on what are the problems, what are the deficits, what's 10:45
 26 the evidence, and how do we improve that? I think it
 27 was not as structured as it could have been.

28 27 Q. Yes. Mr. Gilbert, I know that your focus was more on
 29 the Clinical aspects, but these issues of deficiency in

1 monitoring, audit, manage the assurance, tracking these
 2 kinds of things where you were being exposed to these
 3 at the team meetings; did the absence of these jar with
 4 you in terms of your own experience in a Urology
 5 Service?

10:46

6 A. MR. GILBERT: Yes, there were clearly deficiencies that
 7 I wouldn't have expected to have occurred in an MDT
 8 that I was a member of. I think it's important to
 9 state that ultimately the Consultant Clinician is
 10 responsible for his or her patient. That's where the
 11 buck stops. However, owing to the increasing
 12 complexity of Pathways, owing to the volume of work
 13 coming across an individual's desk, no one individual
 14 can manage the organisation of that workload, and is
 15 absolutely reliant upon team working, whether that's
 16 Clinical Colleagues, Cancer Nurse Specialists, and,
 17 most importantly, data trackers or patients trackers
 18 who will actually flag up when something or someone has
 19 gone wrong or fallen out of the system. The MDT has
 20 been one of the most important positive initiatives
 21 within the Health Service as a whole in providing that
 22 universal support and safety net for patients, and
 23 assuring that the manage the of care is given, but that
 24 is contingent on effective standing orders and regular
 25 review within the Department itself to identify
 26 specific problems and deal with them.

10:46

10:47

10:47

10:47

27 28 Q. Yes. Thank you. Just working our way through this
 28 document, if we go to INQ-30244. This highlights the
 29 importance of the doctor with extra responsibilities

1 having in place systems to give early warning of any
 2 failure. Again, Dr. Hughes, is that another piece of
 3 guidance or principle that you had in mind to inform
 4 your review at the Southern Trust?

5 A. DR. HUGHES: Yes. It states in black and white the 10:48
 6 requirements of a person who takes on Leadership, and
 7 I think doctors often go into Leadership roles not
 8 fully understanding the requirements placed on them,
 9 both by their employer but also by their professional
 10 body. If you take on Leadership you have a vicarious 10:48
 11 responsibility for all the care that's delivered in
 12 that MDT and, therefore, you have to have feedback
 13 loops that will warn you of deficits in the services,
 14 be it timeliness of care, be it appropriateness of care
 15 and you have to act upon it. I think what we found was 10:49
 16 that an under-resourced team which struggles, which was
 17 not quorate, and one of these issues were their fault,
 18 but it wasn't being escalated appropriately and when it
 19 was escalated it wasn't being heard, and I think at
 20 that point action should have been taken. 10:49

21 29 Q. We will maybe go on and look at this in a bit more
 22 detail. Just before leaving this particular point.
 23 An MDT is organised around a Chair, and in the Southern
 24 Trust we know that the role of Chair rotated from
 25 meeting to meeting, perhaps, or maybe you are Chair for 10:50
 26 a month and then it rotates, but also more importantly
 27 perhaps the Clinical Lead, and then you had a series of
 28 core members across various disciplines. The guidance
 29 here talks about you must make sure. Are you putting

1 the obligation to ensure that these kind of systems are
2 in place, are you putting that obligation on anyone in
3 particular, or is it a case of having the insight and
4 then the energy to raise it with Service Management if
5 you are not being supported?

10:50

6 A. DR. HUGHES: Yeah. Unfortunately this is a GMC
7 document, and when they say you must, it means you
8 personally as a professional. That's quite an onerous
9 task because people need to understand that they need
10 to deliver on what's being asked of them. I think
11 people often go into roles and responsibilities without
12 that resource present, you know, doing it in a very
13 professional way, doing it in the best way possible,
14 but not understanding their actual professional body is
15 holding them to account for delivering that to a very
16 high standard. This may put people off taking on these
17 roles in the future, which I really don't want to
18 happen because they are essential for patient care, but
19 I think a discussion with an employing body needs to be
20 had to say look, that is what's being asked of me, how
21 can you deliver that?

10:51

10:51

10:51

22 30 Q. The paragraph just below that, paragraph 29, introduces
23 the concepts of auditing and benchmarking. I know from
24 what you have said and in your report that while there
25 was some evidence of auditing, and you refer, for
26 example, to the good auditing of a particular kind on
27 the nursing side, you are to reflect -- and we will
28 look at it later -- that the auditing of the whole
29 Patient Care Pathway and outcomes was just not

10:52

1 something they did?

2 A. DR. HUGHES: Yeah. I think you can only give assurance
3 if you feel you have assured the whole pathway and the
4 totality of the work. While you can have business
5 meetings about experience, audits you have done, very 10:52
6 focused pieces of work, that is not assurance. You
7 need to have whole system assurance and identify the
8 areas of greatest variance or the greatest problems,
9 and they are areas that you have to focus your energy
10 on. Time and resource is limited and I think that 10:52
11 wasn't done. I don't think they had the infrastructure
12 to do that.

13 31 Q. Yes. You said at the top of this when we looked at
14 your statement, that the guidance here was used by you
15 to inform you of the proper approaches to see if there 10:53
16 was alignment between the principles set out here and
17 the practice. Is it fair to say that you found a lack
18 of alignment in various areas of the Southern Trust's
19 Urology Multidisciplinary Team working?

20 A. DR. HUGHES: Yeah. I think that would be fair. But 10:53
21 it's also in light of the peer review processes, the
22 cyclical review of services that happens on a regular
23 basis, which is very much this document in practice in
24 terms of Cancer Services. People are expected to
25 review all aspects of their care, focus on the areas 10:54
26 that are known problems and address them, or attempt to
27 address them.

28 32 Q. Yes. Let's move away from that document now and talk
29 about Serious Adverse Incidents. There is a procedure

1 governing Serious Adverse Incidents. It's gone through
 2 several iterations, I think, since you conducted this
 3 process, or at least one anyway. The document that was
 4 in place at that time is a 2016 version. It's
 5 WIT-84180. Is that something you are familiar with, 10:54
 6 Dr. Hughes?

7 A. DR. HUGHES: Yes.

8 33 Q. Let's look at a number of aspects of it, and if you can
 9 help us walk through it. If we go down to 84187 and
 10 this tells us something about the purpose or the aims 10:55
 11 of an SAI. The process aims to. Talk us through the
 12 aims of a Serious Adverse Incident, and, if you can,
 13 can you reflect upon the value of an SAI to those who
 14 ultimately are to receive it, whether that's patients,
 15 the healthcare organisation or individual 10:55
 16 practitioners?

17 A. DR. HUGHES: Yeah. SAIs have a troubled history in
 18 Northern Ireland, in that they are meant to be learning
 19 tools, but often they are put in place after
 20 a significant deficit has occurred. Sometimes it's 10:56
 21 very difficult to learn from such a process when staff
 22 have maybe a heart sink moment and take issues on
 23 board. I think it has to be done in a neutral way,
 24 benchmarking best practice against the outcomes for
 25 patients, and it has to be about what happened and what 10:56
 26 should have happened. The HSC in Northern Ireland have
 27 reviewed this document subsequent to that. It is
 28 a patient-focused process, so it's really about
 29 patients and families, and making sure that you engage

1 with them appropriately so they go through the journey
2 with the professionals, and that can be very
3 challenging and difficult at times. Ultimately, it's
4 not a blame process, it's about resolving problems and
5 coming up with recommendations for the Service.

10:56

6 34 Q. We will come on presently to look at Mr. O'Brien's
7 input, or the request for him to have input into this
8 process and how that was managed and dealt with. In
9 terms of, if you like, the requirement to conduct
10 a Serious Adverse Incident Review, to what extent
11 should those conducting it be expected to take on board
12 the opinions of those that they are investigating?

10:57

13 A. DR. HUGHES: I think it depends on the level of SAI.
14 A Level 3 SAI, as the one we are discussing at the
15 moment, or the series of SAIs that we are discussing at
16 the moment, had an external input from myself as Chair
17 and from Mr. Hugh Gilbert. The process there was that
18 we had an independent expert opinion on the Clinical
19 Care, and that was supported by engagement with the
20 families on multiple occasions. From that process,
21 over a period of time, stepping through the timelines,
22 so deciding on variants from best practice we themed
23 out issues. These would have been shared with the
24 families. Then we asked of other professionals the
25 outcomes and their views on it. That was then resolved
26 into recommendations and an action plan. It's
27 a learning tool. It's a learning document. It's not
28 specifically about individual professional practice.
29 It's about what happened? what can we do next?

10:58

10:58

10:58

1 35 Q. My question was focused on, perhaps, to what extent is
2 it important to hear from the Clinician or Clinicians
3 that you are reviewing, the actions that you are
4 reviewing?

5 A. DR. HUGHES: Yes, it is important to hear from them. 10:59
6 I don't think they should be involved in the review of
7 the actual cases, because it's about harm and potential
8 harm, and there would be an inbuilt potential
9 subconscious bias. I think it's important that when
10 you see the outcomes that you give them an opportunity 10:59
11 to respond to that. In this case, we did ask those
12 team outcomes to be described in the nine patients.

13 36 Q. Yes. We will come to look at that in some detail
14 later. Let's just look at what is meant by an Adverse
15 Incident. If we could have WIT-84192. The definition 11:00
16 of an adverse incident set out here:
17
18 "Any event or circumstances that could have or did lead
19 to harm, loss or damage to people, property,
20 environment or reputation". 11:00
21
22 That's a working definition with which you are
23 familiar?

24 A. DR. HUGHES: Yes.

25 37 Q. For it to qualify as a Serious Adverse Incident, there 11:00
26 are a series of criteria that are set out. In this
27 situation, 4.2.1: "Serious injury to or the unexpected
28 death of a service user". That appears to have been
29 germane?

1 A. DR. HUGHES: Yes.

2 38 Q. Equally, 4.2.2 "unexpected serious risk to a service
3 user"?

4 A. DR. HUGHES: Yes.

5 39 Q. One thing we have been looking at so far, and we will 11:01
6 probably go on to look at it a little further, is, it
7 would appear, and I will put it as neutrally as I can,
8 that sometimes when screening incidents, professionals
9 adopt the view that, if there was no actual harm, then
10 it should not qualify as an SAI; in other words, it 11:01
11 would be screened out. I hope that's not unfair on
12 some of the decisions that we are aware of, and we can
13 explore that with witnesses in due course, but do you
14 see the problem I'm pointing to? In your experience,
15 is there sometimes a tendency to look for actual harm 11:02
16 before screening a case in? And, in your view, would
17 that be the wrong approach?

18 A. DR. HUGHES: Yeah. There is a subconscious bias that
19 people look for actual harm and do screen cases out.
20 I have experience in other settings where people, that 11:02
21 we were concerned about issues, so instead of simply
22 doing an SAI, we did a lookback exercise, which
23 triggers another process which you have to go to the
24 Department of Health. It's not a Cancer setting, but
25 it meant you got much better assurance because you are 11:03
26 looking at much bigger numbers of cases, and that can
27 be done through maybe an Electronic Care Record, and
28 a smaller setting on files and a smaller setting
29 looking at patients, but that triggers a much, much

1 wider approach to risk management and looking at cases.
2 I think, if we were responding to the matter at hand,
3 the initial trigger for some of this work was the
4 prescribing of Bicalutamide, but in essence when we
5 looked at the cases we found multiple other things that 11:03
6 would not necessarily have been triggered if that was
7 the only sole thing looked at.

8 40 Q. Yes. You have indicated that this was a Level 3 SAI.
9 Just again looking at the document, WIT-84193, and it
10 says: 11:04

11
12 "SAI reviews should be conducted at a level appropriate
13 and proportionate to the complexity of the incident
14 under review. In order to ensure timely learning from
15 all SAI incidents it's important the level of review 11:04
16 focuses on the complexity of the incident and not
17 solely on the significance of the event."

18
19 Over at WIT-84195, we get an explanation of when
20 a Level 3 will be appropriate. Level 3 reviews will be 11:04
21 considered where SAIs that are particularly complex
22 involving multiple organisations:

23
24 "Have a degree of technical complexity that requires
25 independent expert advice; 11:05
26 are very high profile and attracting a high level of
27 both public and media attention."

28
29 As I understand it, and you could help us with this,

1 Dr. Hughes, the levelling, or the choice of the level,
 2 is not a matter for you?

3 A. DR. HUGHES: No. That was a discussion I believe
 4 between the Southern Trust and the PHA.

5 41 Q. Yes. Do you have an understanding of why this was 11:05
 6 identified as a Level 3?

7 A. DR. HUGHES: Yeah. I think this was a particularly
 8 complex issue, covering multiple organisations.
 9 I think it had a complexity across a range of services,
 10 and certainly was a high profile issue. There was 11:06
 11 a certain number of cases identified but a concern
 12 about a range of other cases which then triggered
 13 a separate event, I think that was the reason why it
 14 was made a Level 3.

15 42 Q. Yes. It goes on to explain in just this section that 11:06
 16 the format for a Level 3 review shall be the same as
 17 for Level 3 reviews, and it provides some guidance at
 18 appendix 7.

19

20 In essence, what a Level 2 and a Level 3 engage is 11:06
 21 a Root Cause analysis; isn't that right?

22 A. DR. HUGHES: Yes.

23 43 Q. Again, could you help the Inquiry understand what that
 24 means in this context, if you were to be the author of
 25 a Root Cause analysis? 11:07

26 A. DR. HUGHES: Yes. In this context, I would have
 27 chaired the process. Mr. Gilbert would have given the
 28 expert clinical input. We had an in-house Cancer
 29 manager to help us with contextualised issues. We had

1 a Clinical Nurse Specialist who, although was employed
 2 by the Southern Trust, had just recently joined the
 3 Southern Trust and had experience from elsewhere, and
 4 we had support and input from Clinical Governance from
 5 the Southern Trust. The process was based on patients' 11:07
 6 timelines and it was based on the care they received
 7 against the expected care. It's a process of
 8 benchmarking, and then a Root Cause analysis where
 9 there is a variance to look into what caused that
 10 variance and what were the underlying factors, so you'd 11:07
 11 have contributing factors. Then you would identify the
 12 variance from best practice. You could quantify it in
 13 terms of minor variance or major variance, and you
 14 summate it per patients. I think that process was
 15 relatively straightforward. The theming and then 11:08
 16 taking the information back to the wider Cancer teams
 17 and actually trying to tease out the why things had
 18 happened, was more complex, because it's quite easy to
 19 say what the issue is. The next thing is why and how,
 20 and that resulted in the multiple conversations with 11:08
 21 a wide range of professionals who were not part of the
 22 core team but contributed to the discussions.

23 44 Q. Yes. That was, in essence, your fieldwork, as we will
 24 see as we develop this morning. Mr. Gilbert's clinical
 25 timeline and benchmarking was, I suppose, substantially 11:09
 26 concluded prior to Christmas. I know that there was
 27 subsequent iterations of your report, isn't that right,
 28 in chronological terms?

29 A. MR. GILBERT: Yes, exactly so.

1 45 Q. Then, Dr. Hughes, if I could use the word fieldwork.
2 Armed with that knowledge of the deviation from
3 benchmark, you went into the field and spoke to a range
4 of different staff members and groups, including the
5 MDT and the specialist nursing group, to try to work 11:09
6 out what had happened here in governance terms
7 primarily?

8 A. DR. HUGHES: Yes. I also spoke to the families at the
9 start of the process, and I spoke to them at the
10 midpoint to say this is early learning, early 11:10
11 experience. Then we spoke to most of them at the end,
12 not all. Some of them found it a bit troubling and
13 preferred not to, which was fully understandable. At
14 that stage, when we went to speak to the staff, this
15 Inquiry had been called, so there was understandable 11:10
16 anxiety within the staff group.

17 46 Q. Yes. We will come to that just presently. What you
18 are describing are the key ingredients that go to make
19 up a Root Cause analysis?

20 A. DR. HUGHES: Yes. 11:10

21 47 Q. The key evidential ingredients, I suppose?

22 A. DR. HUGHES: Yes.

23 48 Q. If we just take a look at appendix 7, which is at
24 WIT-84229. This just helps us to understand the format
25 that you were generally expected to work through. This 11:10
26 is, I suppose, a precedent for the structure of
27 a report. Just slowly take us through the pages. An
28 introduction section. That's the cover page generally?

29 A. DR. HUGHES: Mm-hmm.

1 49 Q. Go forward. Then you start off with an Executive
2 summary. As you can see this is a precedent, it isn't
3 filled in. The Review Team's explained and introduced.
4 You set out a Terms of Reference. Over the page. Into
5 your methodology, description of the incident, 11:11
6 findings, conclusions, lessons learned and
7 recommendations and action plan, and then there's
8 a distribution list. That's the basic precedent that
9 was followed, and was followed in this case. You did
10 that for nine cases? 11:12

11 A. DR. HUGHES: Yes.

12 50 Q. And then provided an overarching report?

13 A. DR. HUGHES: Yes.

14 51 Q. In terms of timescales for completion of a Level 3,
15 I want to draw your attention to WIT-84197: 11:12

16

17 "Timescales for completion of Level 3 reviews and
18 comprehensive action plans for each recommendation
19 identified will be agreed between the reporting
20 organisation and the HSCB/PHA, DRO as soon as it is 11:12
21 determined that the SAI requires a Level 3 review."
22

23 We will come to look at some of the reports presently,
24 but written into the procedure for the review is a four
25 month deadline, I suppose, for completion of the 11:13
26 review?

27 A. DR. HUGHES: Yes.

28 52 Q. That's correct, is it?

29 A. DR. HUGHES: Yes.

1 53 Q. Can you help us in terms of where that came from; who
2 imposed that deadline?

3 A. DR. HUGHES: I'm not sure if you could use the term
4 imposed. It was largely from the Southern Trust and
5 the Oversight Group at the Department of Health, along 11:13
6 with the PHA. I think because there were concerns
7 about future work to be done, they were very keen that
8 they had early learning, early outcomes from this piece
9 of work, so there was pressure to have it completed.

10 54 Q. Was that, in your experience, for something of this 11:13
11 nature, an extremely tight deadline or something that
12 was workable?

13 A. DR. HUGHES: I think the benchmarking and review
14 process was relatively straightforward. Meeting with
15 all the staff took longer. We attempted to get 11:14
16 feedback from Mr. O'Brien but he wasn't able to do so.
17 The other pressure that we have to discuss in this
18 process is two of the patients had died before the
19 start of the review, another two died during the
20 review, so as we met the families going through there 11:14
21 was a pressure from the families to get the reports.
22 So we had to make a judgment, do we push ahead or do we
23 wait. I made the judgment, rightly or wrongly, that
24 the family should get the reports.

25 55 Q. Yes. We are going to look at that in the context of 11:14
26 Mr. O'Brien's inability to meet with the deadline,
27 shortly. The document provides for service user or
28 family involvement, and we don't need to go
29 specifically to that. In this series of cases you

1 considered that particularly important, and I think you
 2 have told us in your statement that you engaged with
 3 families at three different stages, broadly?

4 A. DR. HUGHES: Yeah. As part of my role as Medical
 5 Director I would have met families when things go 11:15
 6 wrong. Since I have moved on from that post I have
 7 done work with the Belfast Trust, with the Neurology
 8 Inquiry families, and this piece of work. This piece
 9 of work is quite difficult, I think, for families
 10 because not many of them had any idea that there was 11:16
 11 something wrong. Some of them had some concerns but it
 12 was announced, I think, in the press and then moving on
 13 from that, I met three families initially, and then met
 14 all nine at the first to explain what the initial
 15 concerns were and how that impacted on their loved 11:16
 16 ones' care. I met the family of Patient 1 --

17 56 Q. We will come to the specifics of that in a moment.

18 A. DR. HUGHES: Sorry.

19 57 Q. Just in terms of the concept of an SAI and what it's
 20 seeking to achieve, in other words it's seeking to 11:16
 21 achieve learning, I think, as you have explained, and
 22 to, I suppose, find remedies, perhaps, for things that
 23 have gone wrong in terms of systems and that kind of
 24 thing. Where is the role for the patient or the
 25 service user and their family in that? How do they 11:17
 26 contribute?

27 A. DR. HUGHES: First and foremost, it's about being open
 28 and transparent when things go wrong, and that's
 29 a pre-eminent responsibility from the GMC. It's the

1 responsibility on the Service. When the Service calls
2 an SAI, things have reached a certain threshold for
3 discussion, at least, and that's the first part. It's
4 to inform them of the concerns of the healthcare
5 provider and to explain to them the next steps that 11:17
6 will be taken, and it's to assure them that their
7 views, their stories, will form part of the process.
8 I think it depends on the SAI you are doing. As we
9 step through this process, it was quite clear from an
10 early stage that normal support mechanisms had not been 11:17
11 put in place for patients. So the classic example of
12 having a Clinical Nurse Specialist to support patients,
13 to inform patients, to provide ongoing coordinated
14 care, wasn't there. Our first meeting was quite
15 bizarre. I really couldn't understand the story they 11:18
16 were telling me because they were seeking access to the
17 GP and seeking access through ED for services that
18 would normally be supplied by a comprehensive CNS
19 Service. It was at that stage we then went further and
20 asked. From their stories we started to pick up 11:18
21 information that wasn't immediately obvious to us.

22 58 Q. In more general terms, the role of the patient is, it
23 seems, quite important in giving you, as the lead
24 reviewer, information that might not otherwise be
25 available on the clinical note, for example? 11:18

26 A. DR. HUGHES: Yes.

27 59 Q. Just broadening the issue of SAI out just a little
28 while we have you here. The Inquiry has heard some
29 evidence to date that the conduct of SAIs, at least in

1 the number of examples that we have looked at, have, in
2 a number of cases, been extremely slow to work their
3 way through the system. You touch upon an SAI that was
4 drawn to your attention when you were conducting these
5 reviews concerning the care that Mr. O'Brien provided 11:19
6 in the context of referrals in triage; that was an SAI
7 that was initiated in 2017 concerning care provided in
8 2016 and wasn't reported until 2020, the early months
9 of 2020; in other words, a period of between three and
10 perhaps four years from the incidents giving rise to 11:20
11 the review. Is that something, that kind of delay, is
12 that something that is commonplace and which bedevils
13 SAIs?

14 A. DR. HUGHES: Unfortunately, yes, a small proportion of
15 cases do have a very long lifespan and before you 11:20
16 receive an outcome, I heard of that SAI when talking to
17 other professional Urologist, I wasn't aware of it but
18 asked to get the information and then when I saw it was
19 about problems with the start of the Cancer Pathway,
20 about administration and other issues of the Cancer 11:21
21 Pathway I was quite alarmed because we had been picked
22 up other administration and missed reports and things
23 elsewhere in the Pathway. I was concerned because
24 obviously this was about triage and red flag referrals,
25 and perhaps only 15% of people who are referred in 11:21
26 actually turn out to have a cancer, yet we were dealing
27 with a pathway where everybody had cancer, so I was
28 concerned about that.

29 60 Q. Yes. One of the factors cited for a delay of this

1 order, and I'm trying to broaden it out in general
2 terms, just because the Inquiry, I understand, is
3 interested in SAI as a process more generally, and
4 particularly in the context of Mr. O'Brien's practice
5 and the failure to expedite learning, given the gap of 11:22
6 three years in that example. There's at least one
7 other example that I could cite. One of the factors
8 here appears to be that the clinicians who stepped up
9 to be on the SAI Review Panel haven't necessarily got
10 the time to be available all as a group to devote to 11:22
11 the task in hand. That obviously didn't affect your
12 panel because you were coming at it as independents.
13 Is that something you've any thoughts about? Have you
14 any thought as to how that could be remedied more
15 generally? 11:22

16 A. DR. HUGHES: Yes. Traditionally SAIs are done by
17 senior Clinician, Senior Nurse, who do it episodically
18 and perhaps not on a regular basis. They always have
19 other duties and other responsibilities. I think there
20 is an argument to say that you should form an expert 11:23
21 team within a Trust, who are professionally qualified
22 in dealing with SAIs, and support them with nurses and
23 doctors so that the process is driven by them and the
24 clinical information is fed in by the professionals.
25 The current system really doesn't work. It really 11:23
26 doesn't work on a timely basis. You can circumvent it.
27 If you see things arriving in an SAI, you can go for
28 early learning, early action, but that doesn't
29 necessarily have the full weight of a completed SAI.

1 There has been a process to review SAIs in Northern
2 Ireland because it's not as effectual as it should be.

3 61 Q. Is that an experience, Mr. Gilbert, of delayed outcomes
4 from SAIs that you are familiar with?

5 A. MR. GILBERT: It's an occasional problem. Most of the 11:24
6 equivalent to SAIs would be dealt with in a timely way,
7 simply by making sure that the Clinical Governance
8 process or timetable is scheduled into consultants' job
9 planning. It shouldn't be an additional overtime
10 activity, it should be included within the 11:24
11 three-monthly meeting, Clinical Governance meetings
12 that most Departments will have.

13 62 Q. Yes. Presumably, Dr. Hughes, there is an importance
14 from a learning perspective, and perhaps from a Patient
15 Safety perspective as well, in producing timely 11:24
16 outcomes?

17 A. DR. HUGHES: Yeah. I mean learning decays with time
18 and important information then becomes yesterday's
19 news. It really, it needs to be comprehensive to
20 address all the issues, but it needs to be, you know, 11:25
21 of an acceptable time frame that people can say, yeah,
22 that happened, I remember it, I will now move on with
23 the actions. I think it's very process-heavy in
24 places.

25 63 Q. Yes, yes. Another concern that has come our way, as 11:25
26 a result of SAIs, is in terms of recommendations, and
27 the point seems to be twofold: First of all,
28 recommendations are, often times, at least that's been
29 suggested, not specific enough to focus on the deficits

1 either in the system or in the individual
 2 practitioner's conduct and, secondly, a delay in
 3 implementing recommendations through an action plan.
 4 Are they, again, issues that bedevil this process?

5 A. DR. HUGHES: Yeah, I think action plans should have 11:26
 6 a timescale and an expectation. I would be careful,
 7 I don't think SAIs can be used to alter
 8 a professional's conduct. I think that's a separate
 9 issue, but certainly action plans have to be realistic,
 10 doable and achievable, or else it just becomes a wish 11:26
 11 list sitting on a shelf.

12 64 Q. Thank you for that. Just on the concern you have maybe
 13 just expressed that the SAI -- if I picked you
 14 uprightly -- shouldn't be used to focus on the
 15 individual practitioner because you may recall that the 11:26
 16 SAI review that you looked at concerning triage, some
 17 time ago now, went the opposite way and was quite
 18 specific about Mr. O'Brien and his triage practice and
 19 really suggested to him politely that he should get in
 20 line, if that's not to butcher the conclusions. Those 11:27
 21 who authored that, including Mr. Haynes has given
 22 evidence to the Inquiry that specific recommendations
 23 focused on the Clinician in the context of what has
 24 gone wrong, are not only helpful but necessary to point
 25 people in the right direction? 11:27

26 A. DR. HUGHES: Yes. An SAI is a learning tool and
 27 I think if you are going to focus on a professional and
 28 what a professional does, that's a Maintaining High
 29 Professional Standards issue, and that's just the

dichotomy of medical practice and it's probably a false division. I think if you are going to focus on a professional's practice behaviours, et cetera, there's a clear framework to do that.

65 Q. That brings us on to another point: Should there be, I suppose, a closer relationship between those processes? What I mean by that is that those who hold the levers on the MHPS side of the house should be in conversation, or vice versa, with those on the SAI, because an SAI review can reveal deficits in clinical practice that perhaps ought to be, in particular circumstances, the subject of whether an informal or a formal MHPS arrangement? 11:28

A. DR. HUGHES: Yes. Outcomes from SAI reviews can inform Maintain High Professional Standards but Maintaining High Professional Standards framework is quite old, from 2006, I believe. I think it probably needs to be reviewed. It's very focused on incidents, you know, specific incidents of deficits over short periods of time. It's an investigation that has to be completed in six weeks and it doesn't address real problems. I think there is an issue about how you deal with this dichotomy. I mean, Serious Adverse Incidents are about patient deficits and learning from that. Maintaining High Professional Standards is a HR framework which needs to be dealt with in a separate way. 11:29

66 Q. MHPS is to be reviewed in the early months of next year and the Inquiry is keeping an eye on that.

1 chair, could I suggest a quick break, for ten minutes
2 or so?

3 CHAIR: Yes. If you hadn't done so, I was about to,
4 Mr. Wolfe. So, let's give everyone until quarter to
5 12.

11:30

6
7 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS:

8
9 CHAIR: Mr. Wolfe.

10 MR. WOLFE KC: Mr. Gilbert, in terms of your engagement 11:46
11 in this exercise, you've told us in your witness
12 statement that you'd no prior knowledge of Mr. O'Brien,
13 or indeed I think of the Southern Trust?

14 A. MR. GILBERT: No, neither. No prior knowledge in either
15 case.

11:46

16 67 Q. Yes. Your selection or commissioning for this task,
17 that came through your work with the --

18 A. MR. GILBERT: With the IRM. It was a slightly more
19 complicated process in that I think the Southern Trust
20 initially approached the IRM for help with a notes 11:47
21 review to be done by the incumbent Urologists. That's
22 not the sort of work that the IRM does. It sends in
23 a team to look specifically at a specific problem.
24 I was asked in that role did I know somebody who would
25 do the work, and I spent quite a lot of time 11:47
26 phone-calling, and to say that it's not popular work is
27 something of an understatement. Okay.

28 68 Q. That was the work associated with the Lookback Review?

29 A. MR. GILBERT: That's the lookback review, as

1 I understand it, and Professor Krishna Sethia undertook
2 the work, and I know nothing about -- I deliberately
3 have siloed all this.

4 69 Q. Yes.

5 A. MR. GILBERT: The IRM was approached again to perform 11:48
6 a notes review. Because I had been involved, my
7 involvement with that approach was stopped and it was
8 handed over to somebody else. My only role in that was
9 to appoint my equivalent for that process as
10 a substitute to me because I was tainted. 11:48

11 70 Q. Yes.

12 A. MR. GILBERT: I understand that that work is still
13 outstanding, and I suspect is not going to happen, but
14 I don't know, again, that's siloed. I was then
15 approached again by the Southern Trust to say do you 11:48
16 know who would do these serious adverse events? Having
17 gone through two iterations of trying to recruit people
18 I thought I'm not going through this again so I put my
19 own hand up.

20 71 Q. Yes. I just want to pick up on a word you use in your 11:49
21 statement. If we can bring up WIT-85891. If we scroll
22 back to 887. Sorry. Thank you.

23
24 If we look at what you say at 1(d). Here you describe
25 what you understood your role would be to review the 11:49
26 clinical records of nine cases that had been deemed by
27 the Southern Health and Social Care Trust to have
28 reached to threshold to trigger SAI reviews. You say:
29

1 "As a general Urologist with 23 years' Consultant
 2 experience in diagnosis and management of urological
 3 cancers at a district general hospital I felt that
 4 I was in a position to perform disinterested and
 5 contextually realistic case reports to inform the
 6 governance process at HSCT".

11:50

7
 8 Just that last line "disinterested" in this context.
 9 That means that you had no skin in the game, you didn't
 10 know anybody, and you came at this independent?

11:50

11 A. MR. GILBERT: Independently and from an equivalent
 12 position to the urologists at the Southern Trust.
 13 I make no bones about it, I am a general urologist.
 14 I am not a professor of Urology, and I think as such,
 15 this was my pitch to get the job with the IRM was that
 16 I could identify with the pressures and concerns of
 17 other general urologists in district general hospitals.

11:50

18 72 Q. Yes. Your working life, your professional life,
 19 Gloucester and then North Bristol, I am not sure it's
 20 not like for like Craigavon or Southern Trust, but
 21 district general hospital providing a range of typical
 22 urological services in your case, and broadly similar
 23 to what you think was going on in Southern Trust at
 24 Craigavon?

11:51

25 A. MR. GILBERT: Yes. Yes, indeed.

11:51

26 73 Q. How many urological Consultant colleagues would you
 27 have had at either of your home places?

28 A. MR. GILBERT: When I started in 1996, there were two of
 29 us. By the time I left there were 12.

1 74 Q. That was Gloucester?

2 A. MR. GILBERT: Gloucester. In Bristol, it's a teaching

3 hospital environment, and there are 23 and counting.

4 75 Q. Yes.

5 11:52

6 In terms, Dr. Hughes, of your knowledge of both the

7 Southern Trust and Mr. O'Brien, I suppose Mr. O'Brien,

8 first of all, any particular knowledge or dealings with

9 him prior to this engagement?

10 A. DR. HUGHES: Yes, I would have had some engagement with 11:52

11 Mr. O'Brien between 2008 and 2011 when I was the

12 Medical Director of the Northern Ireland Cancer Network

13 I would have engaged with the Urology team in

14 discussions about Urology Services. As part of the

15 role as the Medical Director the Northern Ireland 11:52

16 Cancer Network there are discussions about centralising

17 types of care, centralising at that time prostatectomy

18 care. I do remember visiting and discussing that with

19 Mr. O'Brien, but no other particular engagements. At

20 that time our main focus was on breast cancer, lung 11:53

21 cancer and colorectal cancer, because they were the

22 first tumour types to undergo peer review.

23 76 Q. Yes. Of course, as a Medical Director in the

24 neighbouring Trust of the Western Trust, some of your

25 patients, some of your population, I should probably 11:53

26 say, in the Fermanagh area, I think you touch on this

27 in your statement, would have been recipients of the

28 Urology Services of the Southern Trust?

29 A. DR. HUGHES: Yes. The Urology Services had been

1 reviewed in 2009 by the HSCB, and the structure of
 2 urology services had been changed. My Trust took the
 3 north part of the Northern Trust and the southern part
 4 of the Northern Trust went to the Belfast Trust, and
 5 the Southern Trust took on the population of Fermanagh, 11:54
 6 which features quite a bit in some of the discussions.
 7 I think it was quite a stretch, an extension of their
 8 geographical area, and I think, in some of the evidence
 9 you would have received, that people felt it was
 10 putting the Service under further pressure and they 11:54
 11 couldn't address. I must admit, I would have some
 12 sympathy with that. I believe after I left the Western
 13 Trust, the Western Trust took back the Fermanagh
 14 population because while the Service was outreached to
 15 Fermanagh, it sort of fractured the normal pathways of 11:54
 16 patient flow. So the nursing flows, the radiology
 17 flows, the laboratory flows would have stayed within
 18 the Western Trust, and while it looked good on a map it
 19 probably didn't address patient need.

20 77 Q. I think you again say in your statement, you had no 11:55
 21 knowledge of the particular problems that had developed
 22 around Mr. O'Brien prior to coming into this
 23 engagement? There had been an MHPS process between
 24 2017 into late '18. No knowledge of any of that until
 25 you came into this process? 11:55

26 A. DR. HUGHES: The first time I heard of that was when
 27 discussing the findings of the SAIs with professionals
 28 in the Southern Trust.

29 78 Q. Yes. You would perhaps have been aware, and maybe you

1 just subtly touched on it a moment ago, of the demand
 2 pressures faced by the Southern Trust in the delivery
 3 of Urology Services. We have heard evidence, a good
 4 deal of evidence has been received about the demand
 5 capacity mismatch as it's framed, creating all sorts of 11:56
 6 backlogs particularly amongst non-cancer patients, and
 7 even some of the cancer patients were facing
 8 difficulties in getting seen within the -- what you
 9 referred earlier as the ministerial deadlines or time
 10 limits. Were you aware of that kind of pressured 11:56
 11 context coming into this?

12 A. DR. HUGHES: Yes, I would have been aware of that both
 13 within my own Trust where they had adjoined two legacy
 14 systems together to form a new Trust, or form a new
 15 team. They moved to three teams in Northern Ireland. 11:56
 16 I would not have been aware of the detail within the
 17 Southern Trust until I went to do this process when it
 18 became very obvious that people explained the pressure
 19 they had and the difficulty they had with delivering
 20 a Service to an extended population. 11:57

21 79 Q. One of the issues we will maybe come on to explore in
 22 some detail is, I suppose, the explanation, or some
 23 might call it the excuse, of resources. We haven't
 24 been commissioned to govern in this way or to do
 25 governance in this way and, therefore, there's 11:57
 26 a resources impediment to us providing the kind of safe
 27 service that you, I suppose, demand through your SAI
 28 conclusions. I mean, in general terms, is that
 29 familiar to you as an explanation that was put to you?

1 A. DR. HUGHES: I think it's a fair explanation. I think
2 it's not familiar to me.

3 80 Q. Sorry, it's familiar to you from what you were told
4 during this investigation?

5 A. DR. HUGHES: Yes, yes, yes.

11:58

6 81 Q. Yes.

7 A. DR. HUGHES: From my own Trust background, it wasn't
8 familiar to me because I believe we were quite
9 well-resourced in terms of cancer services, and perhaps
10 differentially so compared to the Southern Trust. We'd 11:58
11 gone through a process of agreeing to build
12 a Radiotherapy Cancer Centre in the Northwest, on
13 a cross-border basis. It meant we had in-house
14 Oncology. It meant we had a range of services. It
15 meant that perhaps we were in a better position to 11:58
16 deliver on the targets.

17 82 Q. Yes. We will go on and look at the whole resource
18 issue maybe in some detail. If I could have up on the
19 screen, please, WIT-84153. At paragraph 5 you say:

11:58

21 "I was initially unaware of the professional involved",
22 that's Mr. O'Brien, you've called him Dr. 1: "Was
23 unaware of the concerns within the Urology Services.
24 This however changed when meeting with professionals
25 who referred to a previous serious adverse review
26 involving the named professional, I believe this could
27 be of importance to the ongoing nine SAI reviews and to
28 the learning and action plan resulting from that
29 process. "

11:59

1
2 I didn't really understand what you were saying there
3 so I want to ask you some questions about it. When you
4 were asked to do these reviews were you told the name
5 Mr. O'Brien?

12:00

6 A. DR. HUGHES: Not initially. I was told that they had
7 a range of SAIs in Cancer Services and would I consider
8 doing this. I presumed they asked me because I had
9 a background in Cancer Services and a background as
10 a Medical Director. I agreed at that stage, I think
11 that was appropriate. I don't think the name should be
12 important.

12:00

13 83 Q. Yes,

14 A. DR. HUGHES: When I started the process and in talking
15 to professionals, some professionals mentioned previous
16 actions that had been ongoing within the Trust and
17 a previous Maintaining High Professional Standard
18 Process. I had not been briefed on those but I was
19 informed of them by other professionals.

12:00

20 84 Q. Yes. Was it the intention -- I mean, this paragraph
21 maybe suggests it was the intention that you would
22 process through this not knowing the name but you
23 stumbled across it because an SAI was mentioned to you,
24 or is that not the meaning I'm to take from this?

12:00

25 A. DR. HUGHES: No, the meaning is that I was asked to do
26 an SAI about a Service as opposed about a professional,
27 and the name in essence doesn't matter, it's about the
28 nine patients. I think the issue about hearing about
29 other investigations, I think that that was just human

12:01

1 nature, people were declaring that to me.

2 85 Q. Yes.

3 CHAIR: Mr Wolfe, just I might ask a supplemental

4 question, while it's in my head then. Would it be the

5 norm that if you were asked to carry out an SAI, you've 12:01

6 indicated that you think it's preferable that you don't

7 know the individuals involved because it's about

8 learning for the organisation essentially. But is it

9 the norm, given that Northern Ireland is such a small

10 place, that you would eventually find out who might be 12:01

11 involved in it?

12 A. DR. HUGHES: It's not the norm to find out a name, and

13 I think it's unhelpful. A Serious Adverse Incident is

14 about a Serious Adverse Incident on a patient and

15 I think it should be approached that way. In some of 12:02

16 my evidence you will see when I am talking to

17 professionals within the Trust, I said this is rather

18 professional focused rather than patient focused.

19 I think it was unhelpful that something becomes

20 professional focused because it can cloud the issue. 12:02

21 CHAIR: Yes. Thank you.

22 MR. WOLFE KC: Albeit that the characteristics of the

23 professional and how they could go about their job, can

24 be important and where it proved to quite important in

25 terms of the cases that you were examining? 12:02

26 A. DR. HUGHES: Yeah. I mean, this is where you have to

27 focus on a patient and when you do your Root Cause

28 analysis these things will unfold in due course. If

29 it's about a range of patients you have to see the

1 variance from expected best practice and then ask
2 yourself why and, you know, that would be self-evident.
3 I just think it's unhelpful to start off with a name.

4 86 Q. Yes. Thank you. Just in terms of your role. We have
5 touched on it briefly, but drilling down a little bit 12:03
6 more. If we go to WIT-84154, and if we look at
7 paragraph 11, just zone in on that. You explain your
8 role was the Independent Chair of the process, and you
9 set out your responsibilities for the review, for the
10 Root Cause analysis, for patient timelines, and leading 12:03
11 on family engagement. Then sitting alongside you is
12 the expert clinical advisor, that's obviously
13 Mr. Gilbert, and his role is different. If you can
14 help us to fully understand the distinction between
15 your roles. Mr. Gilbert, you can obviously join us in 12:04
16 that?

17 A. MR. GILBERT: I saw my role specifically to review the
18 case record and write down what has happened. Nothing
19 more than that.

20 87 Q. Did you have at your side, if you like, the benchmarks 12:04
21 in terms of the various national and regional guidance?

22 A. MR. GILBERT: Yes. I mean, I used the guidelines that
23 I've used to from both my previous or my current MDT
24 work. There's no rocket science behind guidelines.
25 They come straight from the European Association of 12:05
26 Urology, and anyone setting up an MDT, the easiest part
27 of it is to fill in the guidelines because you just say
28 we follow the European or the national guidelines.

29 88 Q. Yes.

1 A. MR. GILBERT: Those should be in most urologists' head.
2 On occasions you might need to refer to them for
3 unusual cases, but for what might be termed the more
4 straightforward pathways, then those should be in each
5 Urologist's mind. 12:05

6 89 Q. Yes. We will just come and look at some of those in
7 just a moment. But in terms of your role, Dr. Hughes,
8 did you do all of the writing when we look at these
9 reports, or was the clinical aspect written by
10 Mr. Gilbert? 12:06

11 A. DR. HUGHES: It would have been an iterative approach.
12 I would have done some of the writing with the
13 Governance Lead Patricia Kingsnorth, and we would have
14 shared documents and amended them, and agreed an
15 outcome. 12:06

16 90 Q. In terms of Mr. Gilbert's role, you go on to explain in
17 your statement that it was important that he worked in
18 a district general hospital, a similar environment, and
19 that he was familiar with national best practice, in
20 both of those, one a personal characteristic or an 12:06
21 occupational characteristic, and the other his
22 expertise, that was important?

23 A. DR. HUGHES: Yeah. I think it's important if you're
24 assessing a Serious Adverse Incident that you do it in
25 its context, benchmarking both experience and 12:07
26 processes.

27 91 Q. In terms of benchmarking, if we go to your statement at
28 WIT-84157, and down to the bottom of the page, please,
29 paragraph 5. You are asked here to outline how the

1 Review Team assessed the performance of the MDT pathway
2 for Cancer management and who took the Lead for this
3 aspect of the Review Team's work, and provided the
4 description of what steps they took. Here you do what
5 you have just explained, you've explained Mr. Gilbert's 12:07
6 role as the external expert, Clinical Advisor, and you
7 say that the work of the team was to discuss at weekly
8 and bi-weekly meetings, benchmarked against care as
9 defined by, and you set out a number of specific
10 guidelines - NICE, Urology, Cancer guidelines, NICE 12:08
11 guidance, cancer-improving outcomes. You say:

12
13 "This review also included the Local Urology Cancer MDT
14 recommendations".

15 12:08
16 Over the page: "Findings were compiled into reports."

17
18 Here, just on the bullet point there. Sorry,
19 I shouldn't forget that you refer to the family input
20 as well. You refer then: 12:08

21
22 "The patient pathways and outcomes were also
23 benchmarked against the stated standards of care
24 declared by the Southern Trust to the external cancer
25 peer review." 12:08

26
27 Can we just have that document up, please. The
28 external cancer peer review is at AOB-79828. while we
29 are waiting on that coming up, a peer review of the

1 Southern Trust's Urology cancer MDT was conducted in
2 2017; isn't that right? AOB-79828. This is the
3 self-assessment report pro forma which Mr. Glackin is
4 the Clinical Lead for the MDT put into the peer review.
5 If we just scroll down it. There's a number of general 12:09
6 remarks about how the MDT functions. Then over the
7 page, if you would, at 79829. There's two particular
8 points I would like you to pick up on in reverse order.
9 The point about nursing is dealt with here, and I will
10 ask you to explain why this is germane to the work that 12:10
11 you did. Mr. Glackin says here to the peer review:

12
13 "Progress is ongoing in relation to the full
14 implementation of the key worker holistic needs
15 assessments communication, ensuring all patients are 12:10
16 offered a permanent record of patient management. With
17 the appointment of two more nurses to the Thorndale
18 Unit and clerical staff, all newly diagnosed patients
19 have a key worker appointed a holistic needs assessment
20 conducted adequate communication and information advice 12:11
21 and support given". Et cetera.

22
23 That is, as I understand it, a reference to the Cancer
24 Nurse Specialist and I think the frequent refrain in
25 your report says that while this was asserted to the 12:11
26 peer review, it wasn't the reality?

27 A. DR. HUGHES: Yes, sadly. I think we need to unpick
28 this a bit --

29 92 Q. okay.

- 1 A. DR. HUGHES: -- and explain what a Cancer Nurse
 2 Specialist does for patients. A Cancer Nurse
 3 Specialist is responsible for a baseline holistic needs
 4 assessment and reassessment as a patient's pathway
 5 changes. They are responsible for the well-being of 12:12
 6 patients, and they are responsible for ensuring
 7 patients fully understand the MDT discussions and fully
 8 understand their treatment options. Their role is
 9 essential in care. This statement implied, and it was
 10 in 2017, when we were looking at patients largely from 12:12
 11 2019, implied all patients had access to that care.
 12 When I first met the family I couldn't understand how
 13 disjointed and/or difficult their care was in the
 14 community. I really struggled with it, but then
 15 I discovered that they didn't have access to a Cancer 12:12
 16 Nurse Specialist. I then tried to unpick this, and it
 17 was established that Mr. O'Brien did not include the
 18 Cancer Nurse Specialist at his Oncology clinics, and
 19 that meant either being present in the clinic or even
 20 giving a telephone number. We had a cohort of patients 12:13
 21 who were not receiving that essential care.
- 22 93 Q. I am going to look just a little later about the
 23 evidence around that and the implications of that, but
 24 for present purposes what I am going to do for the next
 25 few minutes is setting out the kind of benchmark 12:13
 26 evidence that you received. That was one indicator, as
 27 I understand it, that the Trust set themselves the
 28 standard of being in a position to resource a key
 29 worker or specialist nurse to all newly diagnosed

1 patients, cancer patients, and that was the standard
2 you were essentially applying?

3 A. DR. HUGHES: Mm-hmm.

4 94 Q. Yes. Let me see if we can scroll back up the page, if
5 I can find it. Yes. Just at the bottom of the page 12:14
6 then, this is Mr. Glackin declaring to the peer review
7 that the Urology Cancer MDT adheres to the Regional
8 Urological Clinical Reference Group guidelines and
9 patient pathways, and these have been agreed at an MDT
10 meeting. Unpacking that for us, that is a reference to 12:14
11 our local Northern Ireland Cancer Advisory Network
12 process, is the NICaN process, is it?

13 A. DR. HUGHES: Yeah, that's a reference to the NICaN
14 Northern Ireland Cancer Network Urology Regional
15 Reference Group. Their number one Terms of Reference 12:15
16 is to agree best practice guidelines and ensure
17 consistent implementation across Northern Ireland.

18 95 Q. What Mr. Glackin is signalling here is that the MDT in
19 the Southern Trust was embracing and applying the NICaN
20 standard? 12:15

21 A. DR. HUGHES: Yes.

22 96 Q. Mrs. Kingsnorth then sent you, as I understand from
23 your statement, a series of documents which are
24 relevant to the benchmarking exercise. That's plainly
25 one of them, that's signalling what the MDT does. 12:16
26 Could I look at WIT-84439? This is one of the
27 documents you cite in your statement. This is a cancer
28 research UK document Improving the Effectiveness of
29 Multidisciplinary Team Meetings in Cancer Services.

1 why was that relevant from a benchmarking perspective?

2 A. DR. HUGHES: It's really to show the principles of how

3 a functional MDT should work and how they should

4 deliver care for patients.

5 97 Q. Yes. In terms of the dual work that you were carrying 12:17

6 out, that's more relevant for the governance side, for

7 your side of the house, Dr. Hughes?

8 A. DR. HUGHES: Yes.

9 98 Q. Is there anything in particular in that document that

10 you wish to refer us to? I know that, within your 12:17

11 reports, you talk about difficulties within the MDT,

12 cases not being referred back, failure to escalate,

13 deficits in care, these kinds of things?

14 A. DR. HUGHES: I think the overarching findings were that

15 absence of Clinical Nurse Specialists meant that there 12:17

16 was no overarching view of MDT recommendations being

17 implemented.

18 99 Q. Yes.

19 A. DR. HUGHES: There is a requirement, if you don't

20 implement an MDT recommendation, that you would bring 12:18

21 it back to your colleagues and discuss it, and agree

22 how that would be achieved. I think the other issues

23 are that, because the team focused on first diagnosis

24 and first treatment, patients weren't being brought

25 back to the MDT for discussion as their care needs 12:18

26 changed, and because a cohort of patients were not also

27 being cared for by a nurse specialist, it meant that

28 they had a major deficit in their care.

29 100 Q. There's a series of documents cited by you as having

1 been provided by Patricia Kingsnorth, I just want to
 2 highlight each of them to the Inquiry, and you can
 3 offer any relevant comments, or indeed yourself,
 4 Mr. Gilbert. WIT-84448. Publication of the British
 5 Uro Oncology group concerning multidisciplinary team 12:19
 6 guidance for managing prostate cancer. Again, for you,
 7 Dr. Hughes, the relevance of this document?

8 A. DR. HUGHES: It's just to show the abundance of
 9 standard guidelines and the abundance of standard
 10 evidence that people should adhere to, and clearly that 12:19
 11 wasn't the case in all patients.

12 101 Q. You refer also amongst the list of material received,
 13 or going backwards and forwards between you and
 14 Patricia Kingsnorth, to an e-mail, WIT-84526, and it
 15 appears that this concerns the issue in respect of one 12:20
 16 patient who had a diagnosis of penile cancer. This
 17 e-mail suggests that there was a bit of debate,
 18 perhaps, between you and her, and perhaps you and the
 19 rest of your Review Team about the applicable standard
 20 or the applicable benchmarking criteria? 12:20

21 A. DR. HUGHES: Yeah. Penile cancer is quite a rare
 22 cancer, and the NICA guidance signed up in 2016
 23 indicated that all cases should go to a regional penile
 24 cancer Service which was local in Northern Ireland but
 25 linked, I believe, to Manchester, as a supra-regional 12:21
 26 Service. While that guidance came out in '16, it took
 27 them several years to actually get a functional system
 28 up and running. The Northwest Penile Cancer Service,
 29 which is the Service for Northern Ireland, only became

1 operational in 2019.

2 102 Q. You refer to the 2016 guidelines, the NICA guidelines.
3 If we could open those, please, at WIT-84611. Is it
4 fair to say, Mr. Gilbert, that in terms of
5 a benchmarking exercise that you had to perform, that 12:22
6 this was something approaching the core text?

7 A. MR. GILBERT: Yes.

8 103 Q. For local purposes?

9 A. MR. GILBERT: Yes.

10 104 Q. Is it your understanding that this document borrows on 12:22
11 the learning and research from a national level, from
12 a GB level?

13 A. MR. GILBERT: Yes.

14 105 Q. It incorporates, for example, the NICE learning, NICE
15 guidance? 12:22

16 A. MR. GILBERT: Yes, this is a condensation of a number of
17 sources, and that process of condensation would have
18 been reiterated around the countries in order to bring
19 up their local guidelines, but they will all be based
20 upon national and international advice and guidance. 12:22

21 106 Q. Yes. Just touching upon some aspects with this. All
22 of the major tumour sites are covered obviously within
23 this. We have prostate dealt with at WIT-84651. If we
24 look at, for example, WIT-84665 on this sequence, the
25 fourth bullet point from the bottom is something we 12:24
26 will maybe get into in a little detail later. So it
27 says:

28

29 "Men with intermediate and high risk localised prostate

1 cancer should be offered a combination of radical
 2 radiotherapy and ADT androgen deprivation therapy
 3 rather than radical radiotherapy and androgen
 4 deprivation therapy alone. "

5
 6 We are going to explore later with you what that means,
 7 but that is something of the standard that you were
 8 considering; is that right?

9 A. MR. GILBERT: Exactly so. I think it's important to
 10 point out these are guidelines, and what the clinician
 11 responsible for patient's care brings to the MDT is the
 12 context; that is the patient's existing or pre-existing
 13 disease, their expectations, their express desires in
 14 terms of their treatment, but any deviation from these
 15 points of guidance should be documented within the MDT
 16 discussion. For example, if somebody feels they don't
 17 want to have radiotherapy because it's too arduous to
 18 go to 50 miles up to the road to the nearest facility,
 19 that should have been made clear within the MDT
 20 minutes, either at the time of discussion, because of
 21 prior knowledge, or after the options have been
 22 discussed with the individual.

23 107 Q. Yes,

24 A. MR. GILBERT: That closes that particular loop of
 25 variation.

26 108 Q. Yes. We will look at that, perhaps later, in the
 27 context of a specific case or cases. Just pointing out
 28 the standard for present purposes. Looking at another
 29 type of cancer that was relevant to your consideration,

1 was penile, as I have just mentioned. Looking at
2 WIT-84674 and moving through to 84679, this deals with
3 treatment and that was one of the issues, I think, that
4 concerned you in respect of patient H or Patient 3's
5 case, if I've got that name right. I have got right, 12:26
6 have I? I have.

7 A. MR. GILBERT: Yes.

8 109 Q. Yes. We will maybe go and again look at this in a bit
9 more detail later. The concern for you in that case
10 was the retention of the care locally and the delay in 12:27
11 referring to the supra-regional hub of specialists?

12 A. MR. GILBERT: Yes, certainly that's true. This
13 particular aspect of the guidelines, which relate to
14 the rarer cancers, were brought about in order to
15 ensure that particular centres had enough experience to 12:27
16 provide the best possible standard of care, and that
17 the occasional practice of, say, doing one or two cases
18 a year was to be eradicated, on the basis that the more
19 you do, the better you become at things. The
20 population for penile cancer was 4 million. It's 12:27
21 actually been quite a difficult thing to establish
22 because of political differences around but it has
23 been. But any Clinician, before the arrangements were
24 made to divide up the various parts of the countries
25 into these subspeciality MDTs, before that was 12:28
26 formalised, any Clinician would have understood that,
27 actually, the writing was absolutely clear and that
28 individual arrangements had been made by the clinician.
29 So, from, probably, 2008, I would refer penile cancers

1 to a specialist provider.

2 110 Q. Yes. We don't need to bring up all of the pages, but
3 these guidelines also deal with renal cancers,
4 testicular cancer. There is a section on nursing which
5 I will open briefly. WIT-84725 highlights, I think as 12:29
6 you were referring to earlier, Dr. Hughes, it
7 highlights the importance of the nursing aspect in the
8 management of urological cancers. For example, halfway
9 down the page, NICE 2014, it emphasises that the CNS
10 can ensure that patients have information that is 12:29
11 tailored to their individual needs, therefore enhancing
12 shared decision-making, also in an excellent position
13 to provide individualised care following treatment
14 which promotes cancer survivorship, and it goes on to
15 cite Anne McMillan on the study of the importance of 12:29
16 nursing expertise.

17
18 Again, some of the lines there were to resonate with
19 your work on these nine reviews?

20 A. DR. Hughes: Yeah, the role of the Urological Cancer 12:30
21 Nurse Specialist is really essential for care. It's
22 supportive, it's informative, and patients receive
23 better experience. I think the families found it quite
24 difficult to know that the majority of people received
25 that care, but their cohort didn't. Looking at the 12:30
26 recent cancer patient audit you can see the care
27 delivered from the nurses from the Southern Trust is
28 exemplary and I think that's a particular problem. By
29 the luck of the draw because they were allocated

1 a professional they didn't get this service.

2 111 Q. Another benchmark document that your attention was
 3 drawn to, as I understand, was the MDT operational
 4 policy for the Southern Trust Urology Cancer MDT. We
 5 can find that at WIT-84532. It's the cover page, 12:31
 6 signed off by the Director of Acute at the time, Esther
 7 Gishkori, 1st September 2017. The Clinical Director of
 8 cancer services, then Dr. Convery and Mr. Anthony
 9 Glackin as the MDT lead. Again, a document that you
 10 would have familiarised yourself with prior to or 12:31
 11 during your work. Just a couple of aspects I want to
 12 seek your comments on.

13
 14 If we turn to WIT-84538, "disease progress" says:

15 12:32
 16 "All new cases of urological cancer and those following
 17 urological biopsy will be discussed. Patients with
 18 disease progression or treatment related complications
 19 will also be discussed and a treatment plan agreed.
 20 Patients' holistic needs will be taken into account as 12:33
 21 part of the multidisciplinary discussion. When
 22 a clinician has dealt with the patient will represent
 23 the patient and family concerns and ensure this
 24 discussion is patient-centred."

25 12:33
 26 The focus of my attention here is this principle that a
 27 case should come back if there's disease progression or
 28 complication.

29 A. MR. Gilbert: Yes, that would be a standard part of any

MDT's operational policy. Any substantial change in the circumstances of the patient and their disease should be brought back to the MDT for discussion, because it might mean the need for another or different professional to become involved, so that the MDT is the focus for managing the patient. 12:34

112 Q. Yes. Could I present you with a slightly different scenario? The MDT has thoroughly discussed the case and made a recommendation, which is then brought to the patient by the treating clinician, and either can't be sold to the patient, if I can use that term, or it becomes a treatment that is inappropriate, for whatever reason; the disease has moved on or there's another factor that the clinician becomes aware of, or whatever. What is to be done in that scenario in terms of the single clinician and his relationship with the MDT? 12:34

A. MR. GILBERT: The case should be brought back to the MDT to appraise the team of the reasons for any change. They should be obviously recorded in the notes and in the MDT record. Yes, simple as that, really. Again, a patient declining treatment or being unsuitable for treatment is a significant change in management, and any significant change in management should be discussed at the MDT. 12:35

113 Q. Presumably the Clinician should record it and the reasons relevant to the process within the individual patient's notes?

A. MR. GILBERT: Yes, that would be the first action. The

1 next action would be to request that the patient was
2 discussed at the MDT so that people were aware of that
3 as a decision.

4 114 Q. Yes. What you have just described there, obviously we
5 have here a description of cases that should go to the 12:36
6 MDT, what you have described patient not taking the
7 medicine that's recommended, or circumstances changing,
8 so that the recommendations perhaps no longer are
9 appropriate, should go back to the MDT. Is that
10 something that is committed to writing anywhere in any 12:36
11 of these guidelines? Is that something you need to go
12 and have a think about, or is it just a good practice
13 that most MDTs would insist upon even if it's not
14 written down?

15 A. MR. GILBERT: I think a good MDT would insist upon it, 12:36
16 and I think it is written down in the sense that any
17 significant change in management from that dictated
18 or -- not dictated, that's too strong a word -- that
19 recommended by the MDT should be brought back to the
20 MDT. Yes. 12:37

21 115 Q. Yes.

22 A. DR. HUGHES: Sorry, effective MDT National Cancer
23 Action team from 2010 and it makes -- under the section
24 of governance, it's probably 5.3, it clearly says that
25 if there's a change in MDT plan, the information has to 12:37
26 be brought back to the MDT so (a), they know about it,
27 they may want to discuss it or act upon it. That's
28 a document that is signed off by Mr. Mike Richards
29 a very long time ago, and it's just good practice.

- 1 116 Q. It appears, from just our review of some of those
 2 documents, that -- I don't say this disparagingly at
 3 all, but there are a range of, I suppose, stakeholders
 4 in this area who have something important to say about
 5 these issues. We've seen cancer charities contribute. 12:38
 6 Northern Ireland has the good fortune of having NICaN.
 7 Different contributors say something about the
 8 benchmark or the standard they would like to see
 9 implemented, but to what extent does a local MDT like
 10 the Southern Trust have to take all of that on board? 12:38
 11 Here I am thinking about the specific example we are
 12 working with of a patient, having listened to his
 13 individual clinician, deciding that the recommendation
 14 isn't for him. You say that should go back? You cite
 15 the -- 12:39
- 16 A. DR. HUGHES: Yeah, I think it should. There will be
 17 a record on the cancer patient pathway that states plan
 18 A is there but he is receiving plan B, that's an issue.
 19 I think if the care is truly multidisciplinary, I think
 20 the other members of the team should know. In terms of 12:39
 21 significant changes, I think that would be
 22 a significant change in the patient's pathway, so there
 23 would be a duty on the professional to inform the team.
- 24 117 Q. Yes.
- 25 A. DR. HUGHES: I can understand that this could be 12:39
 26 bureaucratic and troublesome, but it should not happen
 27 on a regular basis.
- 28 118 Q. Just finally on this document, key worker and nursing
 29 issues, they are dealt with in this multidisciplinary

1 operational policy at WIT-84545. Just at the top
2 there, it says:

3
4 "It is the joint responsibility of the MDT Clinical
5 Lead and the MDT core nurse member to ensure that each 12:40
6 Urology cancer patient has an identified key worker,
7 and that this is documented in the agreed record of
8 patient management."

9
10 we will look at the cases in some detail maybe later 12:40
11 this afternoon and into tomorrow, but it was to be your
12 finding that none of the nine cases that you looked at
13 had access to a Cancer Nurse Specialist, and this
14 document puts the onus on the Clinical Lead and the
15 core nurse member to ensure that the patient has an 12:41
16 identified nurse?

17 A. MR. GILBERT: The key worker and Cancer Nurse
18 Specialist are not interchangeable. A key worker could
19 be a doctor. It is a person who is willing to be an
20 access point for the patient throughout their journey 12:41
21 and To remember that they may change hospitals, they
22 may change consultants, but the key worker is there
23 continuously to allow the patient access to information
24 and support. It just so happens that the best-placed
25 person for that is a Cancer Nurse Specialist. They 12:42
26 have the expertise not just in the medical aspects of
27 care but also within the nursing aspects of care, which
28 are fundamental to a patient's wellbeing. In my
29 experience, at the time of discussion, the key worker

1 is appointed, and that is almost inevitably a Cancer
2 Nurse Specialist. They are named, and their name is
3 printed on the MDT pro forma so that everybody knows
4 who is responsible.

5 119 Q. Yes. We can look at some of the detail, and you have 12:42
6 gathered evidence from a range of people on this issue.
7 The cancer nurse specialists themselves, Mrs. Corrigan
8 stands out as someone who gave you particular evidence.
9 Can you help us with this, just as a taster before we
10 get to the detail of those cases. This appears to give 12:43
11 a duty to allocate the key worker, who is usually the
12 nurse, if I understand Mr. Gilbert's evidence
13 correctly. In terms of the reports that you wrote up
14 on each of the nine patients, the focus wasn't on these
15 two people, it wasn't on the Clinical Lead and it 12:43
16 wasn't on the core nurse member, but it was on
17 Mr. O'Brien as the Clinician with responsibility for
18 the care of the patient and the onus, correct me if
19 I am wrong, in your reports seemed to suggest that the
20 buck rested with him to sort out that allocation? 12:43

21 A. DR. HUGHES: Yes. Normal practice, in my experience,
22 would be that care is shared, so when a patient comes,
23 they come to the breaking bad news clinic, the Oncology
24 clinic either with the Consultant or the Consultant
25 gives the name. In that way there is a seamless care 12:44
26 so there is a Clinical Nurse Specialist to support the
27 patient and inform the patient of their illness. This
28 document clearly says something different, but, in my
29 experience, the professional giving care should be the

1 care should be the person who -- clinical nurse
2 specialist. The issue with that there was clearly an
3 issue in the Southern Trust where Mr. O'Brien did not
4 work with Clinical Nurse Specialists in his Oncology
5 Clinics. There is an issue he asked them to do 12:44
6 transactional issues and nursing issues, but he did not
7 involve them in terms of the classic roles of
8 a Clinical Nurse Specialist, a Cancer Nurse Specialist
9 in terms of holistically baseline assessment, ongoing
10 baseline assessment informing them of their disease and 12:45
11 discussing the options.

12 120 Q. Yes. Are you saying that it's your understanding of
13 the process -- and I'm probably getting here in a
14 little more deeply than I intended to at this stage but
15 we have gone down the road too far to come back now. 12:45
16 Are you saying that, notwithstanding the written word
17 of the local MDT operational policy, that the practice
18 of that MDT was that it was a matter for the treating
19 Clinician to put the patient in touch, whether that was
20 simply handing a phone number or a leaflet, or actually 12:45
21 making a formal physical introduction. The role is
22 there and it's not as stated on this page?

23 A. DR. HUGHES: The question arose when we had nine
24 patients, none of whom had a Clinical Nurse Specialist
25 so part of the Root Cause analysis we go back and ask 12:46
26 how this happened and the response from Martina
27 Corrigan, who was the Urology Services Manager for
28 eleven years, explained that they were not included in
29 the outpatients of Mr. O'Brien that had been challenged

1 on two occasions by two nurses without success. She
2 says in her evidence, and it's included, that that was
3 escalated but without result.

4 121 Q. Did you ask the question, or were you able to
5 establish, why aren't you complying with your
6 operational policy which takes the matter out of
7 Mr. O'Brien's hands and puts it in the hands of these
8 two people specifically named?

12:46

9 A. DR. HUGHES: I did ask the question of a range of
10 professionals but I didn't get a satisfactory answer.

12:47

11 122 Q. Did you reach the conclusion that, notwithstanding what
12 is on this written page, the practice in the Southern
13 Trust was for the treating clinician to make the
14 introduction or bring the contact information to the
15 patient?

12:47

16 A. DR. HUGHES: The practice in the Southern Trust was
17 that all other patients received this care in tandem
18 with their caring Consultant, but a separate cohort did
19 not.

20 123 Q. Yes.

12:47

21 A. DR. HUGHES: That issue was known but not dealt with.

22 124 Q. We will maybe come back to that issue. Just one other
23 document by way of benchmarking, which I want to open
24 at this stage. It came your way following
25 a conversation with a Dr. Mitchell who, as I understand
26 it, is a Clinical Oncologist in the Belfast Trust.

12:48

27 I don't want to go into the detail of that conversation
28 just at this point but I want to open the document with
29 you and just ask you to what extent it was relevant to

1 the exercise that you were performing, perhaps
2 Mr. Gilbert. The document, just to give it its opening
3 page, is WIT-84426. It's entitled Regional Hormone
4 Therapy Guideline. I think the pages have 'draft'
5 which are marked across. This was a document sent to 12:48
6 you by Dr. Mitchell; is that right?

7 A. DR. HUGHES: Yes, I had spoken to Dr. Mitchell, who is
8 a Urology Radiation Oncologist in the Northern Ireland
9 Cancer Centre after speaking with Professor Joe
10 O'Sullivan. Dr. Mitchell had previous interactions 12:49
11 with Mr. O'Brien and was concerned about his
12 therapeutic prescribing, and had challenged him on
13 several occasions. Dr. Mitchell was the regional Chair
14 of the Urology Regional Cancer Guidance group and, at
15 that stage, he also indicated that he challenged 12:49
16 Mr. O'Brien about his prescribing of --

17 125 Q. I am going to come to that bit in a minute. Just in
18 terms of this document. Dr. Mitchell sent you this?

19 A. DR. HUGHES: Yes.

20 126 Q. Just in terms of the origin of the document, how did 12:49
21 the document come to be created? Were you told about
22 that?

23 A. DR. HUGHES: Yes, Dr. Mitchell explained it was
24 Regional Hormone Therapy guidelines and it was drafted
25 to address concerns around Bicalutamide prescribing, 12:50
26 and it was signed off by Mr. O'Brien when Mr. O'Brien
27 was the Chair of the Regional Clinical Guidance group.

28 127 Q. Was the concern about Bicalutamide prescribing that was
29 the trigger for this document?

1 A. DR. HUGHES: Yes.

2 128 Q. Were you given to understand that was a general issue,
3 or was he saying it was a Mr. O'Brien issue that caused
4 this to be drafted?

5 A. DR. HUGHES: He was implying it was a Mr. O'Brien 12:50
6 issue. Professor O'Sullivan had concerns for 17 years.
7 In the document I have shared, Dr. Mitchell had
8 concerns for ten years.

9 129 Q. Yes. Are you clear about that, that Dr. Mitchell
10 formulated this document in response to -- 12:51

11 A. DR. HUGHES: Yes.

12 130 Q. -- issues of Bicalutamide prescribing, specifically
13 directed from Mr. O'Brien?

14 A. DR. HUGHES: Yes. That's covered in the minutes of our
15 meeting. 12:51

16 131 Q. Yes. We will come to that. Just in terms of
17 a specific feature of the document, it deals with
18 Bicalutamide. If we can turn to WIT-84427. This is
19 setting out information for the region in relation to
20 prescribing in circumstances of prostate cancer in the 12:52
21 main. If we scroll down the page, it deals with the
22 circumstances of intermediate high risk prostate
23 cancer:

24

25 "Men with intermediate risk prostate cancer should 12:52
26 receive a total of six months of hormone therapy
27 before, during and after their radiotherapy."
28

29 It specifically provides the hormone therapy options

1 with radical radiotherapy, and he sets out the LHRH
2 agonists.

3
4 scrolling down the page, it says:

5
6 "In order to prevent testosterone flare, anti-androgen
7 cover with Bicalutamide 50 milligrams is given for 3
8 weeks in total with the first LHRHa given 1 week after
9 the start of the Bicalutamide."

12:53

10
11 It goes on to say: "Bicalutamide 150mg monotherapy can
12 be used as neo-adjuvant hormone therapy especially in
13 men where preservation of physical capacity or sexual
14 function is important or in those who may not tolerate
15 hot flushes."

12:53

16
17 It goes on to say:

18
19 "The cardiovascular and metabolic toxicities of LHRHa
20 should be discussed and the patient advised to address
21 cardiovascular risk factors with their GP."

12:53

22
23 Mr. Gilbert, can you help us with this? For a patient
24 who emerges from MDT with a recommendation for
25 radiotherapy --

12:54

26 A. MR. GILBERT: Yes.

27 132 Q. -- is it conventional to provide for hormone treatment
28 in advance of the radiotherapy?

29 A. MR. GILBERT: Yes, neo-adjuvant treatment is code for

1 treatment prior to the definitive radical therapy,
2 which in this case would be radiotherapy and the
3 neo-adjuvant treatment would be hormone treatment.

4 133 Q. Yes.

5 A. MR. GILBERT: The studies that were done were based on 12:54
6 the use of an LHRH analogue in two big studies which
7 showed that this was advantageous in terms of disease
8 control. So all men would start hormone therapy and
9 that would be with an LHRH analogue in most instances.
10 The use of Bicalutamide 150 milligrams is an 12:55
11 alternative when the LHRH analogue is, for whatever
12 reason, not tolerated or not indicated. There are some
13 concerns around so-called metabolic syndrome which is,
14 essentially, that these drugs may give a predisposition
15 to some cardiac events and may contribute towards the 12:55
16 development of diabetes, and those need to be
17 considered as part of the holistic approach.

18 134 Q. If there was a known cardiovascular risk, it might be
19 an option to use Bicalutamide as an anti-androgen?

20 A. MR. GILBERT: I have never done so in my own practice, 12:56
21 even with patients with significant cardiac risk,
22 I think, the benefits of LHRH analogue over
23 Bicalutamide I, in sticking to the protocol of the
24 studies outweighs any risk, in my view. The use of
25 Bicalutamide in my own practice would be limited to 12:56
26 those men who are worried about loss of sexual
27 function, which is not many in this age group, who
28 might wish to preserve some sort of libido because
29 Bicalutamide is associated with a lower risk of effects

1 on sexual function, and possibly in general energy as
2 well.

3 135 Q. Just help us with the science. The hormone therapy
4 prior to radiotherapy is with what objective or with
5 what purpose in mind? 12:57

6 A. MR. GILBERT: The way I view it is what you are doing is
7 shrinking the gland and the cancer more particularly,
8 and the smaller the cancer the more effective the
9 radiotherapy is going to be. That's in simplistic
10 terms. What tends to happen is a recommendation is 12:57
11 made from the MDT. The patient will be started on an
12 anti-androgen which is Bicalutamide, usually at a dose
13 of 50 milligrams and that practice, why we do it is
14 slightly lost in the mists of time, but the rationale
15 is said that if you start an LHRH analogue, which is 12:57
16 the definitive hormone treatment, you may exacerbate
17 the cancer because what happens at the initial
18 injection of the drug is that you get a surge of
19 testosterone, and that, in itself, may be problematic.
20 My problem with that if it's hormone -- if it is 12:58
21 localised disease it's not going to cause any problems,
22 it's going to make your prostate a bit bigger. The
23 usual practice is to use Bicalutamide 50 milligrams and
24 that's never questioned. That blocks the flare of
25 testosterone and the patient can safely start their 12:58
26 LHRH analogue, and that would continue for anything
27 between 4 and 6 months.

28 136 Q. Then you are into the radiotherapy?

29 A. MR. GILBERT: Radiotherapy.

1 137 Q. The purpose then, as you say, is to shrink the disease
2 and the organ --

3 A. MR. GILBERT: Yes.

4 138 Q. -- and the conventional approach is LHRH?

5 A. MR. GILBERT: Yes. 12:58

6 139 Q. 150 milligrams of Bicalutamide, not as effective, in
7 your view, and has some side effects but will achieve
8 for you the same broad purpose as the LHRH; is that
9 correct?

10 A. MR. GILBERT: Theoretically, yes, but we don't know 12:59
11 that. It's an experimental fact. But yes, it's
12 blocking the testosterone and should therefore have the
13 same effect.

14 140 Q. The 50 milligram dose of Bicalutamide, walk us through
15 that, if you would? You have described its function as 12:59
16 an anti-flare agent, which is a phenomenon that would
17 be experienced if you didn't have that intervention, or
18 you could theoretically have it?

19 A. MR. GILBERT: Yes.

20 141 Q. Is the 50 milligram dose effective, or, put it another 13:00
21 way, is it licensed for the task of shrinking the
22 cancer or the --

23 A. MR. GILBERT: No. I mean if you were going to use an
24 alternative it would be the 150 milligram dose.
25 Bicalutamide, to my own knowledge, is licensed in two 13:00
26 indications, the first is for the anti-flare, which we
27 have discussed at 50 milligrams. The second is for men
28 who have locally advanced prostate cancer which is
29 going to need hormone therapy and who may be elderly

1 and frail as the side effects may be more tolerable on
2 the -- on the Bicalutamide 150 milligrams, not 50
3 milligrams, 150 milligrams, than --

4 142 Q. Just sticking at the 50, to avoid any confusion. It
5 really only has one function, is that what you are
6 saying, as an anti-flare agent? 13:01

7 A. MR. GILBERT: Certainly in my practice and in general
8 practice I would suggest, yes, it is an anti-flare
9 agent. It can be used in another scenario, which is
10 called maximum androgen blockade. Essentially the LHRH 13:01
11 analogue will suppress between 90 and 95% of
12 testosterone production because it suppresses the
13 testicular production of testosterone. Testosterone is
14 also produced in the adrenal glands, so although
15 conventionally we would just treat prostate cancer 13:01
16 with an LHRH analogue getting 90 to 95% coverage, there
17 is some evidence to suggest that once the disease has
18 escaped that control, which on average would happen at
19 around 15 to 18 months after the first injection, then
20 the addition of 50 milligrams of the anti-androgen will 13:02
21 in, I think it's 27% of patients, something like that,
22 will actually produce a second response.

23 143 Q. Thank you for that. I know that analysis is relevant
24 to some of the prostate management that you came across
25 in the cases, but I think now would be a suitable time 13:02
26 to park for lunch.

27 CHAIR: Thank you, Mr. Wolfe. We will see everyone
28 again at 2 o'clock.
29

THE INQUIRY ADJOURNED FOR LUNCH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

1 THE INQUIRY CONTINUED AFTER LUNCH AS FOLLOWS:

2
3 CHAIR: Good afternoon. Are you ready, Mr. wolfe?

4 MR. WOLFE KC: Yes, good afternoon. Good afternoon,
5 gentlemen. 14:05

6 144 Q. I just want to check a point, Dr. Hughes. Just before
7 lunch we were looking at the multidisciplinary team's
8 operational policy, and I can see, if you could pull up
9 WIT-84158, you can see that you said, top of the page:

10
11 "The patient pathways and outcomes were benchmarked
12 against the stated standards of care declared by the
13 Southern Trust". 14:05

14
15 Then you attach, for our assistance, those documents. 14:06

16 A. DR. HUGHES: Yes.

17 145 Q. Document 34, take it from me, is that multidisciplinary
18 team operational policy. I want to ask you, because
19 I assumed knowledge on your part in the way I asked the
20 question just before lunch and that might have been 14:06
21 unfair. Had you seen that document and used that
22 document as part of your work?

23 A. DR. HUGHES: Yes.

24 146 Q. Thank you. The Review Team, Dr. Hughes, was not just
25 yourselves; it comprised of three other people; isn't 14:06
26 that right?

27 A. DR. HUGHES: Yes, yes.

28 147 Q. You set out their roles at WIT-84151. Patricia
29 Kingsnorth -- let me take them in order as they appear

1 on that page. Mrs. Reddick was the Cancer Services
2 Manager?

3 A. DR. HUGHES: Yes, Cancer Services Manager with the
4 Southern Trust.

5 148 Q. Yes. You have recorded here that she provided local
6 contextual information on how services were operated,
7 supported and resourced within the Cancer Unit. You
8 had, maybe skirmish is the wrong word but you had
9 a number of conversations with Cancer Services,
10 Dr. Tariq, Dr. McCaul and Mr. Conway?

14:07

11 A. DR. HUGHES: Yes.

12 149 Q. What was her relationship into that part of the
13 service?

14 A. DR. HUGHES: She would sit beneath them and manage the
15 day-to-day processes within the MDTs.

14:08

16 150 Q. Okay. They were more on the Governance side?

17 A. DR. HUGHES: Dr. Sadiq was an Assistant Medical
18 Director within his remit. Mr. McCaul was the Clinical
19 Lead for Cancer Services. Sorry, I have forgotten the
20 name of the other gentleman, was a manager.

14:08

21 151 Q. Mr. Conway?

22 A. DR. HUGHES: Conway.

23 152 Q. I will come back to that in a moment, just let me work
24 through the rest of the team members. Patricia
25 Thompson was a recently appointed Nurse Specialist;
26 isn't that right?

14:08

27 A. DR. HUGHES: She was a recently appointed Nurse
28 Specialist to the Southern Trust but had many years
29 experience previously within the South-Eastern Trust,

1 so she was new to the Service and independent of the
2 ongoing Service delivery within the Southern Trust.

3 153 Q. Patricia Kingsnorth then. She is described here as
4 Governance Lead. Was that her role within the Trust?

5 A. DR. HUGHES: She was an assistant, I think she was an 14:09
6 Assistant Director but she was Governance Lead aligned
7 to this review process.

8 154 Q. Yes. One can see from your meetings that, from time to
9 time, other people appeared to join you. For example,
10 I see a Fiona Sloan attended a meeting? 14:09

11 A. DR. HUGHES: Fiona Sloan was a family appointed liaison
12 officer. It became very clear there were specific and
13 extensive family engagement needs, so the Trust
14 appointed her. I think she came from a Children's
15 Services background. 14:10

16 155 Q. I want to ask you some questions now about the
17 independence of the process because, as we can see from
18 the three female members of the Review Team, they all
19 belong to services or areas of management which were,
20 I hope you agree with me, subject to scrutiny within 14:10
21 the reviews. Is that a fair way of putting it?

22 A. DR. HUGHES: Yes, that's self-evident, yes.

23 156 Q. Yes. The advantage, I suppose, is that they provided
24 the review with accessibility in terms of both
25 knowledge of how things are done and who people are, 14:10
26 and access to those people, I suppose, in terms of
27 setting up meetings and that kind of thing?

28 A. DR. HUGHES: Yeah.

29 157 Q. Can you help us with that; why would they have been

1 selected and did you have any role in their selection?

2 A. DR. HUGHES: Patricia Kingsnorth was aligned to the
 3 programme when I came. She was the Governance Lead.
 4 We were commissioned by the Southern Trust to do this
 5 work and, you are quite right, there is a potential 14:11
 6 inherent conflict of interest in that. Patricia
 7 Thompson was selected by myself because although she
 8 was employed by the Southern Trust she was new to the
 9 Southern Trust and brought experience from a Clinical
 10 Nurse Specialist working elsewhere. Fiona Reddick 14:11
 11 I felt had probably the biggest conflict of interest,
 12 and I think she was placed in an invidious position
 13 and, in retrospect, perhaps, it wasn't best. I think
 14 she was in a place where the Service that she was
 15 managing was being implicitly criticised. I think she 14:11
 16 probably found it stressful but I think that's -- yeah.

17 158 Q. That's a learning from it?

18 A. DR. HUGHES: Yes. Part of the problem is if you just
 19 bring a complete outside team in, how do you get
 20 ownership and buy-in and ongoing actions if the local 14:12
 21 team aren't there to own it? I think that's
 22 a reflection. I think we have to accept that it
 23 probably was tough on some of the members of the team
 24 who were invested in their own Service for a very long
 25 period of time and it was being implicitly criticised. 14:12

26 159 Q. Lawyers tend to get very excited when somebody says
 27 that person has a conflict of interest. The next step
 28 is to ask then, does somebody act on that conflict of
 29 interest in a way that destroys the integrity of the

1 process; are you saying that?

2 A. DR. HUGHES: No.

3 160 Q. You are not?

4 A. DR. HUGHES: Her role facilitated and helped in the
5 process, but she did not interfere with the output from 14:13
6 the process in any form.

7 161 Q. Yes. The HSCB procedure, which we looked at earlier
8 for other purposes, deals with the issue of
9 independence and membership of a Review Team. Let's
10 just look briefly at that. If we could bring up 14:13
11 appendix 12 of that process. That's at WIT-84242.
12 Yours was a Level 3 review?

13 A. DR. HUGHES: Mm-hmm.

14 162 Q. This is guidance on membership of a Level 3 review.
15 And it says: 14:13
16
17 "The level of review shall be proportionate to the
18 significance of the incident, the same principles shall
19 apply as for Level 2 reviews. The degree of
20 independence of the review team will be dependent on 14:14
21 the scale, complexity and type of incident. Team
22 membership for Level 3 reviews will be agreed between
23 the reporting organisation and the HSCB, PHA and
24 designated Review Officer prior to the Level 3 review
25 commencing. " 14:14
26
27 Let's just look at Appendix 11, because this sends us
28 back to Appendix 11 to look at the Level 2 review. If
29 we go to WIT-84241. If the process has to be the same

1 as a Level 2 this is what it should be:

2
3 "The core Review Team should comprise a minimum of
4 three people of appropriate seniority and objectivity,
5 Review Team should be multidisciplinary or involve
6 experts' opinion" -- well, hard to read that:

14:14

7
8 ""Or involve experts/expert opinion/independent advice
9 or specialist reviewers. The team shall have no
10 conflicts of interest in the incident concerned and
11 should have Independent Chair."

14:15

12
13 You were the Independent Chair. It was
14 multidisciplinary, but your concern, looking back on
15 it, that perhaps Mrs. Reddick was too close to the
16 issues and was made to feel perhaps uncomfortable

14:15

17 A. DR. HUGHES: Yeah. I don't think she discharged her
18 duties in anything other than a professional way, but
19 I think the role was a role of conflict for her
20 because, in essence, she was reviewing her own Service
21 and reviewing, you know -- it proved difficult,
22 I think.

14:15

23 163 Q. You say, just on that, at WIT-84174, at paragraph 23,
24 that:

25
26 "The SAI Review Team had an essential external
27 component and did include professionals from the
28 Southern Trust who discharged their duties in an
29 exemplary manner, despite a potential perceived

14:16

1 conflict of interest by some."

2
3 Is that where you are thinking about Mrs. Reddick?

4 A. DR. HUGHES: I was actually thinking about the
5 Governance team from the Southern Trust who managed the 14:16
6 family engagement to a very high standard, in my view,
7 and their commitment to the process of doing the Root
8 Cause analysis and developing the SAIs, and that was my
9 objective opinion.

10 164 Q. You say at WIT-84165, that a particular issue arose and 14:17
11 I want to ask you about that. It's the second bullet
12 point on the page. You say there:

13
14 "I became aware that the Trust was receiving feedback
15 through the Governance Lead within the SAI review via 14:17
16 the Director responsible for the Urology Cancer
17 Services."

18
19 The Trust was receiving feedback from Patricia
20 Kingsnorth 14:18

21 A. DR. HUGHES: I just wasn't aware of it, but it was
22 feedback about the progress of the reports and they
23 were doing a progress report to the Board to know where
24 they were. I believe it was in order to fully inform
25 the oversight body within the Department of Health. 14:18

26 165 Q. But that wasn't something you had been made aware of in
27 advance?

28 A. DR. HUGHES: No.

29 166 Q. Not something you had authorised?

- 1 A. I didn't authorise it but became aware of it.
- 2 167 Q. There shouldn't have been any particular need for that,
 3 should there, because you were regularly having
 4 meetings with senior management in the Trust? Maybe
 5 not regular but certainly occasional meetings with 14:18
 6 senior management within the Trust, including
 7 Mrs. O'Kane, the Medical Director at the time?
- 8 A. DR. HUGHES: Yeah, yeah. But I probably would not have
 9 been given structured progress report, and I think it
 10 was a structured progress report. 14:19
- 11 168 Q. Yes. One such meeting with Dr. O'Kane, if we could
 12 have up on the screen, please, TRU-161110. This is an
 13 e-mail which Mr. Stephen Wallace sends to himself,
 14 I think, for record purposes. As you can see from the
 15 subject, it's notes following a meeting with you on 14:20
 16 23rd October. If you just scroll down, it seems to be
 17 a progress update on what you'd discovered by that
 18 point. You can see reference to -- I'm not sure if
 19 I can quickly pick up on it but I believe Mrs. O'Kane
 20 was at that meeting and Mrs. McClements. What was the 14:20
 21 function of that kind of meeting?
- 22 A. DR. HUGHES: That was very early stages. That is what
 23 you'd call early learning, early action, and it was in
 24 the progress, was there any immediate actions needed to
 25 be taken. It's pretty standard within an SAI that if 14:20
 26 you discover some calamity that needs immediate action
 27 so that was very early feedback, and you can see from
 28 the date it's 26th --
- 29 169 Q. 23rd October?

- 1 A. DR. HUGHES: of October. But even at that stage, we
 2 had a reasonable view of some of the issues that were
 3 arising.
- 4 170 Q. In terms of how you would score the independence of
 5 your process, you'd some concerns about a perception of 14:21
 6 a conflict on the part of some of your members, but
 7 overall, were you able to get on with your work without
 8 fear or favour?
- 9 A. DR. HUGHES: we were able to get on with our work
 10 without fear or favour in its totality, and I do not 14:21
 11 recall any amendments or the Southern Trust accepted
 12 the report in full without any amendments. The issue
 13 about feeding back at an early stage was in terms of
 14 Patient Safety, and it's about what you know and making
 15 sure that the services are safe, and they would have 14:22
 16 the requirement to do that.
- 17 171 Q. Yes.
- 18 A. DR. HUGHES: I think being aware of the potential for
 19 conflict of interest is the first step and to have that
 20 in the forefront of all the discussions. 14:22
- 21 172 Q. Yes. I mean the Inquiry will judge for itself. There
 22 are some criticisms of the Trust process and governance
 23 arrangements, but equally, and perhaps not intended in
 24 a learning document, but certainly Mr. O'Brien would
 25 interpret the remarks directed to his practice as being 14:22
 26 critical of his performance. Was the Trust pushing any
 27 particular agenda towards you and your team in terms of
 28 Mr. O'Brien?
- 29 A. DR. HUGHES: No, no. We had feedback on the basis of

1 patient concerns and Patient Safety. I don't believe
2 they were pushing any agenda.

3 173 Q. within your statement -- I don't need to bring this
4 up -- you talk about how the team worked. You talk
5 about meetings that happened weekly or perhaps
6 bi-weekly, depending on progress. You say that the
7 process was very much one of consensus?

14:23

8 A. DR. HUGHES: Yes.

9 174 Q. That Mr. Gilbert would provide his reports through
10 several drafts, they would be circulated for comment
11 and discussion, and it was an iterative process before
12 you eventually reached a final view, bringing together
13 both the Clinical and the Governance.

14:23

14 A. DR. HUGHES: I think that's a fair description. It
15 would be an iterative approach benchmarked against
16 expected best practice.

14:24

17 175 Q. You say at WIT-84159, if we can look at the second
18 observed bullet point just further down the page. You
19 were asked whether you recall any disagreement arising
20 with regard to any finding and/or conclusion and what
21 you say by way of response is:

14:24

22
23 "The SAI process was relatively straightforward in
24 terms of the identified clinical variation from
25 expected best practice."

14:25

26
27 You explain how Mr. Gilbert led that part identified
28 variation from declared standards and you say, just
29 going down into the second bullet point, that the

1 report has evolved. Yes, I thought there was an
2 additional point to make there.

3
4 Mr. Gilbert, perhaps could I have your view on it? Was
5 this variance that's talked about here and evident from 14:25
6 the SAI reports, was it --

7 A. MR. GILBERT: The variance.

8 176 Q. The variance?

9 A. MR. GILBERT: Do you mean the different drafts or the
10 variation -- 14:26

11 177 Q. Sorry, the variance in the delivery of clinical care
12 from the expected standards?

13 A. MR. GILBERT: Yes.

14 178 Q. It's recorded by, just scroll down again, please, so
15 it's said here: 14:26

16
17 "The process was relatively straightforward in terms of
18 the identified clinical variation from expected best
19 practice."

20 A. MR. GILBERT: Yes. All I did was to go through the 14:26
21 timeline for each patient, describe the pathway, and
22 point out any particular area which may have varied
23 from what would be a reasonably expected standard of
24 practice.

25 179 Q. Did the conclusions on that, the findings of variation 14:27
26 from expected standard of practice, did that come
27 relatively easily in most cases, or were there
28 complications that had to be worked through?

29 A. MR. GILBERT: No, it was a straightforward process and

1 much of the reiteration was more about style rather
2 than substance, so that there was a uniform way of
3 presenting the information. There was also reiteration
4 in the light of some corrections or observations by
5 family, which I was happy to include, but the main body 14:27
6 of each report essentially state the same, from my
7 initial draft through to the final report.

8 180 Q. Yes. You set out in your statement, Mr. Gilbert,
9 something of a chronology, and I don't intend to delve
10 too deeply into each of the stages for the purposes of 14:28
11 your evidence, but it might be just helpful to show the
12 Inquiry that, at WIT-85887, paragraph 1(e). The
13 initial meeting took place, and I am going to bring you
14 to that meeting shortly, on 12th October. Then you
15 describe the people present there, we will go to the 14:28
16 record of that shortly, but scrolling down to
17 paragraph 1(j), you say that you submitted your first
18 draft of your piece to the Review on 5th November. By
19 30th November, this is paragraph 1(l), the team was
20 meeting to discuss the first draft reports. Then 4th 14:29
21 January, just scrolling down, maybe not -- wrong date.
22 Yes, paragraph 1(o), you proofread your first drafts
23 which had been annotated by the members of the review
24 group and return the revised documents on 4th January.
25 This is this iterative process you have referred to, 14:29
26 Dr. Hughes. Then the Review Group met on 24th January
27 to consider the second drafts that emerged from that,
28 paragraph 1(p). Some points from the discussions with
29 the families is being fed back to you. You didn't have

1 any direct involvement with the families, Mr. Gilbert,
 2 but you responded to these points as they arose, and
 3 then, as we can see in paragraph 1(q), you submitted
 4 a third draft compliant with the format which had been
 5 agreed at the 24th January meeting. Then I think I'm 14:30
 6 right in saying that a draft report was circulated to
 7 families, patients and Trust staff members, or at least
 8 was available to Trust staff members, by 16th March.
 9 Does that ring true for you, Dr. Hughes?

10 A. DR. HUGHES: I think so, yes. 14:31

11 181 Q. Yes. Then you say at paragraph 1(s), Mr. Gilbert, that
 12 a final version submitted on 19th April 2021. Over
 13 that period of drafting and redrafting, is much
 14 changing from the starter version or is it mainly
 15 matters of formatting and sign detail? 14:31

16 A. MR. GILBERT: It's matters of grammar, clarity in that
 17 I may have pitched the explanations at a level which
 18 would not be understood by the families and so the
 19 language needed to be modified. For that I needed the
 20 Review Team to point out where I was being a little bit 14:32
 21 too technical. But, to answer your question
 22 specifically, there was no real change in the substance
 23 of the recorded events, or the events as I interpreted
 24 them from the clinical records.

25 182 Q. Yes, 14:32

26 A. MR. GILBERT: No one said you can't write that or that's
 27 not true. The final report essentially is the same as
 28 the first draft.

29 183 Q. Yes. The process of the team working together,

1 Dr. Hughes, got moving before Mr. Gilbert was on board;
2 isn't that right?

3 A. DR. HUGHES: Yes.

4 184 Q. We will pull up a meeting on 10th September 2020,
5 TRU-163347. As we can see from the top of the page, 14:33
6 everyone is there. Mr. Gilbert hasn't been appointed.
7 Just scrolling down the page slightly. At that stage
8 it records that six cases, with one more to follow, had
9 been identified. We will come on to how it became nine
10 shortly, but the situation was, Dr. Hughes, that the 14:34
11 Trust's governance arrangements were in control of
12 screening cases for SAI purposes. Those cases that met
13 the threshold was a decision for that process and then
14 handed to you?

15 A. DR. HUGHES: That's correct, and these notes were 14:34
16 summaries that were handed to us as a result of that
17 triage or screening process.

18 185 Q. Just scrolling down through those, I think it says six
19 but I think my note tells me that five, over the page,
20 please, there's three, four, and it seems that five 14:34
21 have been highlighted, I'm not sure if the note is
22 entirely good. If we just scroll down so we can see.

23
24 "Dr. Hughes advises that the team would conduct
25 a systematic review of what is expected in the pathway, 14:35
26 what has occurred in the patient's journey and might
27 say are the variants."

28
29 You had a clear view of how the work would be done at

1 that point?

2 A. DR. HUGHES: Yes. It would have been a simple pathway
3 timeline followed by expected timeline, followed by an
4 assessment of variants.

5 186 Q. There's then discussion of a draft Terms of Reference 14:35
6 and the following were agreed. Just scrolling down.
7 I think I'm right in saying that those terms don't,
8 although they are in draft, don't significantly change,
9 albeit that they weren't agreed by the Health and
10 Social Care Board until a process of family engagement; 14:36
11 is that right?

12 A. DR. HUGHES: That's standard practice. The first thing
13 you should do is tell the family about the process and
14 ask for their input into the Terms of Reference,
15 otherwise you are presenting them with a fait accompli 14:36
16 and it's not appropriate.

17 187 Q. Just scrolling down the page further, just looking at
18 that page, Patricia Kingsnorth advises that a urologist
19 is being commissioned and they hope to be available for
20 the next meeting. That was obviously you, 14:37
21 Mr. Gilbert, and you have explained the various
22 machinations around that?

23 A. MR. GILBERT: Yes.

24 188 Q. Just moving then. The full team then got together on
25 12th October, and you attended that meeting, 14:37
26 Mr. Gilbert. The reference for that meeting is
27 TRU-162286. We can just see, at the bottom of the
28 screen there, that you advised that there are now eight
29 cases?

1 A. MR. GILBERT: Mm-hmm.

2 189 Q. You emphasise the importance of everyone having the
3 same information and that was going to be accessible
4 via the electronic system egress. Just scrolling down
5 the page, just stopping there. There's a reference to 14:38
6 the principles that you would apply, Dr. Hughes. You
7 have said:
8
9 "Everything that will be done will be scrutinised".
10 You advised it's important that you take the same 14:38
11 approach to all cases. Was that simply emphasising the
12 importance of procedural consistency in how you went
13 about your work?
14 A. DR. HUGHES: I think it's advising people of having
15 a structured approach, and an approach which is 14:39
16 consistent, but it's also a approach which is based on
17 evidence.
18 190 Q. Reference to medical opinion:
19
20 "District general hospital consultants should be able 14:39
21 to give peer opinion."
22
23 That seems obvious but what were you getting at there,
24 assuming it was you?
25 A. DR. HUGHES: Yeah, I think we have to benchmark like 14:39
26 with like, so if the practice that we were looking at
27 is in equivalent to an English district general
28 hospital, that's where we would seek our expert from.
29 191 Q. At the bottom of this page you talk about family

1 expectation and the need to involve them with the Terms
 2 of Reference, a point we have already made. Then the
 3 top of the next page, please. Here Mr. Gilbert advised
 4 that if it's to be a multidisciplinary review, I think
 5 it says, that's maybe a question, should there be an 14:40
 6 oncologist on the Review Panel? And Patricia
 7 Kingsnorth advised there's two ways of doing this,
 8 having somebody on the Panel or ask for an Oncology
 9 opinion which wouldn't delay the process. Mr. Gilbert
 10 adds his view that you need to have an Oncologist for 14:41
 11 reviewing a case. Mr. Gilbert would do the primary
 12 case review, what a Urologist or Oncologist would do
 13 better". Maybe that's a bit of a difficult note, but
 14 you seem to be emphasising, Mr. Gilbert, the importance
 15 of having support from an Oncologist in the process? 14:41

16 A. MR. GILBERT: My view was that this was a review of
 17 a multidisciplinary team and, therefore, the body doing
 18 the review should reflect an MDT.

19 192 Q. Yes.

20 A. MR. GILBERT: There were some of the skills that we 14:41
 21 would expect to see, Cancer Nurse Specialist, for
 22 example, but I felt that an Oncologist would be
 23 reasonable. However, timelines overtook, and what
 24 I did was I essentially went through each case and, to
 25 be frank, I think it's fairly clear that an Oncologist 14:41
 26 won't add anything to what I've written already.

27 193 Q. It appears that the option was being made available to
 28 you, to perhaps seek an opinion if that was, in your
 29 view, necessary?

1 A. MR. GILBERT: Yes. I mean, I didn't find a need to
2 actually clarify any of the points around the
3 management, and I think that's obvious because the
4 concentration on this was around the decisions being
5 made by a Urologist and not necessarily within the MDT 14:42
6 itself, so I simply put myself in the position of
7 saying what I would have done, not what an oncologist
8 would have done.

9 194 Q. Yes. You go on to say, just a little bit further down
10 the page, that you had gone through the cases. Do you 14:42
11 see that? It's sort of the penultimate paragraph on
12 the screen.

13
14 "Q has advised he has gone through cases and knows what
15 they are about. Not entirely black and white, happy to 14:43
16 provide questions for oncologist to consider."

17
18 Just on that, you've explained that when you went
19 through the timeline perhaps in more detail, you ruled
20 out the need for an oncologist. Can you recall what it 14:43
21 was about Mr. O'Brien's work that wasn't, at least at
22 first blush, black and white for you?

23 A. MR. GILBERT: I think I hadn't been given enough time to
24 come to a definitive review so I was maintaining
25 a position of open-mindedness. As I went through in 14:43
26 more detail matters clarified and, in fact, I didn't
27 really need the opinion of an oncologist because,
28 within this gentleman's practice, there didn't seem to
29 be a need for an oncologist, so I was really just

commenting on what he had done. If he had consulted with an oncologist and there had been some sort of discussion, then I would have said what would that discussion look like for me and an oncologist but, in fact, Mr. O'Brien rarely, if at all, spoke to oncologists so there was no point in making any consideration of that.

14:44

195 Q. One way of viewing the descriptor black and white is to say, I was looking at some of these cases and I was unsure whether that was good practice or practice that wasn't possibly so good or varied from the guidelines. Is that what you are getting at there at all?

14:44

A. MR. GILBERT: what I'm getting at is that Mr. O'Brien seemed to be practising in an isolated way with very little interaction with other people. Therefore, the decisions are those specifically of a urologist, and my judgments became more concrete, that the more I read, then the more I reflected on what I might have done under those circumstances.

14:45

196 Q. Scrolling on down, one can see that you have said that you have been given huge files and have gone through them, all apart from, and we have the initials for a patient there who appears to be Patient 5, or Patient C in your language. We needn't go into the detail of your summaries there, but it seems that within a short few weeks of your appointment, you were able to make some clear view about the cases?

14:45

A. MR. GILBERT: I think that's testament to the manage the of the information given to me by Southern Trust.

14:46

1 I mean, the records were complete, legible, properly
2 redacted and relatively easy to go through. It was as
3 if I had the volume in front of me.

4 197 Q. Yes.

5 A. MR. GILBERT: It was a straightforward process. 14:46

6 198 Q. Yes. I think, Dr. Hughes, I didn't pick it up on the
7 screen for you, but there was maybe something of
8 a complaint from you in the notes that, at this stage,
9 you had been involved since August, I think you said,
10 possibly September, and yet the number of cases coming 14:47
11 in the direction of this process hadn't been settled.
12 Maybe that doesn't ring a bell. I can bring you to the
13 record if you wish.

14 A. DR. HUGHES: I can't actually recall that but it may be
15 something I might have said. 14:47

16 199 Q. We can pass over that. I suppose the question I wanted
17 to ask you was, you've explained that the process of
18 identifying cases for SAI purposes, or screening them
19 in, was none of your business; it was done by the
20 screening governance process. The cases that did come 14:47
21 your way, were you satisfied that they all met the
22 threshold for SAI or was that something you didn't give
23 any consideration to?

24 A. DR. HUGHES: No, it was something I gave consideration
25 to. I think they all met the threshold for 14:48
26 consideration for an SAI. I don't think they all met
27 the consideration for a Level 3 SAI. Patient 8 was
28 a TURP where the diagnosis of cancer was missed due to
29 a late notification or a late awareness of a pathology

1 report and that might be a level 1, but as it was part
 2 of a combined group, I didn't have any problem with the
 3 range of SAIs. The reason I didn't really want to get
 4 into the triage process was because I knew there would
 5 be ongoing further cases coming on and possibly going 14:49
 6 into another process, and I didn't really want to --
 7 I wanted to put a Chinese wall between that work and
 8 the work we were doing with the SAIs.

9 200 Q. You make that point in your statement. Maybe we will
 10 just bring it up and explore it a little. WIT-84153. 14:49
 11 You say at (iv) that you were:

12
 13 "... aware of an ongoing process to perform a lookback
 14 exercise and ongoing triage of cases as potential
 15 SAIs". 14:49

16
 17 You go on to say: "As chair of the SAI process I did
 18 not seek nor was I given any further details regarding
 19 outcomes of triage to SAI thresholds where subject
 20 [quotes] believing this would be inappropriate." 14:49

21
 22 You wanted to maintain the independence of your SAI
 23 process.

24
 25 You were aware in the background that there was this 14:50
 26 other process, but you wanted to keep out of it?

27 A. DR. HUGHES: Yes, that's correct.

28 201 Q. You may now know, and we have asked you a question
 29 about this, that because of an agreement reached at

1 what has become known as the Urology Assurance Group,
2 which is an amalgam of officials from the Trust, the
3 Department, PHA and HSCB, there would have been no more
4 SAIs brought through as a result of Mr. O'Brien's
5 practice, that other cases were going to go this SCRR 14:50
6 route. I just want to ask you some questions about
7 that. If we go to your witness statement at WIT-84174.
8 Just scroll up to the bottom of 173, if you would,
9 please. The question was:

10 14:51
11 "What, if any, view did you express to the Trust in
12 writing or orally on the merits of this decision?"
13 The decision being that there would be an SCRR process.
14 And you say, politely, not answering the question
15 directly, you say that: 14:51

16
17 "I believe that this approach would be constructive
18 provided patient and family engagement was adequately
19 addressed".

20 14:52
21 You say you have experience of this. I think it was
22 called structured judgment review, which has been
23 variously described and the Trust ultimately calls it
24 an SCRR. Back to the question you were asked, you were
25 asked did you advise the Trust in relation to the SCRR 14:52
26 process?

27 A. DR. HUGHES: I discussed the process with Dr. Miriam
28 O'Kane and I had said that I had some experience of it
29 and that it could work to deal with high volume in

1 a constructive, timely way. I did made the point that
 2 irrespective of what you do you have to do the same
 3 family engagement because you can't produce a result
 4 without engagement because that doesn't meet need. So
 5 my experience is that it can be timely but it often 14:52
 6 isn't, and it depends how it is structured, if it's
 7 multiple professionals reviewing a case twice and with
 8 or without family stories. If you do the family
 9 engagement before and after, it can be almost as --
 10 I don't like to use the word time-consuming -- it can 14:53
 11 take as much time as an SAI process. But, you have to
 12 find a meaningful way to address the clinical deficit
 13 and address concerns and assure you have got
 14 appropriate information, and also address family and
 15 patient need. 14:53

16 202 Q. Yes. Your view about the need for family engagement
 17 chimes with the recommendations contained in a recent
 18 RQIA, manage the assurance exercise, which has focused
 19 on the Trust's SCRR, and indeed its lookback process?

20 A. DR. HUGHES: Yeah. 14:54

21 203 Q. They make exactly that point, that the deficit, or one
 22 of the deficits, in the Trust's SCRR process, which is
 23 still ongoing, is that there's only family engagement
 24 at the back end, as the report is finished and signed
 25 off; there isn't family engagement at the commencement. 14:54
 26 That seems to be what you saying here?

27 A. DR. HUGHES: Yeah, it's likely that the SCRR -- I will
 28 get the words right -- structured judgment reviews will
 29 have the same underlying background of absent Clinical

1 Nurse Specialists, and it's likely that the
2 communication and the understanding is similar to what
3 we found in the nine SAIs. So I think you have to
4 address that deficit in any structure judgment review
5 because it will be the same as what we found in the 14:54
6 nine. If the care isn't supported by Clinical Nurse
7 Specialists it's invariably less informed and patients
8 are often not fully knowledgeable of the pathways and
9 of various illness.

10 204 Q. Yes. As I understand it, the structured judgment 14:55
11 review derives from a model formulated by the Royal
12 College of Physicians. Just to take your observations
13 and perhaps, Mr. Gilbert's observations on this. The
14 RQIA has said of the Trust's process, SCRR process,
15 that another deficit is that it's not gathering 14:55
16 information on governance issues, whereas the Royal
17 College's model would be more geared towards that.
18 Again, is that something that you think ought to form
19 part of an SCRR arrangement?

20 A. DR. HUGHES: I'm not sure I agree with the RQIA on 14:56
21 that. I think if you do a proper structured judgment
22 review, you will pick out the same variance in care and
23 you will be able to make the same inferences. I think
24 the thing that probably is missing from the Southern
25 Trust process is coming to families afterwards and 14:56
26 saying this is what we found, without asking them in
27 advance
28 what do you know?

29 205 Q. Yes. Mr. Gilbert, have you experience -- well, you

1 clearly have experience of this structured judgment.

2 A. MR. GILBERT: Yes. I mean, this structured judgment
3 review was introduced around about 2019, I think, and
4 is now used across surgical departments in order to
5 look at adverse incidents. My experience with it has 14:56
6 been that we allocate a Registrar to go through the
7 case and then present it so that the group, as a whole,
8 can identify learning points and any gaps in governance
9 issues. To me there are an awful lot of algorithms
10 about this, but essentially the same process applies 14:57
11 across, which is, you want to know what happened and
12 why it happened, and from that you can learn. It
13 doesn't matter what you label it as. The importance of
14 family involvement is essentially to allow them to
15 understand the processes that we go through. I'm not 14:57
16 entirely certain they contribute other than to give us
17 an important perspective on what we are doing to our
18 patients.

19 206 Q. Yes. I want to move now, for the next while, to look
20 at while Mr. Gilbert was completing his thoughts 14:58
21 leading to draft 1 and then draft 2, you were beginning
22 the process, Dr. Hughes, having learned what had gone
23 wrong here in terms of departures from or variations
24 from the standard guidelines. You were wanting to go
25 out to speak to staff to understand the why has that 14:58
26 happened, and something of the governance arrangements.
27 You refer in your statement, if we can bring up 814455,
28 your initial meetings were with core members of the MDT
29 to understand the context of care. Then, after

1 identifying the care deficits, you had -- it doesn't
 2 look like the reference I want. 84154. I think we can
 3 get by without the reference. The context is this:
 4 That you initially wanted to speak with some of the
 5 core members of the MDT, and I think for that reason, 14:59
 6 perhaps, you started your series of meetings, so far as
 7 I can work out from the documents available, with
 8 Mr. Glackin?

9 A. DR. HUGHES: Yes.

10 207 Q. who was the then Clinical Lead. You have reflected, 15:00
 11 I think, that, just as a general point, not
 12 specifically Mr. Glackin, but you have reflected that
 13 the conversations with staff were difficult, but you
 14 obtained significant learning for your purposes. What
 15 was difficult about the meetings from staff 15:00
 16 perspective?

17 A. DR. HUGHES: I think there was a concern that the
 18 question had moved from what happened to how it
 19 happened, and I think they were probably reflecting on
 20 what role they had in this and what were their 15:00
 21 responsibilities. I think the meetings, when I say
 22 difficult, I think it was difficult for the staff, it
 23 was stressful. I think particularly for the Clinical
 24 Nurse Specialists who felt this deficit would be seen
 25 to be their deficit, and I think they are incredibly 15:01
 26 anxious about that. Part of the process was to
 27 reassure them that this was a learning tool and an
 28 improvement tool, but they were very anxious about
 29 oncoming and upcoming Urology Services Inquiry.

1 Perhaps some of the findings, I found almost
 2 inexplicable. When you have the resource for
 3 a Clinical Nurse Specialist and everybody understands
 4 the benefit of it, I couldn't understand why patients
 5 didn't receive that care. The other thing I was very 15:01
 6 aware of, because it was an independent review, the
 7 staff weren't actually engaging with the families and
 8 the experience and so myself and Patricia Kingsnorth
 9 and Carly from - we would meet with the families and
 10 hear these stories of people being unable to access 15:02
 11 basic care, continence care, trying to access GPs at
 12 time of Covid, having to go to ED when you are
 13 suffering from cancer because there was nowhere else to
 14 go, and I think these were difficult conversations.

15 208 Q. Did it come across, and we will look at the specifics 15:02
 16 in a moment, I'm just trying to put some of the
 17 headlines out on to the table. There was this sense of
 18 difficulty. Did it come across as defensiveness on the
 19 part of some staff?

20 A. DR. HUGHES: Some staff. Others were quite shocked and 15:02
 21 because cases were not being brought back to the MDT,
 22 nobody had full knowledge of the deficits patients
 23 suffered. If a patient was being dealt with in
 24 isolation without the supporting environment and didn't
 25 have a holistic baseline assessment or was not being 15:02
 26 brought back to the MDT, the other team members would
 27 not know about it.

28 209 Q. But some of the things, just again unpacking some of
 29 this, the headlines. What was clearly known, I think

1 you were able to establish, and we will go to the
2 evidence for this in a moment, it was clearly known
3 that nurses, specialist nurses weren't involved with
4 these patients?

5 A. DR. HUGHES: Yes.

15:03

6 210 Q. Not just these patients, but it had gone back some
7 time. The second thing that seemed to be known was
8 that Mr. O'Brien had a particular practice in respect
9 of the use of Bicalutamide?

10 A. DR. HUGHES: Yes.

15:03

11 211 Q. which, in the opinion of some, to put it neutrally, was
12 at variance with the guidelines. Those two factors
13 were known?

14 A. DR. HUGHES: Those two factors and Mr. Glackin referred
15 to that. The Nurse Specialist bit was known but was
16 seen to be like a long term problem that nobody could
17 address, and it was just there but not dealt with.
18 I think variance from MDT recommendations was not
19 known.

15:04

20 212 Q. One of the others, and we will look at that and how
21 that could have happened and what that said to you in
22 terms of culture and governance in a moment but another
23 sort of looking at this at a high level, another
24 feature of what you discovered through these meetings
25 was, not to put too fine a point on it, the disconnect
26 between Cancer Services on the one part, MDT on the
27 other, so that the former seemed to exist in a bit of
28 a vacuum from the latter?

15:04

29 A. DR. HUGHES: Yes. The senior cancer management team

1 seemed to have little insight and knowledge about the
2 difficulties of the Urology team and, in terms of
3 quorate numbers in terms of the actions that were
4 required to meet appropriate standards of care, it was
5 an intense source of frustration for the Urology MDT 15:05
6 because they felt they were handling an increased
7 workload, maybe up to 400,000 with a newly
8 configuration of services. Some services,
9 dysfunctionality between Consultants and nobody
10 external to support them, to achieve a better outcome. 15:05
11 When I discussed it with Dr. Tariq and Mr. McCaul,
12 I was kind of shocked at their lack of understanding.
13 213 Q. Yes. We will come to that just now. We will start
14 with Mr. Glackin and run through them in some kind of
15 chronological order. You saw Mr. Glackin, I think it 15:06
16 was a telephone conversation, for the first time on
17 30th November. You were subsequently to meet him as
18 part of the multidisciplinary team a little later in
19 your process?
20 A. DR. HUGHES: Yes. 15:06
21 214 Q. WIT-162250. Okay. So a telephone conversation with
22 Mr. Glackin, you attend with Mrs. Kingsnorth. You
23 start the meeting, Dr. Hughes, by introducing the
24 Clinical Nurse issue?
25 A. DR. HUGHES: Mm-hmm. 15:08
26 215 Q. You told Mr. Glackin that the families had had no
27 involvement with the Clinical Nurse Specialists, and
28 you are asking was that unusual. Mr. Glackin's answer
29 appears on the screen here, seems to be one based on

1 resources. His explanation is about the resource to
2 provide Nurse Specialists in this context. He didn't
3 seem to indicate at this meeting that this was an issue
4 which was other than resources?

5 A. DR. HUGHES: Yeah. At that stage I was unsure if it 15:08
6 was a funding issue, was it a locality issue, because
7 they'd expanded their areas, and Mr. Glackin reflected
8 that, I think. It was only later when I found out
9 that, you know, even if you didn't have a nurse at the
10 clinic did you give the number, and it turned out that 15:09
11 all other Consultants did use Nurse Clinical
12 Specialists. It was just the exception of Mr. O'Brien
13 who didn't.

14 216 Q. Yes. Mr. Glackin, of course, signed off on the 2017
15 Peer Review document, which I opened earlier. His 15:09
16 contribution to that was to recognise that, in
17 2016/'17, this service had been granted additional
18 resources to bring further nurse specialists into the
19 system?

20 A. DR. HUGHES: Yes. They had increased their number of 15:10
21 nurse specialists to five, and they had stated that all
22 patients had access to a Clinical Nurse Specialist,
23 which wasn't factually correct.

24 217 Q. In light of what you were to hear subsequently about
25 Mr. O'Brien's exclusion of Cancer Nurse Specialists, 15:10
26 this can't have been a candid answer that you were
27 receiving from Mr. Glackin?

28 A. DR. HUGHES: My views at that time were forming.
29 I didn't know for a fact, and it was only later that

1 I fully understood that (a) was there the resource, and
 2 (b), that selectively, one professional did not use
 3 that resource, and certainly Mr. Glackin didn't put it
 4 in those terms.

5 218 Q. I know that you'll recall, and we will come to this 15:10
 6 later, that the three employees from the Cancer Service
 7 wrote when your draft report was ready and put changes
 8 into the report?

9 A. DR. HUGHES: Yes.

10 219 Q. They raised the issue about, we would like you to 15:11
 11 specify in your report who knew and who didn't know
 12 about this nursing issue. Your response to that, I can
 13 bring it up later, if necessary, was that you were
 14 appreciative of those who were candid with you in the
 15 process of investigating how this had come to be. Did 15:11
 16 that reflect the view that there were some staff who
 17 weren't entirely candid with you?

18 A. DR. HUGHES: Yes. I think I respond that way because
 19 I regarded the comment as verging on bullying in trying
 20 to seek out who knew and who didn't know. It was very 15:12
 21 clear that the nurses and the Urology Services Manager
 22 was very clear and honest and open about not being able
 23 to assure that all patients got access. It was SAI
 24 learning outcome and I thought it was verging on blame
 25 culture, I thought that was unhelpful. 15:12

26 220 Q. Yes, yes. We will come to that piece in a moment or
 27 later, perhaps. Moving just down to this now to the
 28 Bicalutamide issue, if we can just find that. You DH
 29 advised that AOB prescribed off guidance which didn't

1 adhere to NICA guidelines. He appeared to ignore the
2 recommendations from MDT in relation to the
3 prescription of Bicalutamide without patient informed
4 consent. Then Mr. Glackin indicated that he was aware
5 of this.

15:13

6 A. DR. HUGHES: Yes.

7 221 Q. He advised you that this would have been challenged at
8 MDT. He advised the practice for prescribing to MDT
9 had changed in the last six years, the cases are
10 discussed, each case reviewed in advance by
11 a Consultant Urologist, the chairing is rotated, this
12 was done to share the workloads as opposed to monitor
13 the practice of colleagues. The question around
14 Bicalutamide 50 milligrams use would have been
15 challenged but not minuted.

15:13

15:13

16
17 You went on to say:

18
19 "Once a patient's care was discussed in MDT this was
20 named to the named Consultant to continue the patient's
21 care. No one was looking over the shoulders of others
22 to check that the work was done".

15:13

23
24 Mr. Gilbert, in light of what you said this morning
25 about the usage of 50 milligrams, if that was known to
26 Consultant Urologists, and indeed if Oncologists were
27 there, which appears to be rarely, that is something
28 that an MDT would be expected to challenge?

15:14

29 A. MR. GILBERT: Yes.

- 1 222 Q. Because if somebody is using 50 milligrams outside of
2 the anti-flare scenario, I think you pointed to one
3 other potential use for it, if it was being used in the
4 way that is being suggested here, that would, in your
5 opinion, I know Mr. O'Brien wishes to have me explore 15:14
6 with you some issues around that, but, in your opinion,
7 that is something that an MDT would challenge, should
8 challenge?
- 9 A. MR. GILBERT: would and should challenge, yes.
- 10 223 Q. Yes. 15:15
- 11 A. MR. GILBERT: The indications we have already discussed.
- 12 224 Q. Yes.
- 13 A. MR. GILBERT: Licensing we have already discussed. The
14 rationale for giving 50 milligrams on one level is not
15 made clear, and the decision is to modify the MDT 15:15
16 decisions or the MDT recommendation is not annotated in
17 the notes, or not alluded to in the notes, and
18 certainly doesn't include the MDT either.
- 19 225 Q. Is it surprising, in your view, that if this is
20 challenged, and perhaps challenged on a number of 15:15
21 occasions, that it (a) isn't minuted, and (b), not
22 escalated?
- 23 A. MR. GILBERT: It's difficult to comment because it's
24 a very unusual series of events. There aren't many
25 MDTs up and down the country in which someone insists 15:16
26 on giving a particular type of treatment out with the
27 guidelines and recommendations. It's a rare event.
28 I can only think of one instance where one of the
29 senior Oncologists was quite keen on giving a very

1 large dose of Bicalutamide and for pharmacological
2 reasons he said, but we all rounded on him and he
3 immediately stopped doing it. That was just
4 a misunderstanding. It wasn't done in an aggressive
5 manner. It was done in a collegiate manner, and that's 15:16
6 what the MDT should be about; everybody informing each
7 other and supporting each other, and being open and
8 honest about what they are doing and why they want to
9 do it.

10 226 Q. For the record, Mr. O'Brien says he had never been 15:17
11 challenged and it's never been escalated because he has
12 never been challenged and, therefore, not at all
13 surprising that it's not minuted if it hasn't been
14 challenged. Assuming Mr. Glackin is right, Dr. Hughes,
15 that he was challenged but not minuted, and he says he 15:17
16 was just allowed to get on it, nobody was looking over
17 his shoulder, what does that say in plain Governance
18 terms for you?

19 A. DR. HUGHES: well, it's a laissez-faire attitude to
20 Governance. Governance only works if everybody takes 15:18
21 their role and responsibility seriously and that means,
22 as it says in the guidance that you read from this
23 morning, everybody has a responsibility for patient
24 care. If you are a member of a team, you have to act
25 upon issues. I think an MDT would have been an ideal 15:18
26 situation to do it by getting a collegiate group to do
27 this, that was difficult thing to do. I also think
28 they should escalate it to line management above them,
29 their clinical leads, their Associate Medical Director

1 because it is very difficult sometimes to manage within
2 a dysfunctional group of professionals and we have to
3 recognise that. But there were options to address
4 this. You could either address it as a collegiate
5 group or they could escalate it to those with line
6 management responsibilities. 15:18

7 227 Q. One of the difficulties, I suppose, was the Associate
8 Medical Director, certainly from 2017, Mr. Haynes was
9 a member of the MDT. I think perhaps it's what you
10 have alluded to, Mr. Gilbert. It is perhaps difficult 15:19
11 and colleagues have to be, I suppose, brave and step
12 outside the zone to raise complaints, escalate
13 complaints about colleagues?

14 A. MR. GILBERT: It's absolutely necessary. It's a duty.
15 We are very privileged to practice, but that comes with 15:19
16 a series of roles and responsibilities, and one
17 responsibility is to ensure Patient Safety, not just
18 for your own patients but those around you. If you see
19 anything that isn't as it should be, or you think it
20 isn't as it should be, then if your peers don't take 15:19
21 notice, then you escalate, and you escalate until you
22 get a satisfactory answer. That has to be the truth,
23 the rule that you adhere to.

24 228 Q. Sometimes, a note, Dr. Hughes, doesn't do justice to
25 the nuances of a conversation. Obviously this is 15:19
26 conversations down the phone. In light of your
27 expectations from a Governance perspective about how
28 this laissez-faire approach was allowed to predominate,
29 did you respond saying are you serious, it wasn't even

1 recorded, let alone escalated or was your role not to
2 be, I suppose, judgmental in that context?

3 A. DR. HUGHES: Yeah. I try to make sure I'm not
4 judgmental, because I want to get as much information
5 as possible and to address it. I'm sure he understood 15:20
6 that I couldn't understand the actions, but
7 unfortunately, there were similar actions out with the
8 Trust from Oncologists, which you will probably come
9 to, who also knew of the practice, wrote directly, but
10 didn't escalate. So it's not unique to the Southern 15:21
11 Trust, I have to say.

12 229 Q. The next issue you cover just below this, before we
13 have a short break, just to finish this, you talk about
14 disease progression with him. You ask -- sorry, you
15 say, just at the top of the screen, halfway down now: 15:21

16
17 "Advised that often the patients involved in the review
18 were not represented to MDT when their conditions
19 deteriorated."

20 15:21
21 I'm not sure what particular patients you might have
22 had in mind. I know from the facts, for example, of
23 patient A or Patient 1, that he went into retention in
24 March 2020, having been before the MDT at the end of
25 October. The recommendation was to start ADT and to 15:22
26 refer to Oncology for EBRT, none of which had happened,
27 according to your report. Seemingly a deterioration in
28 March with retention. We are in the middle of Covid at
29 that time, March 2020. Was that the kind of case that

1 should come back?

2 A. DR. HUGHES: Yeah. I mean, I think we are focusing on
3 Bicalutamide here, but we must remember the three
4 patients who were referred in and ended up on
5 Bicalutamide also didn't have referral to Oncology, 15:23
6 which is probably a much more major issue, and
7 certainly not referral to Oncology in a timely fashion.
8 Patient 1 developed complications because he hadn't
9 been referred to Oncology in a timely fashion. I just
10 want to get the numbers right here. Patient 6 wasn't 15:23
11 referred to Oncology at all. Patient 9 had a very
12 delayed diagnostic pathway and presented as a quite
13 complex, unfortunate complication, and the MDT
14 recommendation wasn't acted upon. He wasn't referred
15 to Oncology and he didn't get a Clinical Nurse 15:23
16 Specialist, despite having particularly complex
17 personal needs.

18
19 One of the first things we did when we did the family
20 engagement, we met that gentleman and Patricia 15:24
21 Kingsnorth organised --

22 230 Q. Which particular patient?

23 A. DR. HUGHES: Patient 9. Patricia Kingsnorth organised
24 clinical care, community nursing to support this
25 gentleman. So we went out to an engagement piece, 15:24
26 where we did end up doing direct care.

27 231 Q. Yes. I suppose when you look at the two issues that we
28 have just touched on, the Bicalutamide and then the
29 issue of not bringing patients back for review,

1 Mr. Glackin is saying, we simply wouldn't know whether
 2 a patient has disease progression or whether he has
 3 been brought back to fit or whatever. What is the
 4 solution for that? Is the solution different types of
 5 tracking or different types of monitoring in Governance 15:25
 6 terms?

7 A. DR. HUGHES: The first solution would be to have
 8 a Clinical Nurse Specialist who does a holistic
 9 baseline assessment and does another assessment as your
 10 needs change. There is little point in having 15:25
 11 a palliative care team sitting at an MDT if you can
 12 only access the first presentation. It makes no sense.
 13 The reason you bring more complex patients back to an
 14 MDT is to get the benefit for all these
 15 multi-professionals and that's about doing the right 15:25
 16 thing for the patient at the right time, and that's
 17 about having the right support. Unfortunately, this
 18 cohort of patients didn't have that right support in
 19 terms of Clinical Nurse Specialists, but that would not
 20 stop anybody else re-referring them to get access to 15:25
 21 this care.

22 232 Q. Just finally, just going to the bottom of the page,
 23 Mr. Glackin comes back to deal with the nursing issue.
 24 It says that his patients have access to the CNS and
 25 are referred to palliative colleagues for support. He 15:26
 26 described Mr. O'Brien as a holistic physician
 27 clinician. Can you contextualise that for us? Was
 28 that by way of an excuse or explanation or is that
 29 a compliment?

1 A. DR. HUGHES: I think Mr. Glackin has a misplaced
2 collegiate friendship with Mr. O'Brien and I think is
3 misjudged. In this day and age, to describe somebody
4 as a holistic clinician is really suggesting somebody
5 is working outside their fields of competence. You 15:26
6 can't deliver the roles of Clinical Nurse Specialist,
7 you can't deliver the roles of a Palliative Care
8 Physician, you can't meet patient need working in
9 isolation, and that's something that people need to be
10 protected from. I think the theme we are seeing here 15:27
11 is a professional, and maybe in his own best will, but
12 working in isolation from all other resources, and
13 patients not being able to access the resources that
14 others could, and resources that they should have.

15 233 Q. Just on the top of the next page, he goes on to 15:27
16 describe Mr. O'Brien's work at one of the satellite
17 facilities at Enniskillen where there's no nurse
18 available. You, as the conversation continues, talk
19 about the absence or the limited audit reports.
20 Mr. Glackin responds that he and Mr. Haynes were 15:28
21 involved in National Audit.

22
23 Scrolling down. You advised that you appear to accept
24 that the MDT was under-resourced and under-provided
25 within Oncology. You asked a specific question was 15:28
26 there any oncology concern about Mr. O'Brien,
27 Mr. Glackin wasn't aware. He is of the view that it
28 was a functional MDT. That's something you agreed
29 with?

1 A. DR. HUGHES: If you look at the quorate levels, 11% to
2 very, very low levels, and it could not have been
3 functional. There was particularly poor representation
4 of medical Oncology, and especially clinical Oncology.
5 Radiology didn't have double reading. People weren't 15:29
6 referring cases back to the MDT. There's lots of known
7 and there's lots of unknown unknowns, but the reason
8 they were unknown is because there wasn't process
9 audit, there wasn't manage the assurance, there wasn't
10 checks and balances in place. 15:29

11 234 Q. Just scroll down. There's discussion about
12 Mr. O'Brien's return to work after sick leave, and
13 about relationships and how they were strained for some
14 time, which may relate back to the MHPS. But in terms
15 of Mr. Glackin, he says: 15:30

16
17 "I have known him since before I was a medical student.
18 It's fair to say Mr. O'Brien is very helpful and
19 supportive of me in my role as Consultant. The current
20 investigation should be evenhanded and proportionate in 15:30
21 manner. You should be aware of the good things he has
22 done. "
23

24 Is that really where Mr. Glackin was coming from; he
25 saw the good in Mr. O'Brien as a human being and as 15:30
26 a person, and he had been kindly to him, but he was
27 allowing that, to some extent, to cloud his proper
28 judgment of important clinical and governance issues?

29 A. DR. HUGHES: I would believe so. I think Mr. Glackin

1 was in his remit as a student, under Mr. O'Brien and
2 that's why he became a doctor, so I'd say he has a lot
3 of personal investment in Mr. O'Brien as a person,
4 totally understandable but as a doctor he has to take
5 a step back, as somebody who is the lead for the MDT 15:31
6 has to step back and maybe would have been in a good
7 position to have discussions with Mr. O'Brien but
8 I think the power of differential was such that those
9 discussions weren't happening.

10 235 Q. I am struggling to find the reference on the screen. 15:31
11 If we could go to the middle paragraph, there's just
12 a point I want to raise with you, Mr. Hughes. That's
13 the very paragraph, thank you. Mr. Gilbert,
14 Mr. Glackin explains that one of the flaws of the MDM
15 process is that clinicians who are present may be 15:32
16 making a decision on patient care with incomplete
17 information, a decision is reached indicating a course
18 of action, but until you meet the patient in clinic and
19 then have to revise the management. Is that something
20 that's familiar to you, Mr. Gilbert? 15:32

21 A. MR. GILBERT: Yes, indeed. As I think I alluded to it
22 before, which is that these decisions in the MDT are
23 slightly made in isolation. It would be great if the
24 patient could be there as well but they are not. When
25 the decision is taken back to discuss with the patient 15:32
26 sometimes they may add some input, which means the MDT
27 decision is untenable or unworkable. Under those
28 circumstances, that discussion needs to be recorded in
29 the notes and it's perfectly reasonable to come to

1 a decision then but that decision needs to be relayed
 2 back to the MDT so that it can be understood as
 3 a learning point, but also as a definitive record of
 4 that patient's care, so that the whole of the team can
 5 be involved rather than it just being a decision
 6 between an individual and the patient themselves.

15:33

7 236 Q. So absolutely no difficulty in carrying
 8 a recommendation back to the patient and being unable
 9 to implement it, for whatever reason, as long as it's
 10 done in a procedurally proper way that you describe?

15:33

11 A. MR. GILBERT: Precisely, yes. There's no restriction.
 12 One of the big problems for the Urology MDT, to be
 13 frank, is that we deal with five cancer sites. Most
 14 other only deal with one. The pathways are all
 15 complex, sometimes they are intertwined. We deal with
 16 a large number of patients within those contexts, the
 17 Urology MDT probably sees as many as the Breast Cancer
 18 MDT does, for example, so busy, busy time.

15:34

19 237 Q. Yes.

20 A. MR. GILBERT: Nevertheless, the important cases for
 21 discussions are those that vary from what might be
 22 called standard practice. Very often what happens in
 23 a meeting is you get a description of a patient and the
 24 options are clear. Say, for example, a man with
 25 localised prostate cancer, he can either go on to
 26 active surveillance or consider radiotherapy and he
 27 needs to go and have those options explained to him.

15:34

28 238 Q. Yes.

29 A. MR. GILBERT: Very often by a Cancer Nurse Specialist

1 because they are well-placed. There is a reluctance to
 2 bring cases back because of the busyness, but it's
 3 those very cases which illustrates how we need to
 4 modify our practice within the context of dealing with
 5 real people rather than the almost theoretical aspects 15:35
 6 of the MDT, and that's an important discussion and an
 7 important learning point for people, and it's an
 8 incredibly important process to make sure that the
 9 patient is, in fact, getting the right treatment.

10 239 Q. Just finally on this document, if we can go to the top 15:35
 11 of the next page. There's a further indication perhaps
 12 of Mr. Glackin's defensiveness. He felt that the
 13 Minister had taken a disproportionate view, and this
 14 was prejudicial, appears to be a reference to the
 15 ordering of this Inquiry. 15:36

16 A. DR. HUGHES: Yes, yes.

17 240 Q. Leaving that meeting or that telephone discussion, what
 18 was your overall impression then of the culture? Here
 19 you have a significant figure in Urology Services,
 20 Mr. Glackin, Clinical Lead, quite an experienced 15:36
 21 Consultant Urologist within the Service, and he's
 22 standing over an MDT which he thinks is functioning
 23 well but rarely achieves a quorate, and he has a key
 24 member within it who he knows, it's his view,
 25 Mr. O'Brien might have a different view. He, that is 15:37
 26 Mr. Glackin, knows that a key prescribing issue isn't
 27 being handled well?

28 A. DR. HUGHES: Yes, I think it's something he has
 29 a personal connection with Mr. O'Brien for a very long

1 period of time and has allowed that to cloud his
2 judgment. That said, his judgment is based on opinion
3 and not facts and figures, because you could not be
4 happy with an MDT with a quorate levels, they certainly
5 kept those facts and figures and that will alone will 15:37
6 tell you (a) we are not supported. They had very few
7 attendances from Oncology, so that alone you would say
8 it's not a functional MDT and would not pass any sort
9 of Peer Review process. I think there's a culture of
10 acceptance, I think, you know, you take one step by one 15:38
11 step over a period of years and you end up in a bad
12 place. I don't think this was a deliberate attempt to
13 hide over things. I just think they slid down to a bad
14 place and had not really addressed the issues.

15 241 Q. I suppose the wider context, in fairness to 15:38
16 Mr. Glackin, is that they are running to stand still
17 wan Service that's under-resourced and doesn't appear,
18 and we will look at this in some detail, doesn't appear
19 to have the resources for proper tracking, proper
20 audit, proper monitoring? 15:38

21 A. DR. HUGHES: Yes, but they didn't seek them in terms,
22 and when this was pointed out their tracking was
23 insufficient they were quite defensive about it and
24 said that's what we are paid for it. You are paid to
25 keep patients safe, not to keep Minister's numbers 15:39
26 right. I think I suppose I have to be tempered in
27 this because people probably were genuinely trying to
28 do their best but very often made wrong judgments and
29 did wrong things. I think that's why we are here.

1 242 Q. Yes.

2

3 Chair, I have over shot by probably ten minutes in
4 terms of when I wanted to take a break. Do people need
5 a break?

15:39

6 CHAIR: Let me check if our witnesses are willing to
7 sit on until half past four today? Okay. If we take
8 five minutes and get back and finish at half past four.

9

10 THE INQUIRY ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS:

15:39

11

12 CHAIR: Thank you.

13 243 Q. Dr. Hughes, after your meeting with Mr. Glackin about
14 a month later, you sat down with the three managers,
15 both Clinical and Operational, in Cancer Services?

15:47

16 A. DR. HUGHES: Yes.

17 244 Q. You met with Barry Conway, who is the Assistant
18 Director of Cancer Services, on 29th December,
19 Dr. Tariq -- I think I may have been calling him Sadiq
20 earlier and apologies for that, and we will correct the
21 record if I have -- who was the Associate Medical
22 Director for Cancer Services and Dr. McCaul, who is the
23 Clinical Director for Cancer Services, meeting with
24 Tariq on 29th December and McCaul on 4th January. Just
25 before we explore what happened in those meetings, can
26 you help us in terms of the, I suppose the relationship
27 between Urology Services Cancer multidisciplinary
28 meeting or team, which is staffed with a number of
29 Consultant Urologists, albeit multidisciplinary

15:47

15:47

1 obviously by definition; how does that relate to Cancer
2 Services?

3 A. DR. HUGHES: Yeah. The Urology Services was part of
4 a different Directorate and their Governance went up
5 that pathway. Cancer Services was an overarching 15:48
6 structure which linked into all the Cancer Services,
7 but did not necessarily have governance responsibility
8 for that, and I think that was a critical weakness
9 because while the problems are in a cancer structure,
10 they didn't really have a good escalation structure to 15:48
11 get help, get support, and the Cancer Lead, I think was
12 probably reasonably new into post, had no understanding
13 of the issues within the MDT and Urology, and Dr. Tariq
14 had limited knowledge of the issues within the Urology
15 Service, because it was really very much seen as 15:49
16 a Service within a Service, and the collegiate benefit
17 you get from bringing all MDT leads together and having
18 a commonality of purpose, hadn't been put in place.
19 I think they might have had one meeting of such
20 a structure at that time. This is quite a long way 15:49
21 into the development of Cancer Service. You would have
22 expected at least a Cancer Services nominal Directorate
23 with the Leads meeting all the time, the equivalents in
24 the MDT sort of admin leads meeting so they can share
25 best practice so that you learn from where it's working 15:49
26 well and understanding that maybe your normal is not
27 normal, and that there may be better ways of doing
28 things and actually seeking collegiate support. It
29 seemed to be a very just dysfunctional and discrete

1 process.

2 245 Q. Yes. I'm not going to open each of the three meetings;
3 I am going to give the Inquiry the reference. Barry
4 Conway's meeting with you was 29th December and it's
5 referred to at WIT-84413. Dr. McCaul, the reference is 15:50
6 WIT-84420. I'm going to focus on Dr. Tariq, but before
7 I do so, is it fair to say that, broadly speaking, the
8 same themes emerge from speaking to the three of these
9 employees? Essentially you seem to reflect
10 a disconnect between that Service and the Urology MDT 15:50
11 so that, by and large, they did not know about the
12 issues impacting on that MDT in terms of clinician
13 performance. They didn't know about the nursing issue,
14 that's what they have told you. They didn't know about
15 the Bicalutamide issue. They didn't know about any of 15:51
16 those issues. The one issue that emerged I think was
17 their awareness of the oncological -- sorry,
18 a Radiology issue had been raised, I think, with
19 Dr. McCaul, for him to address the question of
20 attendance of Radiology. In terms of issues pertaining 15:51
21 to the MDT, they weren't engaged?

22 A. DR. HUGHES: No, they weren't engaged and they weren't
23 actually even over the Peer Review reports which, while
24 there would be matrices of information to be passed on
25 and shared externally by a manage the assurance 15:52
26 process, the Associate Medical Director was not aware
27 of any of the ongoing processes for Mr. O'Brien,
28 although he may have had need to know, seeing as
29 Mr. O'Brien was working in the Service that he was

1 professionally responsible for but that had not been
2 shared with him and I suppose maybe there's a judgment
3 on that.

4 246 Q. Let's pull up Dr. Tariq's meeting with you. Just in
5 the interests of time and because the issues are
6 relatively common between the three of them, we will
7 use his as a vehicle to explore that. It's WIT-84418.
8 Scrolling down, please. You introduce yourself
9 obviously, and the issues that you are exploring. You
10 mention the access to the nurse, and that that is an
11 issue. ST, just at the bottom, says to you he was
12 not:

15:52

13
14 "... aware of any concerns mentioned, any clinical
15 concerns would go through the speciality management
16 structure route."

15:53

17
18 Can I suggest that the routing of any issues through
19 the Service, through the Urology Services, is probably
20 as good a structure as any, but should there not be
21 some form of system to enable the overarching Cancer
22 Service to be aware of issues, whether professional or
23 operational, affecting that MDT?

15:53

24 A. DR. HUGHES: Yes. Irrespective of the fact he may not
25 have had professional line management or staff within
26 that area, he would have been responsible for the
27 safety and manage the of patients within that area.
28 You can't deliver on that unless you have information
29 and knowledge about the manage the of Service. I was

15:54

1 underwhelmed by the meeting and felt that while he had
2 a very significant role in the Trust, I don't think it
3 was being delivered in any meaningful way. Whether
4 that's because Urology MDT was a hot potato and
5 a difficult thing to deal with, I'm not sure. I didn't 15:54
6 see any collegiate approach where they would be
7 grouping together all the MDT processes, sharing best
8 practice, working together and, if there are
9 difficulties, you know, reflecting how other MDTs have
10 dealt with their resourcing difficulties. 15:55

11 247 Q. Yes. If we go over the page to 84419. It talks about
12 the question of PA for the MDT lead. That's a matter
13 for Urology. He says:

14
15 "The Cancer Services responsible for performance 15:55
16 targets, tracking of patients on cancer pathways and to
17 provide help and operational support to the tumour site
18 teams if it is needed."

19
20 Just on that, one of your concerns reflected in your 15:55
21 statement was that the tracking was limited to the 31,
22 62 day targets, and simply limited to that?

23 A. DR. HUGHES: Yeah. Tracking is a great resource if
24 it's used to its full extent. If you empower the
25 tracking team they will be able to expedite scans, 15:56
26 tests, they will act as a safety net, they will ensure
27 patients get timely care and also meet their targets.
28 But if you start from the point of counting the targets
29 and forgetting the other aspects of patient pathways

1 and patient care, you are putting the cart before the
 2 horse. Your primary responsibility is to the safety
 3 and manage the of care and good tracking does that, but
 4 tracking focused only on targets forgets the vast
 5 enormity of the things they could be doing, and that 15:56
 6 may be a resource issue, and that's something the Trust
 7 may have to reflect on. The culture was very focused
 8 on 31 and 62 days as opposed to ensuring nobody was
 9 missed out, people were re-referred, people got scans
 10 at the right time and you can see from a lot of the 15:57
 11 patients that we have looked at, the time limits of
 12 their care was quite poor.

13 248 Q. Yes. He says here that his service, the service that
 14 he has a responsibility for, encompasses
 15 a responsibility for tracking of patients. But then 15:57
 16 presumably you would agree with me that the tracking of
 17 patients is a function of Governance?

18 A. DR. HUGHES: Yes.

19 249 Q. It's a tool of Governance, perhaps?

20 A. DR. HUGHES: Yes. 15:57

21 250 Q. Is there an inconsistency here because he says
 22 "governance arrangements", and perhaps he means the
 23 management of practitioners lay with the primary team
 24 management structure. In other words, the Clinical
 25 Director and the Associate Medical Director? 15:58

26 A. DR. HUGHES: Tracking itself can be a useful governance
 27 tool if you do an exception report and review the
 28 things that would have missed it, and you would have
 29 picked up lots of cases had very long periods of time

1 and examined why that happened. That analysis was not
 2 being done. It was did they achieve a target or not.
 3 Although 31 and 62 day targets can be a blunt
 4 instrument they are sort of something patients
 5 understand, one month, two months, they can't be used 15:58
 6 as a tool to see why did that patient take so long, and
 7 I think you would have learned a lot from doing that
 8 quite simple piece of work.

9 251 Q. Yes. As this develops, you say in the two line
 10 paragraphs that sits by itself in the middle there: 15:58
 11

12 "People didn't realise the deficits of care was the
 13 absence of a key worker impacted on the patient's
 14 care."
 15

16 Dr. Tariq comes back and says, they, that is his
 17 Service "were removed from that process because the
 18 primary team' leadership is responsible for governance
 19 arrangements."
 20

21 Is that what left you with a sense that this is not
 22 satisfactory, that although it's his Service and, as
 23 you say, he has responsibility for the patients coming
 24 through this Service, he doesn't seem, on the basis of
 25 this, to be embracing any particular governance 15:59
 26 responsibility?

27 A. DR. HUGHES: I think when people start telling you what
 28 their responsibility is in a response, that's not
 29 a good place to be because they are actually saying

1 what they are not responsible for. Irrespective of
 2 a role in the Health Service, everybody is responsible
 3 for the care and safety of patients, and these were
 4 major deficits. I didn't get the understanding that he
 5 really understood some of the deficits and the absence 15:59
 6 of a key worker, absence of what they actually did, and
 7 the fact that, as long as the governance lay elsewhere,
 8 I think when you have got services split across
 9 different line management, and this is not unusual, you
 10 need to have good collegiate ways of working, good 16:00
 11 communication, good organisation, or else you will have
 12 patients fall between gaps and stools, and I think
 13 that's what happened.

14 252 Q. Yes. The three employees who are dealing with it just
 15 in this scenes of the evidence, they were the three 16:00
 16 employees who were to write to track changes into your
 17 report?

18 A. DR. HUGHES: Yes.

19 253 Q. We will look at the circumstances in which that
 20 occurred. It may be that they thought that this was at 16:00
 21 the invitation of Patricia Kingsnorth, who invited them
 22 to comment on the factual accuracy of the report, but
 23 we will look at that in the round. Is it fair to say,
 24 and I think it's reflected in your statement, and we
 25 will look at that tomorrow, that the response from the 16:01
 26 three of these employees left you feeling that there
 27 was a lack of insight into the importance of strong
 28 clinical and social care governance in this area of
 29 delivery?

1 A. DR. HUGHES: Yes.

2 254 Q. The next meeting you conducted was with Ronan Carroll,
3 and you met with him on 18th January. The reference
4 for the meeting is WIT-84342. Again, the usual format,
5 you explain your role, Dr. Hughes. Just scrolling 16:02
6 down. You ask a question of Mr. Carroll about the way
7 in which Mr. O'Brien practices. Mr. Carroll, we know,
8 has worked in the Trust for some years and has worked
9 closely with Mr. O'Brien over those years, and he
10 provides quite a personalised response to it. He says 16:02
11 that he "believed that everyone made excuses for
12 Mr. O'Brien, the consensus was that he was a very
13 strong personality who could be spiteful and even
14 vindictive, many of the Cancer Nurse Specialists were
15 afraid of him, but Ronan Carroll was unaware that the 16:03
16 Cancer Nurse Specialists were excluded from seeing
17 Mr. O'Brien's patients."
18
19 was that credible, in your view, the latter part?

20 A. DR. HUGHES: Yeah. I struggle with it, and it's 16:03
21 something that I think, if that was my environment,
22 would I know, would I hear? Yes.

23 255 Q. He was Assistant Director within -- I will have to just
24 get this.

25 A. DR. HUGHES: Surgery, I think. 16:03

26 256 Q. I am minded to say Surgery and Elective Care, but
27 I will have that checked. Certainly in a subsequent
28 meeting with the Head of Service for Urology,
29 Mrs. Corrigan, she was very plain in admitting or

1 accepting her knowledge of this situation vis-à-vis the
2 nurses?

3 A. DR. HUGHES: Yes, I think it's really hard to get into
4 conjecture thinking what people know because that's not
5 really a good place to be. I think it's appropriate to 16:04
6 say they should have mechanisms in place to know, and
7 understand what the deficits for patients were, and if
8 they didn't know, people at that level should have
9 known.

10 257 Q. That, perhaps, says something about communication, 16:04
11 firstly, and the culture of failing to escalate?

12 A. DR. HUGHES: Yeah. I think that is a theme you will
13 see, where there's issues that some knew but it wasn't
14 escalated, not restricted to the Southern Trust, but
15 everybody, maybe assuming the small piece of 16:05
16 information they have was of not great significance,
17 possibly because they don't understand the patient
18 deficits.

19 258 Q. Scrolling down the page again. More reflections,
20 I suppose, on his perception of Mr. O'Brien? 16:05

21 A. DR. HUGHES: Yes.

22 259 Q. To what extent was that helpful to you, or was it
23 unhelpful?

24 A. DR. HUGHES: I thought it was totally unhelpful
25 because, again, it brings the Governance round to the 16:05
26 named person as opposed to what actually was going on
27 with the patients. What was the care they were
28 receiving? What were the deficits? How do we address
29 it? If it becomes focused on one person, you don't see

1 the problems for patients and I believe that's what
2 happened.

3 260 Q. From your perspective, perhaps the focus was also on
4 the management, such as Mr. Carroll, who had presumably
5 duties to get the governance arrangements right. If he 16:06
6 is telling you, as he says, that he wasn't aware of the
7 issues identified by the SAI review and was quite
8 shocked when the issues were identified during the
9 update of early learning provided by Mrs. Kingsnorth,
10 then that is telling you something about the health of 16:06
11 the governance arrangements?

12 A. DR. HUGHES: Yeah. I think you should have a culture
13 that allows people to identify things at an early
14 stage. Identifying things at an SAI is far, far too
15 late in the game. This should have been identified as 16:07
16 a non-conformity or patient experience audit to note
17 that 10 or 15% of our patients are not receiving the
18 care everybody else does. It needs to be escalated.
19 It needs to have a process that allows people to do
20 that without fear or favour. 16:07

21 261 Q. If we go to the top of the next page, please. He talks
22 about an SAI of a man who had a bladder tumour who was
23 a red-flag referral. I think that's slightly garbled.
24 Perhaps that should have been a routine referral that
25 ought to have been red-flagged. Passing over the fine 16:07
26 detail of that, he talks about the perception of
27 Mr. O'Brien being clinically sound so that any issues
28 that were raised were regarding system and
29 administration processes.

1
2 This analysis that Mr. O'Brien, good surgeon, but
3 Mr. O'Brien poor administrator, is a theme that
4 I suspect the Inquiry will grow wearingly familiar
5 with. In your experience, where a doctor is exhibiting 16:08
6 shortcomings in an aspect of his care, and let's call
7 it the administration of clinical decision-making. He
8 should be dictating letters, he should be actioning
9 reports that he has initiated through Radiology or
10 Histopathology or whatever. That was the kind of 16:09
11 information that was in the system following MHPS and
12 formally through other SAIs, but there was a failure to
13 get to grips with the stuff that you were asked to get
14 to grips with through the SAI process; these issues
15 that were going on in MDM. Is there an area of 16:09
16 reflection here for the Trust in terms of, if they know
17 that some things are going poorly, they should be
18 looking beyond that?

19 A. DR. HUGHES: Yeah.

20 262 Q. Investigating beyond that? 16:10

21 A. DR. HUGHES: Yeah. Well, a couple of points. If
22 somebody has deficits in their clinical administration
23 up to and including the level of an SAI, that's quite
24 a serious issue. Also if somebody, and I don't know
25 the details of it, ends in an MHPS process, you are 16:10
26 required to give assurance to the GMC, you are required
27 to assess that that person is safe in every other way.
28 In the MHPH framework clearly says the list of places
29 where things can arise, so you have to go down that

1 list and get assurances. You cannot just assume. We
2 have a history of this. I mean, poor clinical
3 administration may be a function of somebody struggling
4 in many ways; somebody who needs support, somebody who
5 needs to be mentored, supported. You can't just assume 16:11
6 that the problem lies within perceived sort of clinical
7 administration. It can be a symptom.

8 263 Q. Yes. Mr. Carroll is asked about the issue of the need
9 for assurances -- just four or five lines from the
10 bottom -- through regular audits for all clinicians. 16:11
11 His answer to that is:

12
13 "The system is not resourced for re-referral to MDT."
14

15 Does that read like an accurate note? You are asking 16:12
16 him, it seems, about audits, and he is answering by
17 talking about re-referral. Is that the same issue?

18 A. DR. HUGHES: Yeah, well it would be one of the critical
19 issues that you'd like to audit, you would like to
20 ensure that re-referrals to MDT for somebody whose care 16:12
21 has moved on or because MDT guidance has been changed
22 is reviewed, but the stock answer was we are not
23 resourced for that.

24 264 Q. Yes. Just so I'm clear, is he telling you that they
25 are not resourced for any rereferral to MDT? 16:12

26 A. DR. HUGHES: No, I think he is not resourced to do the
27 audit.

28 265 Q. The audit. Okay. I beg your pardon. Right, okay.
29 Again, that's, as we see from your statement, where you

1 see a fairly fundamental shortcoming of the governance
 2 process. If they are not in a position to track,
 3 audit, monitor, then they can't assure themselves that
 4 care is being provided safely?

5 A. DR. HUGHES: Yeah. Quite perplexing because most 16:13
 6 functioning MDTs that I know would do this work
 7 automatically, because they want to capture all the
 8 complexity they are dealing with. They want to share
 9 so their line managers know the volumes of work and
 10 understand the pressures they are under and look for 16:13
 11 additional resource whereas what was said, we can't do
 12 that. So there was lots of unknown unknowns sitting
 13 out there, both clinical service pressures, and it was
 14 a culture that I didn't recognise.

15 266 Q. The next person you saw was Martina Corrigan. You saw 16:13
 16 Martina Corrigan and Mr. Haynes and Urology MDT all on
 17 the same day. If we start with Martina Corrigan. She
 18 was the Head of Urology Service and had been for some
 19 time by that date. Could we go to WIT-84355. Just
 20 scrolling down. She explains that she had worked in 16:14
 21 the Trust for 11 years and confirmed during that time
 22 Mr. O'Brien never recognised the role of Clinical Nurse
 23 Specialists. She confirmed that he never involved them
 24 in his Oncology clinics. He is aware that some of the
 25 Clinical Nurse Specialists would have asked to be at 16:15
 26 the clinics but Mr. O'Brien never included them.

27
 28 we know from some of the evidence that you gathered
 29 that Mr. O'Brien worked mostly with nurses in other

1 fields, the management of benign disease, because you
2 described this morning other operational and
3 administrative duties, but was this the -- is this the
4 clearest account that you were receiving in terms of
5 a manager plainly telling you that nurses weren't
6 involved in his cancer management?

16:15

7 A. DR. HUGHES: Yeah, this was the direct line manager of
8 Urology Services saying the nurses weren't involved in
9 cancer specialist care.

10 267 Q. Mm-hmm. And, for you, that appears to corroborate,
11 does it, the accounts that you were receiving from
12 patients and families?

16:16

13 A. DR. HUGHES: Yeah.

14 268 Q. I mean, no doubt you appreciated her candour, but it
15 doesn't say much, does it, for the management of the
16 issue?

16:16

17 A. DR. HUGHES: No, I think -- I'm not quite sure what
18 people think. They certainly didn't have an
19 understanding of the role of a Clinical Nurse
20 Specialist and what it brings to a patient and a
21 patient's experience of their care and understanding of
22 their care. I think Ms. Corrigan was pretty frustrated
23 by the processes and maybe had been unable to change
24 things, and certainly that probably comes out in her
25 language. Whether there should have been a way of
26 escalating this and having it dealt with, I think is
27 probably -- I should have explored that more, but it
28 certainly wasn't addressed.

16:16

16:17

29 269 Q. She refers, I think, on down the page, to two nurses.

1 Yes.

2
3 "The two Clinical Nurse Specialists did report that
4 they did regularly challenge Mr. O'Brien and asked him
5 if he needed them to be in the clinic to assist with 16:17
6 the follow-up of the patients, but it got to the stage
7 where staff were getting worn down by no action and
8 they gave up asking as they knew that he wouldn't
9 change."

10
11 Did you take a note of who she was referring to or did
12 you ask her to name them?

13 A. DR. HUGHES: No, I didn't, I didn't.

14 270 Q. And I think there were two nurses, possibly a third, in
15 place for quite a long time before the recent recruits 16:18
16 of, I think, 2017?

17 A. DR. HUGHES: Yes.

18 271 Q. It could be 2016 --

19 A. DR. HUGHES: 2017, and the quorate went up to five.

20 272 Q. Was it your impression that she was perhaps talking 16:18
21 about the nurses who had been there for some time or
22 can you simply not say?

23 A. DR. HUGHES: It could only have been, it could only
24 have been.

25 273 Q. Right. Okay. Did you perhaps inform her that nurses 16:18
26 are so important to the patients' journey -- do you
27 suspect that sense of importance and value that
28 attaches to the CNS role wasn't appreciated by
29 management and that may be a factor in terms of why it

1 wasn't escalated?

2 A. DR. HUGHES: I think that's correct. I certainly --
3 they didn't have the understanding that I would have of
4 a Clinical Nurse Specialist, but I suspect the
5 consultants would have been aware of the role and value 16:19
6 and probably some of them did speak about it. The
7 question is absence of a Clinical Nurse Specialist,
8 apart from the right of patient supporting and holistic
9 basis, there is the information piece and supporting
10 informed decision-making, especially in a situation 16:20
11 where MDT recommendations are being changed, and this
12 -- this is the major concern.

13 274 Q. You go on, I think, towards the bottom of this page, to
14 say that - just over the page, perhaps - that the
15 Associate Medical Director and the -- 16:20

16
17 "... Mrs. Corrigan advised that, during MDT, on
18 occasions there were issues raised about Mr. O'Brien
19 and, at times, these were escalated to the AD and AMD,
20 but as with other concerns regarding Mr. O'Brien, these 16:21
21 never got anywhere as he either promised that he would
22 sort or else he gave a reason why he couldn't follow
23 through and the ethos among many other staff was 'well,
24 sure, that's just Aidan', " a sense of resignedness that
25 they couldn't challenge or escalate. Did she elaborate 16:21
26 on what those issues might have been if they were
27 emerging from MDT, can you remember?

28 A. DR. HUGHES: No, no.

29 275 Q. You can't.

1 A. DR. HUGHES: But again, it's this process of naming the
2 individual instead of naming the deficit the patients
3 were suffering, and I genuinely don't think people
4 fully understood.

5 276 Q. You saw Mr. Haynes on that day as well, and his meeting 16:21
6 with you is recorded at WIT-84353, and you ask
7 Mr. Haynes:
8
9 "Were there concerns raised about Mr. O'Brien's
10 practice?" 16:22
11
12 And he explains that he was the person who raised the
13 concerns, and he describes, I suppose, the distinction,
14 as he sees it, between his practice and Mr. O'Brien's
15 practice: 16:22
16
17 "He" -- that is Mr. Haynes -- "works in a more
18 team-based approach with three Consultants and five
19 Specialist Nurses, whereas Mr. O'Brien worked as more
20 an individual and non-involvement with any others 16:22
21 members of the team, which meant that his practice was
22 not scrutinised."
23
24 So that's, I suppose, the set-up of -- or the culture,
25 to some extent, that he is explaining. 16:23
26 A. DR. HUGHES: Mm-hmm.

27 277 Q. In terms of what he knew specifically, he told you that
28 he was not -- let's see if I can see it here:
29

1 "He was not acutely aware of his failure to comply with
2 standard treatments."

3
4 Just at the bottom of the page:

5
6 "He advised there are a number of concerns about how
7 Mr. O'Brien practised, but he was not acutely aware
8 about his lack of conformities to standard treatments."
9

10 But he goes on to say that, if you go further down the
11 page, please:

12
13 "Mr. Haynes advised that the MDT did disagree with
14 Mr. O'Brien's decision-making regarding ADT."

15
16 That strikes me -- I ask for your comments; is that
17 inconsistent?

18 A. DR. HUGHES: Yeah --

19 278 Q. He said, on the one part, he's not aware of
20 Mr. O'Brien's failure to comply with standard
21 treatments, and, by the next sentence, almost, he is
22 explaining that:

23
24 "The MDT had knowledge of Mr. O'Brien's decision-making
25 around ADT. There was disagreement in relation to his
26 use of ADT for a patient, but Mr. O'Brien became
27 entrenched in his decision-making and he never accepted
28 the challenges".
29

1 Is that the issue of Bicalutamide that's being raised
2 here?

3 A. DR. HUGHES: Yes, I think so.

4 279 Q. You met the Urology MDT then at some point on that day,
5 the 18th February. We will just finish with that. 16:25
6 WIT-84347. And the first issue discussed -- well,
7 first of all, let's just orientate ourselves to who is
8 there. So the whole of the MDT, certainly the
9 urologists and the nurses are present?

10 A. DR. HUGHES: Mm-hmm. 16:25

11 280 Q. Kate O'Neill and Jenny McMahon, being the nurses. And
12 the Senior Urological Clinicians, including Mr. Young,
13 Mr. Glackin, Mr. Haynes. Mr. O'Meara was he a
14 radiologist?

15 A. DR. HUGHES: He was a locum. 16:26

16 281 Q. Locum. And scrolling down, the first issue you touch
17 upon is the Nurse Specialist. Just scrolling down a
18 little further. And he confirms that "Nurses were
19 excluded from Mr. O'Brien's practice". He doesn't
20 believe there is an issue with other doctors. So is 16:26
21 that Mr. Glackin's language, the use of the word
22 "excluded", or can you not be so specific?

23 A. DR. HUGHES: I'm not sure, I'm not sure.

24 282 Q. But he's clearly telling you that Mr. O'Brien doesn't
25 use the nurses in -- 16:27

26 A. DR. HUGHES: Yeah, I think it is Mr. Glackin because he
27 is giving assurance that that's not an issue with other
28 doctors.

29 283 Q. Yes, yes.

1 A. DR. HUGHES: Yeah.

2 284 Q. And we will have to ask him about this, but you will
3 recall when you spoke to him in November, he seemed to
4 be putting the blame on, if you like, on a lack of
5 resources?

16:27

6 A. DR. HUGHES: Yeah.

7 285 Q. Whereas now there appears, at least on the face of this
8 note, to refer to his knowledge of an exclusion?

9 A. DR. HUGHES: That may be -- and in response to -- at
10 that stage, I presumed it was because of geographical
11 reasons or resource reasons that nurses weren't made
12 available, and he may have responded in that way, but
13 I later became aware that it was because they weren't
14 included in the care.

16:27

15 286 Q. And just scrolling down a little bit, please, on down
16 to the next page, please. Again, he is talking about
17 the improvement of nurses, in terms of resources, in
18 the past couple of years. I think at some point he
19 goes on to say that management were aware of the issue,
20 but nurses weren't deployed by Mr. O'Brien. We will
21 maybe come across that reference. Yeah, I think it's
22 a couple of pages down, but we will come to it
23 eventually.

16:28

24 A. DR. HUGHES: Yeah, I think it's the third line down.

25 287 Q. Yes, thank you. And you -- going back to the previous
26 page, you discuss, in the middle of the page, the issue
27 of tracking:

16:29

28

29 "Mr. Glackin recalled his time in the West Midlands

1 when the MDM was better resourced, follow-up and
 2 tracking was more robust, more a priority and had admin
 3 support."

4
 5 And you agreed with him, but questions if the issue was 16:29
 6 systematic and a problem for more than nine cases and,
 7 if so, this would need to be addressed, but Mr. Glackin
 8 referred back to the audits, and his view, again, is no
 9 time and no resources, a theme that seems to come
 10 through. 16:30

11 A. DR. HUGHES: Yeah.

12 288 Q. And what's your reflections on that? It may well be
 13 the case that resources were tight or were not
 14 forthcoming, but as a Clinical Lead in his case or
 15 looking across the way at Cancer Services, who are 16:30
 16 saying things aren't resourced, what is to be the
 17 approach here for people working in the system; do they
 18 have to ask or should they be provided with the
 19 resource without having to ask?

20 A. DR. HUGHES: well -- 16:31

21 289 Q. It's a complex issue, presumably?

22 A. DR. HUGHES: well, Cancer Services are organised in
 23 quite a structured way, in that you are supposed to
 24 have two business meetings each year and that you
 25 reflect on areas of problems, so you have to have some 16:31
 26 sort of mechanism to collect data, be it trainees doing
 27 it under supervision from a Consultant, but to focus on
 28 areas of concern or deficit. And if you take the role
 29 as a Clinical Lead, you have to make sure that you get

1 the resource, and that might be a difficult question,
2 but I think it would be interesting to see if this
3 issue is replicated across their MDMS and -- or if it's
4 just a Urology issue. I'm not saying they are not
5 busy, they had obviously expanded their Service, but 16:32
6 you can't expand a Service at the consequences of
7 safety and governance.

8 290 Q. There is then at the bottom of the page a discussion
9 about Bicalutamide-prescribing and Mr. Glackin
10 specifically focuses on the dose of 150 milligrams. If 16:32
11 you can maybe look at that as well, Mr. Gilbert. And
12 I'm not sure how this was introduced to the
13 conversation, but he referred to a specific dose of 150
14 milligrams and suggested that the evidence was weak in
15 the criticism of the use of this treatment and said the 16:32
16 scientific evidence was not so robust.
17 I think we heard this morning, Mr. Gilbert, that
18 150 milligrams of Bicalutamide, in some circumstances,
19 for some classes of patients, would be the appropriate
20 hormonal approach, not something you have particularly 16:33
21 used --

22 A. MR. GILBERT: I would regard it as an alternative in
23 particular circumstances when hormones should or must
24 be given in locally advanced disease. If, for example,
25 the disease is clearly becoming very active, PSA is 16:33
26 rising rapidly or the presenting PSA is particularly
27 high, and that's the blood test which gives the risk of
28 the presence of prostate cancer, under those
29 circumstances it might be reasonable to try and control

1 the disease using Bicalutamide 150.

2 291 Q. Mm-hmm.

3 A. MR. GILBERT: An alternative, it is also an alternative
4 to patients who don't particularly want to be on the
5 LHRH analogue and particularly concerned about
6 maintaining sexual function --

16:34

7 292 Q. Yes.

8 A. MR. GILBERT: It doesn't particularly do that. And the
9 third instance would be if a patient had intolerable
10 side effects from the LHRH, needed hormones and it was
11 used as an alternative. So it needs to be regarded as
12 an alternative. The only licensed indication for 150
13 is for locally advanced disease where hormone treatment
14 is appropriate.

16:34

15 293 Q. Yes. And so, Dr. Hughes, do you know why this issue
16 came in at this point? I mean, assumedly, Mr. Glackin
17 didn't -- you hadn't given Mr. Glackin a read-out of
18 the prostate Bicalutamide cases that you were looking
19 at, in any great detail anyway?

16:34

20 A. DR. HUGHES: No, we were given a feedback just to what
21 the problems were, and there's a line about -- what is
22 a misspell, and it says "cal utami de", and it should be
23 "Bicalutamide", and then Mr. Glackin came out with this
24 comment, and I was a bit concerned about it and I just
25 said I will -- am just taking advice from Mr. Gilbert.
26 I didn't want to close it down.

16:35

27 294 Q. Yes, because the clear message you were getting from
28 Mr. Haynes, Mr. Glackin during your one-to-one with him
29 the year before, there was an understanding of a clear

1 problem, an understanding within the MDT of a clear
2 problem with Mr. O'Brien's use of Bicalutamide at a low
3 dosage?

4 A. DR. HUGHES: Yeah.

5 295 Q. And just finishing with this, going over the page, 16:35
6 there is discussion of the enormous disconnection --
7 just going down to Mr. Haynes' entry at the very
8 bottom:
9

10 "An enormous disconnection between services and feels 16:36
11 Consultants are blamed when they fail, but, at the
12 same, time --"
13

14 Is that "Clinical Cancer Services"? What's the "C"? 16:36

15 A. DR. HUGHES: Yes.

16 296 Q. "... will take credit when they succeed."
17 So is that the disconnect that you sensed when speaking
18 to Dr. Tariq, Mr. McCaul and Mr. Conway?

19 A. DR. HUGHES: I mean, very much so. I think Cancer
20 Services tend to be quite collegiate and quite 16:36
21 cohesive, and I was quite taken aback by the disconnect
22 between those responsible at the highest level and
23 those delivering at the MDT level, and clearly, as well
24 as the problems we are talking about today, they were
25 struggling with a range of other major issues in terms 16:37
26 of getting the meetings to be quorate and having
27 appropriate Radiology support and just actually having
28 enough infrastructure to deliver what they would regard
29 as a good Service. Mr. Haynes, Mr. Glackin, maybe

1 another Consultant, had come from practices in the UK
2 and had known different methods of working and better
3 methods of working and there was a sense of
4 frustration.

5 297 Q. Yes. And just if we can go to the last page of the 16:37
6 meeting, no doubt skipping over some other issues, but
7 I just want to get to this one, WIT-84351. Just
8 further down the page, please -- over the page. I have
9 missed the reference. I will find it and start with it
10 tomorrow. There was a suggestion in your statement 16:38
11 that the professionals within this meeting were
12 somewhat defensive in their approach with you, in the
13 sense that they thought that the focus should be on
14 the -- I suppose the shortcomings of one individual
15 professional and that the teams shouldn't be getting 16:39
16 dragged into it, and does -- you recall that?

17 A. DR. HUGHES: Yes. Yeah, I mean --

18 MR. WOLFE KC: It's something maybe we will take up
19 first thing in the morning.

20 CHAIR: Very good. 16:39

21 MR. WOLFE KC: Thank you.

22 CHAIR: 10 o'clock tomorrow, Mr. wolfe?

23 MR. WOLFE KC: Yes, thank you.

24 THE INQUIRY WAS THEN ADJOURNED TO WEDNESDAY,
25 30TH NOVEMBER 2022 AT 10 A.M. 16:39
26
27
28
29