



Oral Hearing

Day 24 – Tuesday, 21st February 2023

Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

1	I N D E X	Page
2		
3		
4		
5	Mr. Colin Weir, affirmed	
6	Examined by Mr Beech BL	3
7	Questioned by the Inquiry	92
8		
9	Lunch Adjournment	103
10	Mr. Charles McAllister, sworn	
11	Examined by Mr Beech BL	103
12	Questioned by the Inquiry	174
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
26		
27		
28		
29		

1 THE HEARING RESUMED ON TUESDAY, 21ST FEBRUARY 2023 AS
2 FOLLOWS:

3
4 CHAIR: Good morning, everyone. Good morning,
5 Mr. Beech.

10:03

6 MR. BEECH BL: Good morning, Madam Chair. The
7 first witness is Mr. Colin Weir.

8
9 MR. COLIN WEIR, HAVING AFFIRMED, WAS EXAMINED BY
10 MR. BEECH BL AS FOLLOWS:

10:03

11
12 CHAIR: Thank you. Please sit down, Mr. Weir.

13 MR. BEECH BL: Good morning, Mr. Weir. There should
14 be a glass of water in front of you on your table.

15 Any documents I refer to should appear on the screen
16 as we work our way through this morning.

10:03

17
18 Can I start by referring you to your two responses to
19 Section 21 Notices, both of which are dated 21st June.
20 If we start at WIT-19902, which is your response to
21 Notice 22 of 2022. Are you familiar with that
22 document?

10:03

23 A. Yes.

24 1 Q. If we move to the last page of that response, which is
25 WIT-19964, please. Can you confirm that is your
26 signature on the last page of that?

10:04

27 A. That's correct.

28 2 Q. Are you content to adopt that witness statement as your
29 evidence before the Inquiry this morning, subject to

1 one or two minor amendments; is that right?

2 A. Yes, that's correct.

3 3 Q. The Inquiry is in receipt of correspondence with
4 regards to those amendments, and I think they have been
5 marked at the various points. If we go to WIT-19903, 10:04
6 please. Paragraph 4. The amendment itself isn't
7 marked on this version of the screen, but I believe you
8 wish to make an amendment to paragraph 4; is that
9 right?

10 A. That's correct, yes. 10:04

11 4 Q. It is with regards to Mr. Haynes; is that right?

12 A. Mr. Haynes did not commence his post in January 2017.
13 I can't recall the date. It was on the amendment as
14 typed up, but it was later than that, I think.

15 5 Q. In ease of you, you amended it to October 2017. 10:05

16 A. Yes, that's correct.

17 6 Q. What was the cause of that confusion?

18 A. During that time there was a -- because of the
19 sudden or relatively unexpected departure of the
20 Associate Medical Director, it was just when I was 10:05
21 writing this I couldn't recall exactly when Mr. Haynes
22 took up his post as Acting Associate Medical Director.
23 It was just a failure of recollection on my part.

24 7 Q. If we look again at WIT-19937, paragraph 104, please?
25 I believe you wish to make an amendment to the third 10:06
26 sentence there where you say: Dr. McAllister at least
27 approximately to December 2016, you wish to amend the
28 reference to December there?

29 A. Yes. So he was no longer in that post. I think that

1 was around the end of October, early November 2016.
2 Again, just a failure of recollection given the
3 duration since these events took place.

4 8 Q. Thank you. There is one more very minor amendment,
5 which is a typo of how you spelt Ms. Trouten's name at 10:06
6 one point in the response.

7 A. Yes.

8 9 Q. You would like to --
9 A. Yes, I'd like that amended.

10 10 Q. -- paragraph 118 accordingly. Thank you. If we go to 10:06
11 WIT-1993, please? This is your response to Section 21
12 33 of 22. Are you familiar with that document?

13 A. Yes.

14 11 Q. Again, if we go to the end which is at WIT-20015,
15 please. Can you confirm that's your signature at the 10:07
16 end?

17 A. That's my signature, yes.

18 12 Q. You wish to adopt this as your evidence to the
19 tribunal.

20 A. Yes. 10:07

21 13 Q. Is there any amendments you wish to make to that
22 response?

23 A. No.

24 14 Q. Thank you. Perhaps before we get into the substance of
25 your handling of, Mr. O'Brien, I wish to ask you some 10:07
26 questions about your role in your time as Clinical
27 Director. Before doing so, could you just outline your
28 role and experience in the Trust up to becoming
29 Clinical Director in June 2016?

1 A. I was appointed 1st August as Consultant Surgeon,
 2 Consultant General Surgeon with a specialist interest
 3 in vascular surgery. I took part in the acute general
 4 surgical rota. During my time I undertook a number of
 5 other additional roles. Some of these were appointed 10:08
 6 by competitive interview, namely Audition Programme
 7 Supervisor, Associate Medical Director for Education
 8 and Training, which is a senior role supervising
 9 education, training of junior doctors throughout the
 10 Trust. I was also appointed Undergraduate Lead for 10:08
 11 Surgical Education for Queen's University students, and
 12 I'm an Honorary Lecturer at Queen's, a clinical
 13 lecturer for that role. Those would be the main
 14 additional duties or roles that I would have had.

15 15 Q. If we just can call up WIT-19902 on the screen. We'll 10:09
 16 have a look at paragraph 3, please. I think it would
 17 be helpful, perhaps, at the outset to set some
 18 perimeters on your time as Clinical Director. You were
 19 appointed on 1st June 2016 and you finished as Clinical
 20 Director on 31st January 2022. However, at paragraph 3 10:09
 21 there you say that you had:

22
 23 "My area of responsibility initially until
 24 December 2018 was urology."

25
 26 why did urology come outside of your remit after 2018?

27 A. The areas are enumerated there, but there are also;
 28 I have in the system, if you like, we have General
 29 Surgery across two sites, Craigavon and Daisy Hill, and

1 Trauma Orthopaedics, so they all have to be managed
2 under this system, if you like. Because there were
3 arguments as to whether it was better to be a Clinical
4 Director in the team that you were working, or whether
5 it was better to be disconnected and be a Clinical 10:10
6 Director for a team which you weren't working, but at
7 the time, because Mr. Haynes was then appointed
8 Associate Medical Director, a realignment of the teams
9 was considered necessary. It wasn't my choice, but
10 I had no difficulty with it. And I think a fresh 10:10
11 individual undertaking the role as Clinical Director of
12 Urology was probably deemed a good idea and a good
13 thing. I certainly felt, for me, that it was a good
14 thing to switch my role of management to the team in
15 which I worked at Craigavon and later on at Daisy Hill 10:11
16 Hospital for general surgery.

17 16 Q. So from December 2018 onwards, did you have any
18 management responsibility for you Urology?

19 A. Zero.

20 17 Q. I think perhaps at the outset, it is also an important 10:11
21 context to note that, sadly, you didn't enjoy the best
22 health in the years which you had responsibility for
23 Urology. If you look at paragraph 5, I think it should
24 be on the next page. It is heavily redacted, as you
25 can see, but you had periods of sick leave, November 10:11
26 '16 for four weeks. August '17 for six weeks. Late
27 November '17 to February '18 and then November '18
28 through to the end of your time with Urology. Are
29 those dates accurate as far as you can recall?

1 A. Yes.

2 18 Q. Although you had management responsibility for urology
3 for approximately two years, for a reasonable portion
4 of time you were unavailable to discharge your role?

5 A. Yes.

10:12

6 19 Q. In your role as Clinical Director you formed part of
7 a medical management line within the Trust, could you
8 just explain from say, the Medical Director, down to an
9 individual consultant in the Trust?

10 A. So the structure would have been Medical Director, then 10:12
11 working through Associate Medical Directors. So those
12 Associate Medical Directors had various areas, broad
13 areas of responsibility. For us it was surgery and
14 elective care, encompassing surgery, acute surgery, and
15 all the specialties that I have mentioned earlier. 10:13
16 Then, within that, one or two -- usually two Clinical
17 Directors with their areas of responsibility across
18 specialists, urology, trauma and orthopaedics, general
19 surgery. Then the next level would have been, there
20 would have been lead consultants within each of those 10:13
21 areas or each of those subspecialties.

22 20 Q. If we focus for now on the chain going up, so we if
23 look at you to the Associate Medical Director and the
24 Medical Director, you already said that Dr. McAllister
25 had to leave his role in October 2016. You said 10:13
26 Mr. Haynes didn't take up his role until October 2017.

27 A. Yes.

28 21 Q. How did the absence of an Associate Medical Director
29 for about a year there, how did that impact on your

1 ability to discharge your role?

2 A. Well, the main -- it was left, in a sense, between
3 myself and Mark Haynes to manage as best we can -- or
4 discharge our roles, if you like. I guess we both had
5 the advantage in that we were able to communicate, Mark 10:14
6 being on the ground in Neurology, me being on the
7 ground in General Surgery did help that to a degree, it
8 helped us to deal with any on-the-ground issues. What
9 we were lacking, I think, would have been a sense of
10 direction or a bigger, a broader sense of what the Unit 10:14
11 was doing in terms of long-term goals and also,
12 perhaps, yes, another chain of someone to talk to,
13 basically, is what we needed. I think that was
14 missing.

15 22 Q. In the absence of that Associate Medical 10:15
16 Director level --

17 A. Yes. The absence of an Associate Medical Director
18 meant there was a gap, there was a lack of maybe other
19 conversations that could have been had.

20 23 Q. To what extent during that gap were those conversations 10:15
21 being had between you and directly with the Medical
22 Director?

23 A. The Medical Director, did you say?

24 24 Q. Yes?

25 A. None. I can't recall any direct conversations between 10:15
26 ourselves and the Medical Director on sort of medical
27 management issues.

28 25 Q. If we just have a quick look at TRU-163346, please.
29 This is an email from Dr. Wright to yourself and

1 Mr. Haynes on 11th November 2016. You'll be aware --
2 this is to yourself and I assume Damian Scullion and
3 Tariq S, are they other Clinical Directors on the
4 Surgery side of the house?

5 A. Correct.

10:16

6 26 Q. "You will be aware that Dr. McAllister has stepped
7 temporarily aside as AMD for Surgery and Anaesthetics
8 to facilitate an ongoing internal Trust process.
9 During this period I would expect management issues to
10 be dealt with by the Clinical Directors in liaison with 10:16
11 Mrs Gishkori and myself in relation to professional
12 issues".

13
14 There, at least, appears to be email correspondence
15 that there an expectation that you would be acting up,
16 to a certain extent, but you are telling us that wasn't
17 reflected in reality in terms of closer engagement with
18 the Medical Director or from the Medical Director?

19 A. I think we acted in our role, I think we discharged our
20 role as Clinical Directors on the ground we were able 10:17
21 to do that, but I think we were missing a more,
22 a broader picture approach to things, and another line
23 of communication, and someone to be able to have
24 discussions with. But my recollection, there were no
25 direct conversations around that with the Medical 10:17
26 Director.

27 27 Q. Had you had issues on your concern on your patch as
28 Clinical Director? would you have felt comfortable
29 discussing any types of issues with the Medical

1 Director?

2 A. Absolutely. Yes, he would have been approachable.

3 That is something I would have felt easily I would have

4 been able to do, if need be.

5 28 Q. In your response at WIT-19937, you start at 10:18

6 paragraph 104, at the very bottom of the page:

7 "I had some support from the medical hierarchy".

8

9 Is the word "some support" there loaded in any sense as

10 in that you felt you could have had more support from 10:18

11 the medical hierarchy?

12 A. No. No. I wouldn't put that spin on it. Support,

13 then, if you like.

14 29 Q. If you go on down in the paragraph on to the next page,

15 please. This is in the discussion about Mr. O'Brien 10:18

16 but for present purposes I'm trying to broaden it out

17 a bit.

18

19 "I do not feel there were enough more formal meetings

20 or minuted meetings or opportunities to gain advice or 10:19

21 communicate a complex and challenging case with the

22 management team".

23

24 Did you feel supported in exercising your role as

25 Clinical Director from the broader team, including, 10:19

26 say, Mrs. Gishkori, the Assistant Directors?

27 A. When there was a complex issue, more complex than first

28 realised, I felt that was missing, that degree of

29 having an idea of the enormity of it and how the rest

1 of the team around me were going to support me in
2 dealing with the problem. I felt at times a little bit
3 isolated in that respect and somewhat reluctant,
4 I suppose, or hesitant to deal fully with the problem,
5 or at least to feel it's not something I could have
6 done on my own. 10:20

7 30 Q. I preface the discussion we've just had with we were
8 going to look up the medical line. Perhaps now if
9 we turn to look down towards, say, the Clinical Lead
10 and the individual consultants. What role, if any, did 10:20
11 you feel you had to managing individual consultants
12 within Urology?

13 A. I would have felt, as I came into this post, that I was
14 aware that the Lead Consultant, Mr. Young, was already
15 undertaking day-to-day roles and responsibilities for 10:20
16 the Urology team. There were day-to-day matters, if
17 they arose or came across me, I could certainly deal
18 with those. But my expectation was that some of those
19 day-to-day issues, for instance, you know, on-call
20 rotas, things like that, that would have been the 10:21
21 responsibility of the team, the Urology team and the
22 Lead Consultant.

23 31 Q. Do you feel as if during your time as Clinical Director
24 issues were coming up from that line? Was Mr. Young
25 raising issues of concern about various matters with 10:21
26 you?

27 A. Yes. They would have been raised with me, either
28 through Mr. Young or Martina Corrigan would have been
29 very valuable in that respect.

- 1 32 Q. You described Mr. Young's involvement in this. What
2 did you see Mrs. Corrigan's role and how did it relate
3 to your own?
- 4 A. She had a very good working relationship with everybody
5 in the team, and was very tuned to whatever the live 10:22
6 issues were; if they were staffing issues, shortage of
7 staff, equipment issues that would have affected the
8 delivery of the service, or issues with trainees.
9 Really, a whole host of technical, personnel issues,
10 she would have been very au fait with those and would 10:22
11 have regularly communicated anything relevant to me on
12 that basis.
- 13 33 Q. I think perhaps in this context it might be helpful to
14 have a quick look at your job description, which
15 appears at WIT-19974. I don't intend to linger on 10:23
16 this. It outlines your role across 39 relatively
17 detailed bullet points. Perhaps if we just look at the
18 first page here, where it says:
- 19
- 20 There are two posts available, he, she will. Then 10:23
21 there are two bullet points.
22
- 23 You are going to be responsible for medical operational
24 issues within surgery across the Trust. What did you
25 under as a "medical operational issue"? 10:23
- 26 A. I think that would have been, again, rota issues,
27 equipment issues, that came across my desk. Things
28 that would have hindered or affected the throughput of
29 work in whatever setting.

34 Q. Then the third bullet point there says:
Provide professional advice to the Associate Medical Director and divisional team on the professional medical issues of the division.

10:24

what was the dividing line between this operational type idea and this professional type idea, and was that clear what the difference between the two was?

A. I think there was quite a bit of overlap on that.

I think professional medical is, I suppose, those two, you know, the doctors' duties, duty of care to the patient and anything that might have affected that, health issues, things like that, that might have impaired someone's ability to discharge their duties, and standards, governance, quality of care, things like that.

10:24

10:24

35 Q. We'll come on later this morning to address some of the issues with regards to Mr. O'Brien but taking at this stage issues with triage, notes being stored, either at home or in the office, issuing of dictation; in your mind was that an operational issue or was that an professional issue?

10:25

A. Both.

36 Q. Saying it's both, who then is responsible for tackling that, or dealing with it, or escalating it?

10:25

A. It depends on the enormity or not of the problem. If it's a systemic and large problem that's not going to be a simple operational or professional issue, that needs something much bigger. But if it's reported to

1 me that Dr. X has got 20 un-dictated letters from last
2 year still sitting in the office, well that might be
3 much more easily dealt with on a professional or
4 medical basis. You could see how that is both medical
5 and professional behaviour and an operational issue. 10:26
6 You know, for the patients, to protect patients that is
7 important that these things are done. It's all just
8 matters of degrees. It is a bit, sort of, grey, you
9 know, how far you take this and how far up the line you
10 take this. 10:26

11 37 Q. From your experience as Clinical Director, was there
12 ever any confusion about who was to handle issues of
13 that nature, or was it all suitably clear?

14 A. I think it was clear. I think with a Head of Service
15 in Martina, the communication was excellent. I think 10:26
16 any relevant issues would easily come to me via her or
17 the consultants or the Lead Consultant, if need be.
18 I think in my mind, I suppose, it's a professional
19 judgment how far you take someone. Does this need to
20 be taken up the line? Do I need to pull in other 10:27
21 resources or other people to assist me in this?
22 I guess there's no handbook for this aspect of it.

23 38 Q. If we just refer back to your response at WIT-9929,
24 paragraph 82. That's the very last sentence there. So
25 the estimate, and I fully appreciate this is an 10:27
26 estimate, working weeks would be different: You
27 estimate that on average Urology Unit work occupy an
28 hour a week. Is that a fair summary of your time?

29 A. That's fair.

- 1 39 Q. In your job plan did you have set aside time for being
2 Clinical Director?
- 3 A. Yes. So there would have been an allocation
4 when .5PAs within my Job Plan, so you know, some weeks
5 would take more, some weeks would take less. Just on 10:28
6 the ground and on average over a period of time that's
7 what we were looking at in terms of time commitment.
- 8 40 Q. And reflecting, just reflecting back on your time as
9 Clinical Director, do you feel you had adequate time to
10 proactively do the job, or were you reduced, in effect, 10:28
11 to a rather crude term, a fire-fighting type role of
12 just putting out fires, tackling issues as and when
13 they arise?
- 14 A. I think the events of -- the things I ended up
15 firefighting were quite profound and complex and time 10:29
16 consuming. So I think the role to be strategic, to
17 make it into a strategic aspect of the role and to do
18 good governance definitely needs, you know, more
19 commitment or more time for that, or set aside for
20 that. 10:29
- 21 41 Q. As you outline in your response, you were, up until
22 July 2017, you were also the Foundation Programme
23 Director and Associate Medical Director for Education
24 and Training. Surely those are busy enough jobs in
25 their own right? 10:29
- 26 A. Well, yeah, and I was encouraged to drop at least one
27 of those, and I did, in 2017. The only thing I would
28 say, there was quite a bit of overlap between Associate
29 Medical Director for Education and Training, Foundation

1 Programme Director because they were both relating to
 2 junior doctors and trainees. In addition, I had the
 3 help of another Foundation Programme Director on the
 4 Daisy Hill Hospital site and that helped me discharge
 5 some of those duties in relation to Foundation
 6 Programme Director. But, you know, after a year of
 7 this and once sick leave was out of the way I realised
 8 this was not sustainable. So that's why I dropped
 9 Foundation Programme Director initially and then a year
 10 later Associate Medical Director.

10:30

10:30

11 42 Q. I know you are saying that you subsequently dropped the
 12 role but, on reflection, was it right for you to be
 13 appointed Clinical Director whilst having these two
 14 relatively major jobs in hand?

15 A. I don't know if "rightness" is the word, it's whether
 16 I could do it with the teams that I had around me. But
 17 in retrospect I would have said it probably would have
 18 made sense to drop one or both of those roles at a much
 19 earlier stage.

10:31

20 43 Q. Just to be clear, you actually applied and went through
 21 a competitive process to get the Clinical Director job?

10:31

22 A. Yes.

23 44 Q. Before we, perhaps, get into some of the complex issues
 24 you were handling, I want to just chat to you briefly
 25 about MHPS and the Trust's own guidance. If you we go
 26 back to June 2016 when you get appointed as Clinical
 27 Director, what extent were you aware of the Frameworks,
 28 the MHPS Framework and the Guidelines themselves in the
 29 Trust?

10:31

1 A. Well, I was aware of them. I hadn't ever been asked to
2 use them or utilise them. I'd certainly seen the Trust
3 implementation of those Guidelines and, in fact, had
4 given a presentation to that effect in 2013 which was
5 just drawn from The Trust's Guidelines on MHPS. So 10:32
6 I had some awareness of the processes and protocols,
7 but no previous actual experience or being involved in
8 any investigation.

9 45 Q. On the issue of training, if we have a quick look at
10 WIT-1997. Let me repeat that WIT-1997, paragraph 15. 10:32
11 At these four bullet points then you outline some of
12 the training you recall receiving. You received an
13 email from 3rd February inviting me and others to NCAS
14 for investigation training, but you could not attend.
15 Point B then: 10:33

16
17 "I also recall a half day of one-to-one training or
18 update session from NCAS Officer Grainne Lynn in early
19 2017. I am currently trying to find a record list."

20 10:33
21 Have you been able to find any record?

22 A. No.

23 46 Q. Do you recall that training taking place?

24 A. I recall, but in the -- over the years I thought that
25 The Trust had arranged in advance of the investigation 10:33
26 a quick refresher of some sort with Grainne Lynn, but
27 I can't find any, because it would have been, if it did
28 happen, and I'm not saying I have complete recollection
29 and being completely honest about this, but there was

1 a vague recollection that there was some sort of
2 half-day training prior to the initiation of the
3 investigation in 2017.

4 47 Q. For completeness then, Point C outlines a training
5 session in 2014 and B outlines in 2010. I am jumping a 10:34
6 bit out of sync here, but I am formally being appointed
7 as the Case Investigator into Mr. O'Brien. Did
8 you feel confident that you had a sufficient knowledge
9 of the guidance and sufficient training to be able to
10 discharge that role? 10:34

11 A. No. I don't think that -- it's okay doing courses, but
12 you know, you do a course and three years later you've
13 never put it into practice. It's like learning
14 a technical skill or a procedure. You can go and
15 attend a lecture but if you don't actually do it your 10:35
16 skills will never evolve or develop and you won't be
17 able to, I don't think, discharge that.

18
19 so I felt, I felt that the only way that I could
20 undertake this role at the time was the assurance that 10:35
21 I would have an assistance from HR to help me. And
22 I asked -- I do recall asking or at least being told
23 that that would happen to help me go through the
24 process and help me with the process. But if you said,
25 de novo, would you be able to do this prior to 2017? 10:35
26 I don't think I would have been able to. I don't think
27 I would have been -- had the experience or even
28 a recall of all the factual knowledge needed to
29 undertake this role as either manager/investigator.

- 1 48 Q. Now we will have an option at the end I think to
 2 provide some reflections on how to make the process
 3 better, but is the solution to that issue, in effect,
 4 more focused, meaningful, training and experience in
 5 some way for consultants of your level? 10:36
- 6 A. We'll all sign up for courses and do this, and do that,
 7 and management training and whatever, but it has to be
 8 close to the time. It has to be -- and then you do it
 9 and then you probably need somebody to be alongside you
 10 to direct you and help you do it. You cannot go into 10:36
 11 these things with one course or one lecture or
 12 a half-day, and then away you go. It's just not the
 13 way to do it.
- 14 49 Q. You've indicated this morning you have never had cause
 15 to implement the Framework or the Guidelines yourself. 10:37
 16 Now, have you ever been involved in any other type of
 17 investigation of a consultant or medical colleagues?
- 18 A. I have.
- 19 50 Q. Now, assuming that the specifics aren't necessarily
 20 relevant to the Terms of Reference, there were not to 10:37
 21 do -- I don't want to call Mr. O'Brien out here, but
 22 they nothing to do with Mr. O'Brien, something in the
 23 background. It is nothing to do with urology is the
 24 point I am trying to make?
- 25 A. It's nothing to do with urology. 10:37
- 26 51 Q. How did you find that experience of conducting an
 27 investigation into a consultant colleague in the past?
- 28 A. Very challenging, because investigating another
 29 colleague where you might meet and see that colleague

1 almost daily, in a coffee room or in theatre, or
2 whatever, and have worked with the person or individual
3 clinically, then you are put in a position of doing
4 whatever form of investigation, that makes it -- it
5 makes it less objective. Like obviously it does. It 10:38
6 changes your relationship with that person, your
7 working relationship, never mind your personal
8 relationship. So that lack of disconnect is very
9 difficult and challenging.

10 52 Q. These challenging experiences you've recounted, were 10:38
11 any part of that in your mind as you worked
12 through 2016 and you're trying to manage Aidan O'Brien,
13 was that at the forefront of your mind?

14 A. Absolutely, yes.

15 53 Q. And let me rephrase the question so I don't lead you 10:38
16 almost, was it in your mind, I will not say it was at
17 the forefront, but to what extent was it in your mind?

18 A. It was forefront in my mind, that experience. So I had
19 a reluctance, let's put it that way, because of
20 previous experience of being asked to investigate 10:39
21 a person that you knew, I have worked with clinically,
22 professionally, and had seen frequently day-to-day, I'd
23 referred patients to, and seen patients referred to me
24 from. All of that is tied-up in it. It just -- it
25 makes it very difficult. 10:39

26 54 Q. We're going to get into specifics here of what actions
27 you took between June '16 and October '16, but at any
28 stage did you raise that reluctance with let's say the
29 Medical Director, the Associate Medical Director?

1 A. In the initial period of between June 2016
2 and October 2016 I expressed some reluctance about this
3 and about the difficulty of undertaking a less formal,
4 let's say, investigation. Secondly, in January 2017,
5 my recollection is that I expressed reluctance to the 10:40
6 Medical Director about being his investigator on that
7 same basis.

8 55 Q. We will perhaps come to your substantive investigator
9 role a bit later this morning. If we turn then to the
10 period I just described, June '16 to October '16. 10:40
11 On taking over as Clinical Director, were you aware of
12 any issues in Mr. O'Brien's practice as of 1st June
13 2016?

14 A. No.

15 56 Q. Can you recall receiving a hand-over from the outgoing 10:40
16 Clinical Director?

17 A. No, I did not receive a hand-over.

18 57 Q. What was the outgoing Clinical Director? Who did you
19 take over from?

20 A. I think Sam Hall retired and I think there may even 10:41
21 have been a gap between the two. There was nobody to
22 kind of say here, here's the baton, here are the
23 issues, here's what you've got to deal with.

24 58 Q. Just so we are perfectly clear, there was no
25 orientation, say, from the Associate Medical Director, 10:41
26 the Medical Director, the Assistant Director?

27 A. No.

28 59 Q. When did you first become aware there were issues with
29 Mr. O'Brien's practice?

1 A. Somewhere between the 1st and 15th June 2016 I was made
2 aware at a -- there was a weekly meeting or often, or
3 nearly weekly meeting between myself, Mark Haynes' two
4 Clinical Directors and Dr. McAllister where, I believe,
5 it was mentioned, and at some point I received an 10:42
6 email, Martina Corrigan had sent me an email with the
7 copy of the letter that was sent earlier in the year to
8 Mr. O'Brien.

9 60 Q. Yes. I think we can get that email up on the screen.
10 It is TRU-274695. It is a relatively short email. It 10:42
11 says: Hi Colin, as discussed, Martina. Attached
12 thereto is a copy of the March letter. You've
13 described a meeting with Dr. McAllister and Mark
14 Haynes. Which came first, the letter or the meeting?

15 A. I think it was mentioned, you know, during those 10:42
16 meetings on a Thursday. I think likely what has
17 happened is one of us, or myself, had said: "Martina,
18 where's this letter? Where's the information that
19 gives me an idea of what's going on?"

20 61 Q. Perhaps then we'll start with your account of the 10:43
21 meeting. If we go to WIT-19904, paragraph 7, please.
22
23 "I believe this was sent to me because Dr. McAllister,
24 in around June or July 2016" -- having seen it all in
25 context you think it would be about June 2016? 10:43

26 A. Yes.

27 62 Q. "... asked me to try and resolve the outstanding issue.
28 More specifically, he asked me to try and resolve this
29 with negotiation with Mr. O'Brien and have him agree to an

1 action plan with recourse to formal investigations or
2 procedures. "

3 A. I do recall it was very much couched in terms of trying
4 to avoid a formal investigation that if we could come
5 up with some sort of action informally with Mr. O'Brien 10:44
6 to try and resolve this issue, that that's the limit of
7 my recollection.

8 63 Q. Can you recall why there was such a desire to avoid
9 formal procedures?

10 A. I don't know the reasoning. It was never made clear 10:44
11 the reasoning for that, but I think I know that
12 Dr. McAllister and the Director of Acute Services,
13 Esther Gishkori, had met and I think my understanding
14 was that between them they felt that this was the
15 correct approach, the best way to achieve an outcome to 10:45
16 resolve this problem. Then, in turn, they felt that
17 I was going to be able to do that.

18 64 Q. Just so we are clear, by the time of 15th June 2016 you
19 were aware that Dr. McAllister had meetings with
20 Mrs Gishkori on this subject? 10:45

21 A. I can't recall that. I don't think I put that down in
22 my statement, but I think they were having regular
23 meetings, and this would have been a discussion.

24 65 Q. If we perhaps just try to deal with a discrete point.
25 If we could jump to TRU-00782, please, which is your 10:46
26 statement to Dr. Chada on 24th May --

27 A. Yes.

28 66 Q. -- 2017 in the context of the MHPS investigation.
29 We're looking at paragraph 6 at the top there. You

told Dr. Chada:

Dr. McAllister first mentioned to me that there were concerns about Mr. O'Brien's triage, keeping notes at home, and un-dictated clinics in or around August 2016.

10:46

You now think it was around June '16?

A. Yes. Yes.

67 Q. He then said he: "put it in terms of there being a bit of an issue with charts, triage and clinics but it wasn't put to me as a really serious problem."

10:46

Do you still stand by that? Is that your recollection?

A. That is my recollection. I don't know, it would be difficult for me now, after all these years, to change that. But that's, yes.

10:47

68 Q. Do you recall how you reacted? Did you think it was a serious problem?

A. I thought it was with a serious problem as, over time, I became more aware what, you know, the size of the problem. I don't want to jump ahead, but I had a reluctance right from the start that this was more than just have a chat, tell somebody to do something, come up with a plan and they'll implement that, and that will be the end of the problem. I didn't think that was going to be the case.

10:47

10:47

69 Q. We can see that Martina Corrigan e-mailed you a copy of what is called the March letter, I'm going to refer to it as, on 15th June. Having received that letter, what action did you take to attempt to address these issues?

1 A. We received that and then, I think -- my recollection
2 is that pretty much we had July, summer holidays, there
3 wasn't much happening. Then during the course of
4 August I was again feeling reluctance and concern about
5 getting involved as being the person to tackle this. 10:48
6 I, therefore, thought the best way to deal with this
7 was to produce an action plan, but to share that with
8 a number of individuals. I felt that the only way
9 forward on this basis was to have everybody agree this
10 action plan. I felt I needed some cover, back-up, that 10:48
11 it was not entirely on me, and part of the next stage
12 would then be a series of meetings with myself and
13 Dr. McAllister to meet Mr. O'Brien. That was going to
14 be how we were going to implement this action plan.

15 70 Q. We'll come to your actions, perhaps, August/September 10:49
16 momentarily. From June to August did you make any
17 efforts to engage with Mr. O'Brien?

18 A. No.

19 71 Q. You mentioned the summer. I don't want to be slightly
20 unfair, I know people are away in the summer, it's 10:49
21 Northern Ireland, but this was mid-June you found out
22 about this?

23 A. Well, July.

24 72 Q. You found out about this -- you got the letter
25 mid-June? 10:49
26 A. Yeah.

27 73 Q. Was there not enough time there to, at least, engage
28 with Mr. O'Brien to try to sort this out?

29 A. Yeah, but I was being presented with something that

1 in looked like it had been an ongoing issue for a long
 2 time and there was no timeframe set on it. We were
 3 still having regular meetings on a Thursday, and so,
 4 I suppose, a natural hesitancy and reluctance on my
 5 part maybe just held me back a bit from really delving 10:50
 6 into this, is why there was, if you like, a delay.

7 74 Q. In your response to Section 21, there is a WIT-19934,
 8 specifically at paragraph 97. I'm going to start
 9 reading from about five lines from the bottom of this
 10 paragraph. You say: 10:51

11
 12 "At this time I was not informed of precise numbers,
 13 how long this has been occurring, what previous action
 14 plans and meetings had occurred to address this, or any
 15 other significant briefing. " 10:51

16
 17 which, I believe, is the sentiment you just expressed.
 18 You then go on to say:

19
 20 "I consider it a failure of good governance to ask 10:51
 21 a newly appointed Clinical Director with, no previous
 22 experience, to resolve informally a long-standing and
 23 complex problem with only a weekly meeting with my Line
 24 Manager. "

25 10:51
 26 And while you were newly appointed, you were
 27 Mr. O'Brien's Clinical Director, surely this is
 28 precisely the type of issues that Clinical Directors
 29 are paid and have time to sort out?

- 1 A. well, there are things that they may sort out, but this
 2 was made clear as it was a long-standing and complex
 3 problem. It was going to take time to sort this out.
 4 So at that -- that was kind of where my initial
 5 reluctance to deal with this came from. It wasn't, 10:52
 6 I guess, in the normal remit of a Clinical Director,
 7 and, yes, it would fall under governance, but it was
 8 more than that, it was more complex than that, and
 9 deeper than that and long-standing than that.
- 10 75 Q. At the meeting on the 15th June, at or around the 10:52
 11 15th June 2016, do you recall raising with
 12 Dr. McAllister that you felt this wasn't for you to
 13 deal with, that it was a bigger issue than you? Did
 14 you raise that Dr. McAllister?
- 15 A. I think subsequent to that I would have raised that it 10:52
 16 was a complex issue and it was not going to be easy to
 17 sort out for the reasons -- because of the
 18 long-standing nature of the problem. And the fact that
 19 it had been addressed before and still was an issue.
- 20 76 Q. Was there anything stopping you approaching, say, 10:53
 21 Mrs. Corrigan and finding out what had happened in the
 22 past? You say you didn't know precise numbers, you
 23 didn't know how long this had been occurring, could you
 24 not easily have got that information from someone like
 25 Mrs. Corrigan? 10:53
- 26 A. well, yes -- well, I did get the letter subsequently
 27 with some of those patient numbers from March 2016, so
 28 that was, I suppose, the basis or the start of it.
 29 But, yeah, I'm sure if I was really going at this on my

own then, yeah, that would have been a valid thing to do, yes.

77 Q. Is there any specific reason why you didn't approach Mrs. Corrigan at that time to find out exactly what had happened. I know you got the letter, but is there any specific reason you didn't go back about these other issues? 10:54

A. I think just needing to think it through, a bit of time just to think how is this going to be addressed, what's the right way to do this, is this the right way to do this? Those were my concerns and that's the nature of the -- or the cause of the delay. 10:54

78 Q. You have already told us today this wasn't addressed in June or July, then we get to August. If you look at WIT-19904, which is paragraph 10. I should say there is highlighting on these versions. I'm not entirely sure where the highlighting comes from. I don't think much turns on it, nothing of significance as far as I am concerned for the reasons highlighted. You say: 10:54

"I recorded in my handwritten notebook, a meeting with Mr. Young, on the 9th August 2016. I noted 'Aidan-MY' will discuss with him, namely lead consultant Mr. Young, will discuss with Mr. O'Brien issues in relation to some or all of the four concerns raised above." 10:55

You have provided the notebook. I don't think it will take us much further going to look at it. What led to this discussion with Mr. Young on the 9th August 2016?

1 A. I recall that some of the preexisting issues had been
2 discussed between Mr. Young and Mr. O'Brien is my --
3 and so there was already a background of that
4 happening. And in my meeting Mr. Young met -- or
5 declared that he would at least discuss these issues 10:55
6 with him as his lead consultant. So it would -- as an
7 initial approach and, in fact, as part of an ongoing
8 process where Mr. Young had spoken to Mr. O'Brien in
9 the past about this, to me, at that stage seemed
10 a satisfactory approach. 10:56

11 79 Q. Your meeting with Mr. Young is recorded on the 9th
12 August. Was that a regular meeting with Mr. Young?

13 A. Not a regular, but it was just -- there would have been
14 ad hoc meetings with Mr. Young or the Urology Team, as
15 required. I think this was specifically -- there was 10:56
16 a number of issues discussed at that meeting, I think,
17 in relation to, I think, job planning or equipment
18 issues, what have you, and then, in particular, this
19 issue came up.

20 80 Q. But you can't recall the specific trigger which led to 10:56
21 Mr. O'Brien being discussed at this meeting?

22 A. Well, other than we were all aware that this was an
23 ongoing problem and we were trying to work our way
24 towards finding out a solution to that.

25 81 Q. Are you aware if Mr. Young did meet with Mr. O'Brien? 10:57
26 A. I'm not aware. I can't answer that.

27 82 Q. Did you follow that up as his Clinical Director?

28 A. I don't think I had a follow-up with that, but then we
29 were moving into the next phase of what I was going to

1 do with this, in parallel to this. So I think the
 2 approach was, again, Mr. Young quite informally was
 3 going to speak to Mr. O'Brien to see if he could deal
 4 with this issue, this backlog issue, but still
 5 remaining for me to come up with this action plan to
 6 deal with it in a more structured way. 10:57

7 83 Q. So you never chased Mr. Young and so far as you recall
 8 Mr. Young never reported back?

9 A. No.

10 84 Q. You mentioned there that the next stage -- it appears 10:57
 11 as if you had a meeting with Dr. McAllister on 18th
 12 August 2016, and that is outlined in his Section 21
 13 response, WIT-14862. Do you recall this meeting on
 14 18th August 2016? Dr. McAllister refers to as:

15 10:58
 16 "Our regular Thursday meeting, we discussed what steps
 17 could be taken to sort this chronic problem out once
 18 and for all. Among the things we discussed I suggested
 19 that removal from theatre, until the backlog was
 20 cleared, would be the most effective incentive for 10:58
 21 Mr. O'Brien to address the triage backlog and other
 22 issues. Mr. Weir appeared concerned at this suggestion
 23 and said that Mr. O'Brien would go mad."

24
 25 Now, let's unpack that a wee bit. Do you recall 10:58
 26 a meeting with Dr. McAllister on 18th August?

27 A. Well, if you had asked me to recall it without that
 28 I wouldn't have recalled it but, yes, I think, yes, in
 29 retrospect, that sounds familiar.

1 85 Q. Do you know what would have been a prompt for this
2 meeting on 18th August?

3 A. What would be? Sorry.

4 86 Q. What would have been the prompt for this meeting or for
5 discussing Mr. O'Brien at the this meeting on 18th 10:59
6 August?

7 A. I suppose, I'm just surmising that Dr. McAllister is
8 basically saying what can we do to sort this out? What
9 is the action plan going to be? That's it, just the
10 ongoing issue. 10:59

11 87 Q. Dr. McAllister records that he made or suggested
12 removing Mr. O'Brien from theatre until the backlog was
13 sorted. Can you recall that suggestion?

14 A. Sounds -- yes, as far as I can recall. Yes, that
15 sounds familiar. 11:00

16 88 Q. Was removing a consultant surgeon from theatre, or the
17 threat of that, is that a management tool which was
18 usually used?

19 A. I never heard that tool used before to deal with a
20 problem like this, but I never came across a problem 11:00
21 like this before in my practice dealing with anybody.
22 I can understand what he was suggesting and why he was
23 suggesting it. Yes, free up the time, clear the
24 backlog, and then just keep it like that. I think
25 that, knowing Mr. O'Brien and knowing how much he felt 11:00
26 the need to operate on patients and be in theatre and
27 operate on his patients and put through work in that
28 way, that he would be resistant to that. So that
29 was -- I'm just reflecting my working knowledge of

1 Mr. O'Brien, I guess.

2 89 Q. The last aspect of that then was Dr. McAllister records
3 that you, Mr. Weir, appeared concerned at this
4 suggestion and said that Mr. O'Brien would go mad. Do
5 you recall expressing concern? 11:01

6 A. I think, yes. It sounds familiar. Yes.

7 90 Q. Is this an outworking again of this reticence you were
8 talking about earlier, a nervousness about challenging
9 a consultant colleague?

10 A. Yes, just a nervous reluctance to say, is this the 11:01
11 right way to do with this problem, this backlog of
12 work? This hasn't happened in the last three months,
13 this is a much deeper, long-standing issue. Also, as
14 I said, knowing how Mr. O'Brien's professional -- how
15 professionally he works and his commitment to wanting 11:02
16 to operate and put through patient workload in the
17 operating theatre, I think he would struggle with that
18 suggestion. That's my personal opinion and, you know,
19 that's it, that's all I can say in relation to that.

20 91 Q. Would you have voiced those sentiments to 11:02
21 Dr. McAllister at that meeting?

22 A. Yes. Definitely.

23 92 Q. Do you think this threat of removal from theatre was
24 overly Draconian at this time?

25 A. I mean, I don't think -- I mean, I can understand it. 11:02
26 I mean, I think, as a suggestion, it's not a bad one.
27 But I have -- you know, but asking -- it's his
28 suggestion and I have a concern about why I think that
29 may not entirely be the best way to deal with this.

1 93 Q. If we just finish paragraph 11.6 of Dr. McAllister
2 there.

3
4 He says: "I asked him" -- that's you, Colin Weir --
5 "to think about it over the weekend and come up with a 11:03
6 solid plan that would sort of the problem out once and
7 for all and speak to Mr. O'Brien the following week."

8
9 At this stage, 18th August 2016, did you revert to
10 Dr. McAllister with a plan? 11:03

11 A. Not at that stage, as far as I can recall. Not
12 immediately.

13 94 Q. He also goes on to say "and consider speaking with
14 Mr. O'Brien the following week." Did you speak with
15 Mr. O'Brien in August 2016? 11:03

16 A. I honestly can't recall. I don't know.

17 95 Q. Your next involvement in this appears to be on 23rd
18 August. If we look at TRU-281130, please. We'll just
19 start at the bottom there, which is an email from 22nd
20 August from Simon Gibson to Dr. McAllister, amongst 11:04
21 others. You weren't copied into this at that time, but
22 it says:

23
24 "Dear all, I have been asked by the Medical Director to
25 consider a range of issues in relation to Mr. O'Brien. 11:04
26 As part of this, I would be grateful if each of you
27 could confirm back to me if you received any plans or
28 proposals."

29 In August 2016 before seeing this email were you aware

1 the Medical Director was starting to show an interest
2 in this again?

3 A. No.

4 96 Q. Go up, please. This is Dr. McAllister to you the
5 following day, 23rd August 2016.

11:05

6
7 "Strictly in confidence.

8 Hi, Mr. Weir, please see below. This has come to light
9 subsequent to our discussion on this subject last
10 Thursday" -- which presumably would have been 18th
11 August. "It appears that the boat is missed. I note
12 you are on leave this week and I'm off for the
13 following two so won't get a chance to meet/discuss.
14 Please hold off on attempting to address this issue
15 until the dust settles on the process below."

11:05

11:05

16
17 If the Medical Director had been looking into
18 Mr. O'Brien, even at a high level at this stage,
19 Mr. Gibson is looking to know if anyone has heard
20 anything from him in terms of plans and proposals.
21 would that have stopped you and Dr. McAllister from
22 trying to tackle the issue yourselves?

11:06

23 A. I heard that the Medical Director was looking into
24 this? Absolutely. That would have been the perfect
25 moment for me to stop. I mean the Medical Director
26 could have investigated or come to us, but if that's --
27 if they were undertaking a separate process, of which
28 I was not aware was happening, then -- or if I was
29 aware of that, then it would have been -- you know, it

11:06

1 would have been wrong for me to continue, you know,
2 with my own process or our own process.

3 97 Q. If you just go back down -- sorry, James -- to
4 Mr. Gibson's email:

5
6 "I have been asked by the Medical Director to consider
7 a range of issues in relation to Mr. O'Brien. As part
8 of this, I would be grateful if each of you could
9 confirm back to me if you have received any plans or
10 proposals from Mr. O'Brien to address the issues."

11:07

11:07

11
12 It does not necessarily sound as if the Medical
13 Director is kind of, you know, about to launch into a
14 full scale process at that stage, it simply sounds that
15 the Medical Director is trying to gather some
16 information. Should this have stopped you and
17 Dr. McAllister, really, from at least trying to engage
18 with Mr. O'Brien, even simply just to say, listen,
19 Aidan, the Medical Director is sort of asking
20 questions, we need to try to sit down and sort this
21 out?

11:07

11:07

22 A. Yeah, I mean if that was the case then it would have
23 made sense to say, right, let's just move this on to
24 something else, the Medical Director's Office is
25 looking into this, then -- I mean, yeah, that would
26 have been my issues, at least for that point, resolved.

11:07

27 98 Q. While I note Dr. McAllister's email to you implies
28 you're on leave, do you recall if you did speak to
29 Aidan O'Brien after this email or did you follow his

1 order to --

2 A. No, I didn't. We were on leave. There wouldn't have
3 been any contact at all during that time.

4 99 Q. At this juncture again, can I just take you back to
5 your evidence to Dr. Chada. So if we did get TRU-00782 11:08
6 back up on the screen. I just want to deal with
7 a discrete point. If we go back to paragraph 10,
8 please. You say:
9

10 "I don't think people knew the enormity of the problem 11:08
11 or how far back it was going. I know I was told at
12 a point not to meet with Mr. O'Brien about this issue.
13 I can't recall who said this to me, it may have been
14 Ronan."
15 11:08

16 Referring to Ronan Carroll, the Assistant Director.
17 On reflection, could this email of the 23rd of August
18 from Dr. McAllister be what you were referring to here?
19 Was it Dr. McAllister who told you, perhaps, to not
20 engage with Mr. O'Brien? 11:09

21 A. Well, it sounds from the -- if someone is saying leave
22 this until the dust settles, I don't -- you know, that
23 meant, to me, do nothing and wait for the outcome.
24 I mean, it didn't say that I wasn't -- that we weren't
25 going to come back to this at some point. That's my -- 11:09
26 that's what I took the meaning of that to be, that
27 "dust settles" means wait and see what happens. If
28 nothing happens then it comes back to us to initiate an
29 action plan.

1 100 Q. So despite the reference to Dr. Chada -- or, sorry,
2 Ronan Carroll there to Dr. Chada, could that have been
3 this email you were talking about or something else?
4 A. I don't recall.
5 101 Q. Can you recall ever being issued with instruction by 11:10
6 Mr. Carroll not to engage with Mr. O'Brien?
7 A. It would be wrong for me to say yes. I couldn't, with
8 all honesty, say yes or no.
9 102 Q. Apart from this email from Dr. McAllister on the 23rd
10 of August, can you recall anyone else issuing you an 11:10
11 instruction to --
12 A. No.
13 103 Q. -- not engage with Mr. O'Brien?
14 A. No.
15 104 Q. Looking at your statement to Dr. Chada there, you are 11:10
16 clear that you can't recall who said this at the time,
17 said this to me, "it may have been Ronan". Is there
18 any reason you put Mr. Carroll's name there, can you
19 recall?
20 A. I really honestly can't recall. 11:10
21 105 Q. If you could pull up TRU-00026, please. This is the
22 minutes of an Oversight Committee meeting which met on
23 the 13th September 2016. Before we launch into that,
24 again, just being clear, from the 23rd August to 13th
25 September, had you spoken to Mr. O'Brien? 11:11
26 A. From the 23rd of August --
27 106 Q. About these issues?
28 A. I can't recall. I don't think there was a formal
29 meeting at that stage, no.

1 107 Q. This Oversight Meeting was attended by Dr. Wright,
2 Ms. Toal, Mrs. Gishkori. You weren't there. When did
3 you become aware that this meeting had taken place?
4 A. Sorry, what's the date of this?
5 108 Q. 13th September 2016. 11:12
6 A. I wasn't aware of any such meeting, in fact, at any
7 point in time or an awareness of an Oversight Committee
8 prior to December 2016, perhaps, at the earliest when
9 Mr. O'Brien was excluded from work. So I wasn't aware
10 of this Committee or these meetings at any time. 11:12
11 109 Q. If we just scroll down ever so slightly to the four
12 bullet points there. You say you weren't aware of it.
13 The first bullet point there says:
14
15 "Simon Gibson to draft a letter for Colin Weir and 11:12
16 Ronan Carroll to present to AOB."
17
18 Mr. O'Brien, and then four bullet points:
19
20 "Esther Gishkori to go through the letter with Colin." 11:13
21
22 Presumably that's yourself:
23
24 "...Ronan and Simon, prior to the meeting with
25 Mr. O'Brien." 11:13
26
27 Even though you were given specific tasks and referred
28 to by name and "Colin is going to do this", you weren't
29 aware of that meeting?

1 A. No. There was no such meeting, or at least no such
2 meeting that I was at.

3 110 Q. This meeting takes place on 13th September 2016. By
4 16th September 2016 you're e-mailing Dr. McAllister an
5 eight-point plan to resolve issues with Mr. O'Brien, 11:13
6 with a view to resolving issues with Mr. O'Brien. How,
7 as far as you understand it, did that eight-point plan
8 come into existence? Who asked you? What instructions
9 were you given and how did it come about?

10 A. It was my initiative. So Dr. McAllister, as I recall, 11:13
11 was, I suppose, asking me, you know with a plan of what
12 we were going to do. So I thought of my own initiative
13 that the best way to do this was to put it in writing
14 by email with what I thought a plan of action should
15 have been. That I wanted to share that with a number 11:14
16 of individuals because I felt it needed ownership not
17 just of one person, I needed kind of input from other
18 individuals to see if they agreed to this proposed
19 action plan. Because, again, I go back to the fact
20 that I felt that this was much bigger than it seemed at 11:14
21 first sight, it is more complex, a much deeper problem
22 that was going to take some time to resolve.

23
24 Then subsequent to that, it also stipulated a request
25 that in the implementation of that action plan in any 11:15
26 potential meetings with Mr. O'Brien that it wouldn't be
27 just me and Mr. O'Brien, there would need to be
28 somebody else, and that would be -- I think I requested
29 Dr. McAllister in the first instance to be present so

1 there were at least two people in the room. I felt
2 that everybody was saying: Colin Weir is going to sort
3 that out and I felt very -- I feel cross, actually now
4 when I think about it, everybody was pointing
5 Colin Weir will sort that out, Colin Weir will sort
6 that out. Get Colin Weir to sort it out. I expressed
7 a reluctance that this was not the way to do this. So
8 hence an action plan that was shared with others and
9 the implementation of that involved at least two people
10 in the room with Mr. O'Brien.

11:15

11:16

11 111 Q. This action plan you propose, it is different from
12 what's envisaged at the Oversight Committee. At that
13 Oversight Committee, if we look at the third bullet
14 point on the screen there.

15
16 "The letter should inform Mr. O'Brien of the Trust's
17 intention to proceed with an informal investigation
18 under MHPS at this time."

11:16

19 Your action plan had a different process?

20 A. I had no knowledge there was even an Oversight
21 Committee in existence.

11:16

22 112 Q. Were you --

23 A. Sorry to interrupt. I'm emphasising again, the action
24 plan was mine, entirely mine based on what the evidence
25 I had been presented up to that point, and my best
26 initial view as to how to approach Mr. O'Brien and deal
27 with the problem.

11:16

28 113 Q. Were you involved at this time in any discussions with
29 Mrs. Gishkori about how to handle Mr. O'Brien?

1 A. There may have been one meeting I might have been in
2 the room with Dr. McAllister and Mrs. Gishkori. I have
3 a recollection, at best, that there may have been one
4 meeting in her office where, I think, this was
5 discussed briefly. 11:17

6 114 Q. When did that meeting take place?

7 A. Around about this time, as far as I can recall.

8 115 Q. If we look at TRU-257636. The email in the middle
9 there from Dr. McAllister, please. It says
10 Dr. McAllister to Mrs. Gishkori on 14th September 2016. 11:18

11

12 "Hi Esther. Further to our meeting today here is the
13 only communication that I have received on this
14 subject."

15 11:18

16 I understand that was a regular meeting between
17 Dr. McAllister, Mrs. Gishkori and Mr. Carroll. Were
18 you at that meeting?

19 A. No.

20 116 Q. If we go up, please? The context for this is 11:18
21 Mrs. Gishkori was at the Oversight Committee and would
22 have known what was agreed. Following this meeting of
23 Dr. McAllister she says:

24

25 "I am clear that I wish you and Colin to take this 11:18
26 forward and explore the options and potential solutions
27 before anyone else gets involved. We owe this to
28 a well-respected and competent colleague."

29

1 were you in any discussions with Mrs. Gishkori about
2 the oversight group?

3 A. No.

4 117 Q. An informal MHPS investigation?

5 A. No.

11:18

6 118 Q. And what appears to be, perhaps, a change of course to
7 your action plan?

8 A. No.

9 CHAIR: Mr. Beech, I'm conscious of the time. Might it
10 be an appropriate time to take a short break?

11:19

11 MR. BEECH BL: Yes, ma'am.

12 CHAIR: Can we come back, please, at 11.30?

13

14 THE HEARING ADJOURNED BRIEFLY AND RESUMED AS FOLLOWS:

15

11:19

16 CHAIR: Mr. Beech.

17 MR. BEECH BL: Thank you, Madam Chair.

18 119 Q. Mr. Weir, perhaps if we start at WIT-23373, which is an
19 extract from Mrs. Gishkori's response to her Section 21
20 Notice. If we start at the very stop. Now before the
21 break we were discussing whether or not you had met
22 with Mrs. Gishkori. At the very top here she says:

11:32

23

24 "Sensing real and meaningful remedial action was
25 necessary, I spoke with both Mr. O'Brien's CD, Mr. Weir
26 and AMD, now Dr. McAllister, and asked if they could
27 suggest an efficient solution to address Mr O'Brien's
28 issues with administration in particular."

11:32

29

1 You recall meeting her but you can't recall the
2 specifics; is that right?

3 A. As I said before the break, I do recall one meeting
4 between Mrs. Gishkori, Dr. McAllister and myself.
5 That's my recollection, so presumably that's the same 11:32
6 meeting.

7 120 Q. Then if we look at AOB-01053, please. Perhaps if
8 we start right down at the bottom, please? This is an
9 email from Mrs. Gishkori to Richard and Vivienne, so
10 that's Dr. Wright and Ms. Toal, the Medical and HR 11:33
11 Director. She says:

12
13 "Following our Oversight Committee on Tuesday 13
14 September, I had a meeting with Charlie McAllister and
15 Mr. Carroll, my AMD and MD for surgery to mention the 11:33
16 case that was brought to the Oversight meeting in
17 relation to Mr. O'Brien and the plan of action."

18
19 Actually, Charlie and Colin Weir already have plans to
20 deal with the urology backlog in general and 11:33
21 Mr. O'Brien's performance was, of course, part of that.
22 Now that they both work locally with him they have
23 plenty of ideas to try out and since they remain
24 relatively new into post I would like to try out their
25 strategy first. " 11:34
26

27 He then requests that they be given three calendar
28 months to resolve the issues in relation to
29 Mr. O'Brien's practice or performance. He says:

1 "...owing to the trust and respect that Mr. O'Brien has
2 earned over the years."

3
4 If you go up, please, to Dr. Wright's response. He
5 says:

11:34

6
7 "Esther, as Director of the Service, naturally we have
8 to listen to your opinion before I would consider
9 conceding to any delay in moving forward and with what
10 was our agreed position after the oversight meeting
11 I would need to see what plans are in place to deal
12 with the issues, understand how progress would be
13 monitored over the three-month period."

11:34

14
15 Then lastly, please, on up. Mrs. Gishkori forwards
16 this to you on 15 September and Dr. McAllister and Mr.
17 Carroll saying:

11:34

18
19 "FYI, below and my response will be."

11:35

20
21 Is this the trigger to you reducing this eight-point
22 plan to writing the following day?

23 A. Yeah, I had been thinking about it but I think that's
24 the trigger to get it down and share it.

25 121 Q. In preparing your plan, which we will come to in
26 a second, would you have sourced further information.
27 There is an email to you from Martina Corrigan from you
28 on 15 September flagging missing triage from Mr.
29 O'Brien, would you have requested information from

11:35

1 Martina in preparing that plan?

2 A. I think I was needing an update on the situation with
3 Mr. O'Brien and triage, just to see where we were, as
4 far as I can recall.

5 122 Q. Before the break you said it was your plan, you were
6 very adamant it was your plan?

7 A. Yes.

8 123 Q. It might have been your plan, but at this stage
9 Mrs. Gishkori is inviting you to produce it, is that
10 right?

11 A. Yes. I think she -- yes, that's -- yes.

12 124 Q. so while it was your plan and perhaps you had had this
13 formulating in your mind for a while, you produce it on
14 16 September on direction from Mrs. Gishkori, is that
15 fair?

16 A. Yes.

17 125 Q. Could we have a look at the draft plan on TRU-257641.
18 If we zoom in on Mr. Weir's email of 16 September,
19 thank you. You say: "Further to discussions" -- this
20 is to Charlie in the first instance, Dr. McAllister:

22 "I propose that I, as CD, and you, as AMD, implement
23 the following action plan in relation to outstanding
24 issues in respect of Mr. O'Brien."

26 Move on, please. You then have got eight bullet
27 points. At this stage you're well aware that the
28 issues with Mr. O'Brien have been long-standing. You
29 may not be aware of the precise extent, they had been

1 long-standing. How was this specific plan, as put out
 2 in these eight bullet points, going to resolve or at
 3 least start the process of resolving that issue?

4 A. Well, I suppose it was -- it was to set down some
 5 markers for clearing the backlog and, really, to 11:37
 6 specify clearly and in writing, a timeframe for -- or
 7 negotiate with Mr. O'Brien, and this was the basis of
 8 a discussion with him, on how he was going to clear the
 9 backlog, how were we going to get him to deal with the
 10 new to review ratio, the returning of patient notes. 11:38
 11 I think it just -- that's the plan. That's the basis
 12 for what a series of meetings or discussions
 13 face-to-face with Mr. O'Brien and Dr. McAllister was
 14 going to be and ask him for his proposals on how to
 15 clear this backlog. 11:38

16 126 Q. So let's just take Points 2 and 3, for example: To
 17 implement a clear plan to clear triage backlog. Point
 18 3: Make arrangements to validate the review backlog
 19 and adapt clinic new to review ratios to reduce this.
 20 There isn't much of a plan in those bullet point, per 11:39
 21 se, to address this behaviour from Mr. O'Brien. Was
 22 your intention to sit down and collaboratively work --

23 A. There was to be a two-way collaborative discussion
 24 between myself and another person, in this case,
 25 Dr. McAllister, and Mr. O'Brien. 11:39

26 127 Q. At the top of the email there it says that:

27
 28 "I propose that I, as CD, and you as, AMD, implement
 29 the following action plan."

1 what support were you imaging Dr. McAllister was going
2 to give you in bringing this plan into action?

3 A. I was very clear right from the outset of this that
4 this was not to be entirely me to manage this, to
5 implement it. I felt it was important that somebody 11:39
6 else more senior in the management team or medical
7 management team was involved in this. And I was very
8 clear about that right from the start, that I didn't
9 feel comfortable. That I was one person being asked to
10 deal with a very long-standing, complex problem which 11:40
11 seemed to me to be getting worse over time, not better.
12 It was very easy -- I could see scapegoating issues
13 being -- you know, if this didn't happen then, you
14 know -- I felt that I needed some cover from the more
15 senior medical management team to help me do this. 11:40
16 I was happy to do it. I was happy to have those
17 meetings. But that's -- I felt it was important for me
18 to have back-up for that.

19 128 Q. If we just go up, please, further up the email chain.
20 Thank you very much. This is Dr. McAllister's reply on 11:40
21 21 September. He says that:

22
23 "Apart from the fact you spelt his name wrong, it is
24 absolutely excellent and I agree completely. It would
25 be important to do this in a positive constructive 11:40
26 supportive role that Mr. O'Brien be aware of this."

27
28 Did you feel at that time as if you were getting the
29 support of Dr. McAllister to go ahead?

1 A. Yes, that was very supportive, excellent. Very happy
2 with that.

3 129 Q. If we keep moving up, please. Mr. Carroll himself has
4 some additions and some comments to make on 22
5 September. 11:41
6

7 So from 21st September, whenever Dr. McAllister comes
8 back and endorses your plan, and you say you were happy
9 with his engagement, what steps did you take to put
10 this plan into action? 11:41

11 A. There was no -- I don't think there was any steps.
12 I think that was as far as we got in producing the
13 plan. So there was nothing -- we didn't progress it
14 beyond that into an actual face-to-face meeting -- or
15 at least that didn't happen in that timeframe. 11:42

16 130 Q. I'm sure the Inquiry will be interested to know why.
17 What reason stopped this plan which had been endorsed,
18 which you created, which you say you are wanting by, in
19 from the Associate Medical Director, you said you had
20 that? 11:42

21 A. As far as I can recall it was just a matter of getting
22 everybody available to meet up to start this process.

23 131 Q. I'm not trying to be difficult, Mr. Weir. You say you
24 needed to get everyone to meet up to start the process?

25 A. To have myself, Dr. McAllister, and Mr. O'Brien, 11:42
26 I suppose, in the first instance available.

27 132 Q. You had Dr. McAllister's blessing and, according to
28 your own plan, which we can see here copied by
29 Mr. Carroll into his email, you were to have the

1 initial face-to-face meetings with Mr. O'Brien. It was
 2 on you to have these meetings with Mr. O'Brien. There
 3 doesn't really seem to be a suggestion that the
 4 Assistant Medical Director was --

5 A. No, the first meeting would involve you, me and 11:43
 6 Mr. O'Brien. That was written to Dr. McAllister.

7 133 Q. You're quite right. But having got this plan green
 8 lit, are you simply telling the Inquiry it was because
 9 you couldn't get yourself and Dr. McAllister in a room
 10 with Mr. O'Brien? 11:43

11 A. Yes. Just having a time to get things, yes.

12 134 Q. We know, as you said at the start, that Dr. McAllister
 13 subsequently left his role as Associate Medical
 14 Director. That wasn't until 13th October 2016. Was
 15 there really no time that you and Dr. McAllister could 11:43
 16 meet with Mr. O'Brien before that departure of
 17 Dr. McAllister?

18 A. You know, there may have been. I just don't recall
 19 what circumstances were driving against that. I mean,
 20 you know, all of us at the time had busy clinical 11:44
 21 practices and other commitments as well. I think it
 22 was just a matter of finding the time available to get
 23 the thing started, and kick started.

24 135 Q. This is a matter which has raised concern at pretty
 25 high levels in the Trust. You have the Acute Director 11:44
 26 Mrs. Gishkori interested in this. You have the Medical
 27 Director, Dr. Wright looking to take some type of
 28 action. Did you not appreciate there was some level of
 29 urgency to try and work this out with Mr. O'Brien

1 before it spiralled into something much more serious?

2 A. Yes there was. Yes, I guess there was a sense of
3 urgency or needing something to get started on this.
4 But that, I suppose, regretfully, we didn't get to the
5 point of that first meeting within that, you know, 11:45
6 within a few weeks of that email being sent.

7 136 Q. I know that you, yourself, had a period of absence from
8 the Trust in November. Mr. O'Brien was off on sick
9 leave from 15th November 2016. Even after McAllister
10 has stepped down from Associate Medical Director, was 11:45
11 there no opportunity for you to meet with Mr. O'Brien
12 to action this plan?

13 A. Once there was no Associate Medical Director, that was,
14 to me that was -- because all of this was coming from
15 Mrs. Gishkori and Dr. McAllister. It was their view 11:45
16 that this was the way to deal with this. It was their
17 asking that something be done in this less formal way.
18 So, once Dr. McAllister was no longer available, I felt
19 that everything was up in the air again.

20 137 Q. On the end, perhaps if we could just refer back -- 11:46

21 A. Sorry, can I also say as well, once you lose
22 Dr. McAllister, then that changes all our roles in an
23 instant, and what we're required to do as well as our
24 clinical work and take on, you know, our managerial
25 roles, that has changed. 11:46

26 138 Q. If we could get AOB-01053 back up on the screen,
27 please?

28

29

1 You've been very candid today about your reluctance to
2 tackle this without support. Yes, you're correct that
3 Dr. McAllister was off from 13th October, but if we go
4 down to Dr. Wright's email of 15th September, albeit
5 somewhat reluctantly, he does, in effect, endorse the 11:47
6 approach which McAllister has been trumpeting, i.e.
7 that you were to sit down with Aidan O'Brien, work out
8 a plan and you had 3 months to do so. You had the
9 Medical Director on your side too. Was that not
10 a sufficient support for you to go in and meet with 11:47
11 Mr. O'Brien?

12 A. Yes, but the whole thing was predicated on the chain
13 being -- to Medical Director, Mrs. Gishkori, then
14 Dr. McAllister. Their meetings. Oversight Committee
15 meetings of which I was completely unaware. A desire 11:47
16 to run this in this way. The requirement for me to
17 work with somebody else to do this. And suddenly that
18 was taken away from me. You know, so it left me in
19 a difficult position and exposed, again, as to how
20 I was the going to run this investigation single 11:48
21 handedly. I know you feel that there may have been
22 a sense of urgency, but we were dealing with something
23 that was going back a long way that was deep and
24 complex and recurrent and persistent, as far as I could
25 see. I felt, again, that I was being left to be the 11:48
26 one person to deal with this and sort this out.
27 I don't think I was happy with that.

28 139 Q. We'll see from Dr. Wright's email on the screen, 15th
29 September, that he says:

1 "I would need to see what plans are in place to deal
2 with the issues and understand how progress would be
3 tracked."

4
5 You produced a plan the next day. The evidence we have 11:49
6 got is that the Medical Director's office never
7 received a copy of your plan. Did you take steps to
8 share it with the Medical Director?

9 A. No, but I wasn't asked to. I did share it with my
10 Associate Medical Director and the Director of Acute 11:49
11 Services. I heard that the Medical Director had
12 a degree of involvement or in terms of an Oversight
13 Committee, so to me it seemed natural to go up the
14 chain of command that I had already been working with.

15 140 Q. I suppose, before we leave this period of time which 11:49
16 the Inquiry is interested in, I would like to raise an
17 issue concerning Patient 93, who I believe you refer to
18 in your Section 21 response at WIT-19904, paragraph 13,
19 please. I'm aware we're jumping back.

20
21 "On 31st August Mr. Haynes noted a patient of
22 Mr. O'Brien's was not triaged.

23 After the square brackets it picks up: "The patient
24 was seen by me for leg pain, possibly due to
25 a circulation issue, but metastatic disease was noted 11:50
26 in keeping with metastatic prostatic carcinoma. The
27 triage delay was 3.5 months and apparently this would
28 not have changed the outcome".
29

1 we'll get the emails up here which you refer to, which
 2 are TRU-274753. While it's coming to the screen, just
 3 so I'm clear, who raised the concern about this case?
 4 Was it you speaking to Mr. Haynes or was it Mr. Haynes
 5 himself?

11:51

6 A. The concern about the delayed diagnosis was nothing to
 7 do with me. The diagnosis was an incidental,
 8 unexpected finding during the course of investigation
 9 or circulation problem, namely a CT scan. During the
 10 course of that, the results of that CT scan highlighted
 11 an individual with what was likely metastatic prostatic
 12 carcinoma. I immediately referred the patient to
 13 Mr. Haynes, who, I think, in turn had detected that
 14 there was a delay in the triage from a urological point
 15 of view.

11:51

11:51

16 141 Q. Perhaps let's work through this email chain it will
 17 help us. 31st August, the very bottom please, from
 18 Mr. Haynes, he largely summarises what was in your
 19 statement there but at the very end he asks a question,
 20 he says: "SAI?"

11:52

21
 22 If we work up that chain then, Mr. Carroll's
 23 involvement on 31st August 2016. Mr. Carroll emails
 24 Dr. McAllister.

11:52

25
 26 "Please can you see the series of emails. Suffice to
 27 say that although the outcome for the patient would not
 28 be any different this, as you know, is not the issue
 29 that needs to be dealt with."

1 I know you weren't copied into that, but reading it now
 2 what do you think the issue is that needed to be dealt
 3 with here?

4 A. That there was a delay of 3.5 months in triage. So
 5 irrespective of the outcome, I would say the reading of 11:52
 6 that is that a delay in triage has the potential for
 7 patient harm.

8 142 Q. If you just move up, please? Dr. McAllister then, also
 9 on 31st August, says: "My thoughts are this should go
 10 to Mr. Young first, as Urology Lead, and Mr. Weir 11:53
 11 second as the CD".

12
 13 If we go up again. This is Martina's email of 2nd
 14 September to Michael Young.

15 11:53
 16 "Michael, please see email chain and Charlie's comments
 17 below. Can you please discuss with Colin when you are
 18 back from annual leave and advise a course of action?"

19
 20 Do you recall discussing this with Mr. Young? 11:53

21 A. No.

22 143 Q. If we just move on, please. Michael Young provides
 23 some comments on 8th September. The Inquiry, no doubt,
 24 will wish to ask questions of Michael Young with
 25 respect to his comments, but if we move up slightly. 11:54
 26 Martina Corrigan emails you on 16th September.

27
 28 "Hi Colin, I'm not sure if I forwarded this to you
 29 already. The initial query here from Mark Haynes was

1 whether this was an SAI. I don't believe this ever
2 became an SAI, despite it having some similarities with
3 other SAIs declared and to be declared with regards to
4 a failure to triage."

5
6 what involvement did you have after Mrs. Corrigan
7 emails you on 16th September?

8 A. None after that. I can't recall what Michael Young had
9 said, but he had reviewed -- I do recall there was an
10 email -- emails exchanged indicating that it wouldn't
11 have affected patient outcome. So there was no --
12 I felt at that point -- I'm not -- I don't want to make
13 things up that I'm not clear about, but there was no
14 further mention or discussion about an SAI or
15 initiating an SAI at that point and just on the basis
16 of a reading of Mr. Young's investigation of this case.

17 144 Q. Was Martina Corrigan forwarding it to you on 16
18 September for you to make the call about --

19 A. No. I think it was for information on this case and --
20 it wasn't -- I don't think the implication was to make
21 a determination on an SAI, yes or no.

22 145 Q. Who would have been making the call if this was an SAI?

23 A. Well, I would have thought that Mr. Young and the team
24 would have -- as being the experts -- would have
25 initiated that, if required. They would have known
26 whether this was, in their view and their expertise, of
27 significant nature to initiate an SAI.

28 146 Q. I suppose the last question on this is really that
29 these emails are all between 31 August and 16

1 September, which is a relatively heavy traffic time in
 2 your considerations of issues about Mr. O'Brien. You
 3 are producing your plan that very same day. Whenever
 4 you were producing your plan, did it ever cross your
 5 mind that there were ever patients at least at risk of 11:56
 6 being harmed by this?

7 A. I don't think it quite in my mind fitted with
 8 everything. I think once I'd seen what Mr. Young had
 9 said, I felt that that was -- as a team, as a group of
 10 urologists, there was a delay, but no harm and nothing 11:57
 11 further at that point needed done. I suppose my focus
 12 was on all these other issues. So it didn't -- to me
 13 it didn't quite dovetail in with that. Maybe it should
 14 have, but I think the other issues were longer standing
 15 and there were bigger problems, I guess, in retrospect. 11:57

16 147 Q. I'm just perhaps now going to move on to a slightly
 17 different period of time. You go off sick in November.
 18 Do you recall whenever you recover from your
 19 convalescence, when you would return to work?

20 A. I was off for at least six weeks, so we're talking, 11:57
 21 we're in to mid-December before I was able to --

22 148 Q. Upon your return to the Trust in mid-December, what was
 23 your awareness of the state of play of Mr. O'Brien in
 24 these issues?

25 A. There was no -- I suppose just coming back, you are 11:58
 26 just feeling your way back into things. So not aware
 27 of any change in status, or any action, or any new
 28 events at that point.

29 149 Q. And the situation does develop quite rapidly towards

1 the end of December. When did you become aware that
2 there was to be further action?

3 A. I recall on 30 December I was informed that Mr. O'Brien
4 was to be excluded from work, pending an investigation,
5 a formal investigation. 11:58

6 150 Q. On hearing that Mr. O'Brien had been excluded, how did
7 you react?

8 A. Well, to be honest, I felt that, you know, there was
9 a process that in retrospect should have been the case
10 long before 30 December. I felt relieved that I was 11:58
11 not being isolated into dealing with something complex
12 and deep on my own; that there was a proper Trust-based
13 process for investigating and dealing with things
14 further, so a sense of relief.

15 151 Q. You were Mr. O'Brien's Clinical Director, did you see 11:59
16 yourself as being his clinical manager for the terms of
17 MHPS Framework and the Trust Guidelines?

18 A. So I had some reluctance when I was asked --

19 152 Q. Sorry, are you talking about your role as case
20 investigator? I'm talking about a slightly earlier 11:59
21 point. On one reading of The Trust Guidelines, as
22 Clinical Director, you are Mr. O'Brien's clinical
23 manager. In theory, they should at least be involved
24 in these calls about exclusion and stuff like that.
25 Were you surprised, as Mr. O'Brien's Clinical Director, 12:00
26 to suddenly find out that he had been excluded from the
27 Trust?

28 A. I wasn't surprised. I mean, if I had been asked to
29 inform him, I would have happily have -- been happy to

1 do that. That wasn't an issue or problem for me. So
 2 I don't have -- I didn't have an issue with that.

3 153 Q. You do then subsequently get appointed as the Case
 4 Investigator into this formal process. I am, at the
 5 same time you're aware he is going to be excluded, 12:00
 6 you're aware there's going to be an MHPS investigation?

7 A. Yes.

8 154 Q. When and how was it communicated to you you were going
 9 to be the case investigator?

10 A. So we're into the first -- not even, I think not even 12:00
 11 second week of January 2017, I was asked to be case
 12 investigator by Richard Wright, Medical Director. I
 13 was given a timeframe under Maintain High Professional
 14 Standards to complete an initial investigation. I was
 15 advised I would have assistance from HR, from Siobhán 12:01
 16 Hynds who would help me with the process, and that my
 17 role was to investigate and report back to an oversight
 18 committee.

19 155 Q. I believe you indicated earlier on that you may have
 20 expressed some reluctance in this discussion with 12:01
 21 Dr. Wright. Could you elaborate on that?

22 A. As far as I can recall I felt resistant to this, to
 23 doing this, to be a case investigation. As I said
 24 earlier, I had been involved in a completely unrelated
 25 and different style of an investigation of a colleague. 12:02
 26 So that was very -- at the forefront of my mind.
 27 I found that very challenging and difficult and here
 28 I was being put in this difficult position and feeling
 29 reluctance to do that for that same reason. And

1 I think I expressed that. But I was then -- I think it
2 was insisted that I do it and also the fact that I had
3 support from HR and that it was merely being the
4 investigator and reporting to an oversight committee.
5 So it kind of made it a little bit easier for me to 12:02
6 take on the role but there were -- I had some concerns
7 about it.

8 156 Q. Whenever you're having this discussion with Dr. Wright,
9 to what level do you pitch these concerns. Is it
10 I shouldn't be the person doing this or I have 12:03
11 reluctance?

12 A. I have reluctance doing it because of previous
13 experience and it would probably be better somebody
14 else doing it, as far as I can recall.

15 157 Q. And on his suggestion that somebody -- on your 12:03
16 suggestion that somebody else would be maybe better
17 placed to do this, how did he...

18 A. I can't -- I think -- I've seen discussions elsewhere
19 in one of the transcripts, recorded transcripts, where
20 I had a conversation and I'd said to Mr. O'Brien and 12:03
21 expressed that I did have discussion with Richard
22 Wright expressing my reluctance to do that, but he was
23 more or less insistent that I did do it. That's the
24 totality of my recollection of any discussion.

25 158 Q. You date this conversation as being some time in the 12:03
26 second week of January?

27 A. Yes.

28 159 Q. Where you aware of the Oversight Committee meeting on
29 2nd December?

1 A. No.

2 160 Q. In that meeting you were given a series of jobs to do
3 in conjunction with Ronan Carroll about drawing up
4 action plans and stuff. It is at AOB-01280. When did
5 you become aware that you had been asked to prepare 12:04
6 various action plans?

7 A. I can't recall. Let me just see what the ...

8 161 Q. Down at the bottom there, please? A written action
9 plan to address this issue, which is triage, of a clear
10 timeline will be submitted to the Oversight Committee 12:04
11 on 10th January 2017?

12 A. I wouldn't think even by 10th January I was aware of
13 that, of an action plan. I can't recall that.

14 162 Q. If we look then at WIT-19906, please. In particular
15 we're looking at paragraph 22 at the bottom, please. 12:05
16

17 "Martina Corrigan, (Head of Service) and I met the
18 remainder of the urology consultants on 3rd January
19 2017 to explain Mr. O'Brien's exclusion."
20 12:05

21 In what capacity were you at that meeting with the
22 urology consultants?

23 A. As clinical Director.

24 163 Q. You're sure at that stage you weren't aware you had
25 been appointed as case investigator? 12:05

26 A. It's a week here, there, I honestly couldn't. Yeah,
27 but the exclusion was, I think I was made aware on
28 3rd December about the exclusion, and that's what we
29 were informing the group -- in my role as the Clinical

Director because obviously it would have an impact on the practice of the other consultants in terms of their on-call or triage. But an action plan on the 10th, I don't recall seeing that.

164 Q. You put this conversation with Dr. Wright as being the second week of January. You're aware that having immediately excluded Mr. O'Brien there was a relatively tight period of four weeks in which the Trust had to conduct some type of investigation. If this conversation took place when you say it did, by the time you spoke to Dr. Wright, half that time almost had already elapsed?

A. Yes.

165 Q. What was your reaction to that then, that you only had 2 weeks in effect?

A. I just thought we have to work within this. I thought an initial preliminary meeting could have been arranged within a couple of weeks. I mean I was keen not to allow the process to drift beyond the four-week time frame. At that point I felt, with the support of HR, that we could do this within two 2 weeks and report back.

166 Q. Your job title in the process is case investigator. I know you meet with Mr. O'Brien on 24th January, but what actual investigation did you do between finding out you had been appointed and meeting with Mr. O'Brien on the 24th?

A. We had no other investigation, other than the update on the numbers of patients awaiting triage and un-dictated

1 letters, which we had an update on that. So we were --
 2 basically the two of us were going in for this first
 3 meeting with Mr. O'Brien to put this range of issues to
 4 him as our -- basically our first investigation and
 5 report back to the management committee. So I was 12:08
 6 taking the lead from, you know, the process and the
 7 fact that it was an oversight committee and a clinical
 8 manager was making the decisions. They were happy, as
 9 I understood it, for me to have a meeting with
 10 Mr. O'Brien with Siobhán Hynds and then to report to 12:09
 11 them, then they made the determination after that. So
 12 that's, basically, the only thing that we achieved in
 13 that two weeks.

14 167 Q. But for receiving an update of the numbers?

15 A. Yes. 12:09

16 168 Q. That was the only real information you had or you had
 17 gleaned in this period?

18 A. Yes.

19 169 Q. Who was responsible for the providing of those figures?

20 A. As I recall, Martina Corrigan was probably able to pull 12:09
 21 the figures for us. Usually it was Martina. But I'm
 22 not one hundred percent sure.

23 170 Q. Referring to your meeting with Mr. O'Brien then 24
 24 January 24 with Ms. Hynds in attendance, what did
 25 you see the purpose of that meeting as? 12:09

26 A. Well, we were going in, putting the issues to him, and
 27 then trying to find how we were going to resolve those
 28 issues over time. So the meetings sort of evolved from
 29 an investigation of what had been happening to -- and

1 why it had been happening, in which Mr. O'Brien made
2 representations about his workload, and the nature of
3 his workload, and the intensity of his practice. So we
4 were cognizant of all of those things, recording
5 a background as to why this was happening. 12:10

6
7 Then, as the meeting progressed, we discussed potential
8 action plans to come out of that. So it went, really,
9 from an investigatory meeting into a kind of an action
10 plan developing a way forward for Mr. O'Brien in which 12:11
11 he expressed what he wanted to do and how he might
12 achieve that. Then finally we came up with some
13 stipulations around targets and what he needed to do in
14 order to avoid exclusion or continued exclusion from
15 practice. 12:11

16 171 Q. In what capacity did you see yourself in that meeting
17 under. Were you case investigator or clinician
18 director?

19 A. Both. And that's the -- you know, I've said this all
20 along -- that this was a failure or fault in the 12:11
21 process. That to have a clinical director, to have
22 somebody who is a day-to-day clinician colleague, and
23 be an investigator, and somehow completely separate
24 those roles was, at best, challenging. And it was
25 blurred. It quite quickly in that one and only meeting 12:12
26 became quite blurred. It did was quite a long meeting
27 and we discuss a lot of issues, but it was blurred and
28 it did drift into management and action plans and how
29 to avoid exclusion.

1 172 Q. We'll return to the workload pressures perhaps towards
2 the end of today.
3
4 Your next involvement is at a case conference where
5 a report offered by yourself was presented. How much 12:12
6 input did you have into the preparation of that report?
7 A. Siobhán wrote the contemporaneous notes and typed it
8 up, and we reviewed the document. So, I had oversight
9 of that document.

10 173 Q. If we look at the minute of that meeting, which appear 12:13
11 at TRU-00037?
12
13 You're in attendance at the meeting. You're listed in
14 the attendance in your capacity as the case
15 investigator. If we go down to TRU-00038, under the 12:13
16 heading of "discussion." You are recorded at this
17 meeting as follows:
18
19 "In terms of advocacy, in his role as Clinical Director
20 Mr. Weir reflected that he felt Mr. O'Brien was a good, 12:14
21 precise and caring surgeon."
22
23 "At this meeting" -- so we're now at 26th January, are
24 you clear in what capacity you were to attend this
25 meeting in? 12:14
26 A. Yes. I was presenting the outcome of our meeting on
27 the 24th and reflected all the discussion and how
28 I felt that Mr. O'Brien could work, return with
29 a lifting of his restrictions or exclusion from

1 practice, and how that could be achieved with targets
2 around triage and charts and completion of dictation in
3 a timely fashion, and clearing the backlog.

4 So there was overlap. It was an investigation in
5 a very limited fashion with one person, without any 12:15
6 time for triangulation or more in-depth investigations
7 but, as I say, it drifted into how to manage,
8 negotiation, trying to find a way through that would
9 keep Mr. O'Brien productive and safe in terms of his
10 practice and for his patients. So, there's 12:15
11 a subjective element to that, yes, but that's where
12 that, sort of, comes from.

13 174 Q. Whenever it records you as advocating for Mr. O'Brien,
14 were you challenged? Were your views teased out as
15 to -- 12:16

16 A. Well, my own, yeah. I felt I'm saying these things to
17 a committee that makes the final determination. So
18 I suppose, yes, I can say things that might swing their
19 decision-making, and they are reliant entirely on our
20 report and what we say so them. Yes, I think that 12:16
21 perhaps there's a fault in that in a sense, because
22 there hadn't been enough time to do a fuller
23 investigation. I wasn't challenged on that, I don't
24 think. I think there was a bit of discussion around
25 that but I think -- I was given assurances by 12:16
26 Mr. O'Brien and the committee assurances about how he
27 could return to work and manage his practice better and
28 clear his backlog. I thought that that was achievable
29 and that's what I was expressing.

1 175 Q. As an attendee at the meeting, the decision is
 2 ultimately Mr. O'Brien is to return to work. There is
 3 to continue to be a formal MHPS investigation. Who did
 4 you perceive as being the decision maker at that
 5 meeting?

12:17

6 A. The case manager and Dr. Wright, I think would have
 7 been -- it was Dr. Khan, the case manager, was making
 8 the final decision. That was my understanding and that
 9 was how the process should have worked. Because
 10 I think he did write, he did the communication and the
 11 writing, so it was his final determination.

12:17

12 176 Q. Dr. Khan and Dr. Wright both record in their Section 21
 13 responses you offered an assurance regarding
 14 Mr. O'Brien's clinical practice. If we look at D
 15 Mr. Khan first. It is at WIT-31985, please.
 16 Paragraph 12.2:

12:18

17
 18 "Mr. Weir (CD and then case manager) reflected there
 19 had been no concerns identified in relation to the
 20 clinical practice of Mr. O'Brien."

12:18

21
 22 Then Dr. Wright at WIT-17885, paragraph 57.2, the very
 23 first sentence:

24
 25 "I was reassured by Mr. Weir's assessment that the
 26 issues raised were largely administrative and no
 27 Patient Safety issues had arisen."

12:18

28
 29 Do you recall offering an assurance to both the Medical

1 Director and the Case Manager that there were no
2 clinical issues?

3 A. I would not have used those words and I don't
4 reflect -- we were presenting a discussion. I don't
5 think I said no Patient Safety issues had arisen.
6 That's not -- it wouldn't have made sense to say that
7 in any case.

12:19

8 177 Q. In fairness to you, if we can just refer to WIT-19951,
9 please, paragraph 127. In the middle of that
10 paragraph?

12:19

11
12 "The meeting agreed there was a 'case to answer' and
13 a formal investigation was required. I noted at the
14 meeting that I had no concerns identified in relation
15 to Mr. O'Brien's clinician practice...".

12:19

16
17 Is that not the precise assurance?

18 A. An aspect of operating skilled decisionmaking, I mean I
19 think that's, you know, in those terms, and I felt that
20 if we could get him to clear the backlog, then we would
21 be back to having a productive and safe surgeon at the
22 end of the day which is, in my view, would have been
23 a better outcome.

12:20

24 178 Q. Do you consider there's any way that Dr. Khan and
25 Dr. Wright could have taken that to mean that there
26 were no Patient Safety concerns here?

12:20

27 A. Well, it's very -- it's -- "no Patient Safety concerns
28 ." It's inherent in the fact there's un-triaged
29 referrals. If you look at the broad picture, you can't

1 say 'no Patient Safety concerns'. So I can't account
 2 for that statement at all. I would stand by aspects of
 3 his practice that I felt were safe, but no more than
 4 that.

5 179 Q. Had you, at any time, in the preceding two weeks, let's 12:21
 6 say from your point of view as case investigator,
 7 looked in any depth at Mr. O'Brien's practice?

8 A. No.

9 180 Q. Did you think that was part of your job to go away and
 10 look at Mr. O'Brien's practice? 12:21

11 A. As case investigator? Yes. But I think that, you
 12 know, I suppose in the first instance my priority was
 13 to get this first meeting with Mr. O'Brien out of the
 14 way and done as the time was running out. To be
 15 honest, I wasn't aware or knew what the Oversight 12:21
 16 Committee was going to do in the long run. Were they
 17 going to want a fuller investigation and more
 18 triangulation of evidence? You know, so we just had
 19 a kind of -- that one meeting to try and make as much
 20 progress as we could. 12:22

21 181 Q. Would you, as a Consultant General Surgeon, have felt
 22 qualified to offer any type of assurance about
 23 Mr. O'Brien's clinical practice?

24 A. Well, I have worked alongside Mr. O'Brien on occasions.
 25 I referred patients to him. He has referred patients 12:22
 26 to me. He has helped me out in theatre, I helped him
 27 out in theatre. I've seen letters of his. So, you
 28 know, we can't -- I don't want to say that I don't have
 29 an awareness of his practice and how he operates and

1 works and, as I say, his operating skills,
2 decisionmaking, his letters are detailed and precise,
3 you know, when he was dictating letters. So I can see,
4 in the round, aspects of his practice that were more
5 than acceptable. 12:23

6 182 Q. Following on from that meeting then 26 January 2017,
7 what further involvement did you have with Mr. O'Brien
8 as his case investigator under the MHPS --

9 A. None.

10 183 Q. When were you informed that you were to be removed as 12:23
11 case investigator?

12 A. I don't have the -- it was certainly before, I know, 16
13 April, because Dr. Chada interviewed me. So I would
14 have thought around the middle of March, some weeks
15 afterwards, March 2017. 12:23

16 184 Q. Can you recall who communicated that decision to you?

17 A. Dr. Wright.

18 185 Q. Was it out of the blue almost so far as you were
19 concerned?

20 A. Yes, almost out of the blue. I was at a meeting, a 12:24
21 sort of a management teaching meeting and it was
22 Trusts or DLS solicitor, I was talking to -- who
23 intimated that there was some discussions around the
24 legality or appropriateness of the case of a Clinical
25 Director being a Case Investigator, whether there was 12:24
26 a conflict of interest. So it was kind of a casual
27 discussion. At that point I thought, oh, there's
28 something -- maybe there's something going to happen
29 here with respect to that. So that's the only other

1 previous awareness I had of that.

2 186 Q. How did you react whenever Dr. Wright told you that you
3 were to be removed as Case Investigator?

4 A. I was relieved.

5 187 Q. And where does that relief come from? 12:24

6 A. Not because of the complexity of the investigation that
7 was likely to come, but because I was Clinical,
8 I decided -- the three components, Clinical Director,
9 person that you work with, have worked with, know, meet
10 in the canteen, in the operating theatre, and then Case 12:25
11 Investigator. So putting that off to one side made
12 life a lot less complex.

13 188 Q. You've reflected in your statement that it was very
14 challenging being both Clinical Director and Case
15 Investigator at the time. Did you feel you could have 12:25
16 performed both roles?

17 A. I think -- no, I don't think it's a good idea. I think
18 there's too much of a conflict. It's easy to drift
19 into negotiation and trying to get somebody to change
20 their practice, rather than standing back being 12:25
21 objective, forensic, in terms of your investigation.
22 When you work in clinical practice to a degree with
23 somebody, I found that very difficult. I would say
24 don't do it.

25 189 Q. Having lost your case investigator hat, you continued 12:26
26 to be Mr. O'Brien's Clinical Director. To what extent
27 did you remain involved or aware of the investigation
28 over the next, it must be 18 months?

29 A. Obviously I had an interview as part of that process.

1 I wasn't, I mean, and that's it, I wasn't aware of what
2 other investigations or interviews or, indeed, how long
3 the process was taking. I wasn't aware of that at all.

4 190 Q. Do you think, as Mr. O'Brien's Clinical Director should
5 you have been informed of the progress of the
6 investigation?

12:27

7 A. Yes.

8 191 Q. With regards to your role as Clinical Director, should
9 you have asked at any stage for an update as to what
10 was happening with Mr. O'Brien? At the end of the day
11 you are part of his management team. Should you have
12 chased that information?

12:27

13 A. No, to me that's the wrong way round. I mean the
14 Trust's original 2010 guidelines for Maintaining High
15 Professional, their implementation of it states the
16 case investigator should be the Clinical Director but,
17 to me, in retrospect, that's wrong. If the Oversight
18 Committee is taking control of that, surely it's their
19 role to let us know what's happening. I mean if there
20 was a change or an implementation or change or a change
21 in practice that needed implemented, obviously I would
22 expect to have been told that or that to be
23 communicated to me.

12:27

24 192 Q. While the investigation is rumbling on, did you have
25 any specific role with regard to the monitoring of
26 Mr. O'Brien's practice?

12:28

27 A. I didn't do the monitoring but I was updated really
28 very regularly by Martina Corrigan, certainly in the
29 first instance, especially in that initial period where

1 the backlog was cleared and we were continuing to
2 monitor his compliance with that. For instance, the
3 dictation of letters in a timely fashion, the
4 completion of triage; all that in that initial period
5 was monitored by the operational team and I was kept 12:29
6 regularly up-to-date with that, and that seemed
7 satisfactory.

8 193 Q. Have a look at TRU-258877, please? You had become
9 aware of issues with the monitoring plan in July 7; is
10 that correct? This is correspondence from Martina 12:29
11 Corrigan:

12
13 "Aidan, as per your Return to Work Plan", it outlines
14 the responsibilities as to triage. You are copied into
15 that? 12:30

16 A. Yes.

17 194 Q. Scroll down. 30 paper outpatient referrals are
18 outstanding at that stage. If we also look at
19 TRU-268995, please? It is the same day, 11th July,
20 again an email from Martina, and you copied in. 12:30

21
22 "Aidan, as per your Return to Work Plan, notes should
23 never be stored off site and should only be tracked out
24 and in your office for the shortest time possible.
25 Having checked on PAS today there are 90 charts as 12:30
26 e-mailed previously on 21st June, therefore Colin has
27 asked that I arrange for you to meet with him, Ronan
28 and myself on your return from annual leave next week
29 and we can discuss when this best suits you on Monday."

1 How concerned were you about these breaches or the
2 potential breaches of the Return to Work Plan?

3 A. It really should have been a zero tolerance approach to
4 this. So this shouldn't have been happening given the
5 fact that the Return to Work Plan was very clear that 12:31
6 there were to be no such charts stored in the office
7 and outcomes dictated and triages completed. So that
8 was a concern.

9 195 Q. You do subsequently meet with Mr. O'Brien,
10 Mrs. Corrigan and Mr. Carroll on 25 July, do you recall 12:31
11 that meeting?

12 A. Yes.

13 196 Q. Who would have been taking the lead in that meeting,
14 who would have been in charge from your side?

15 A. Gosh, I would have thought the Lead -- well, more 12:31
16 likely me. Well, I think jointly probably between
17 myself and Mr. Carroll would probably be the honest
18 answer to that.

19 197 Q. At that meeting there was a discussion about charts,
20 primarily about charts. No note of the meeting was 12:32
21 ever prepared or kept by yourself or Mr. Corrigan or
22 Mrs. Corrigan, why would that be?

23 A. I don't know. An oversight. In retrospect, it would
24 have been a better thing to record that one, that
25 minute meeting. 12:32

26 198 Q. You could suggest that having to meet with Mr. O'Brien
27 about potential breaches of the action plan is a pretty
28 serious step? As far as you're concerned, was the Case
29 Manager or the Medical Director ever informed that

1 Mr. O'Brien was met with about this?

2 A. Honestly, I don't know. I don't know that they were
3 informed of that. At least they may have been, but
4 I wasn't aware of that.

5 199 Q. As far as you're concerned, who would have been 12:33
6 responsible for passing that information up to the Case
7 Manager?

8 A. I don't know, actually. Because the monitoring was
9 done by different people. So I'm not sure. I'm not
10 quite sure who would have been responsible for that. 12:33

11 200 Q. At or around this time then you become aware of another
12 potential concern: If we look at AOB-01654. I'm aware
13 this is jumping back slightly in time to 18 July. If
14 you go down a bit, please, to the email from Mr. Weir:

15 12:34
16 "Pamela, are you aware if any other patients were
17 similarly 'booked' over the weekend? The carry over
18 affects for capacity, urgent cases and emergency
19 theatre utilisation. I hope this isn't true as it
20 would be a gross misuse of theatre emergency time." 12:34

21
22 Just go back over the page, down to where the initial
23 concern was, down to Pamela Johnson's email. There
24 seems to be a concern about an elective admission
25 affecting an emergency slot. What exactly was the 12:34
26 concern here and what were the implications if it was
27 found to be --

28 A. The concern was that, I think, the theatre manager
29 looked at the weekend's emergency operating, which is

1 a list that's available to all -- to General Surgeons,
 2 Urology, Gynaecology, sometimes Trauma and
 3 Orthopaedics. So everybody feeds into that list all
 4 weekend. There's a lot of pressure on the spaces on
 5 that list. Patients are booked in terms of priority, 12:35
 6 clinical priority, and then, sort of, the order in
 7 which they are added to the list. That list runs all
 8 weekend, day and into the evening.

9
 10 The concern is that there were so many urology cases 12:35
 11 booked on the list that it seemed like an unusual
 12 cluster of activity, and the implication is that these
 13 weren't emergency or urgent cases. That was the
 14 implication. It was sent to me to look into that
 15 further to see if that was the case. 12:35

16 201 Q. If we just have a look at some more relevant emails.
 17 This is at TRU-281641. By 28th July you report back to
 18 Corrigan, Mr. Carroll and Pamela Johnson saying:
 19 "I wouldn't take this further." Mr. Carroll simply:
 20 "Why?" 12:36

21 A. Yes.

22 202 Q. You respond to Mr. Carroll. "Too many look genuine
 23 cases of stone disease and urgent admissions."

24
 25 what work did you do between becoming aware of this 12:36
 26 concern on the 18th and your conclusion on 28th July
 27 this is not to be taken any further?

28 A. So we looked at, or I looked at the nature of the cases
 29 and the reasons that they were booked into theatre, the

1 pathology and the procedures undertaken, and, in my
2 opinion, they looked to me in the main like true
3 urological urgent cases deserving of a place on the
4 weekend operating, emergency operating list, apart from
5 one case.

12:37

6 203 Q. You say this was your opinion. As a Consultant General
7 Surgeon did you feel qualified to opine on whether or
8 not this was the appropriate clinical priority?

9 A. It's a fair question but I would say that having myself
10 feeding patients into that list and having sat in
11 theatre half the weekend waiting to get a case done and
12 at night, you know when the urologists come and speak
13 to you and present a case that they say has got sepsis
14 or a stone blocking ureter with impaired renal
15 function, all of those things, I felt I had enough
16 knowledge to say that those were urgent cases, that
17 they were adequate or there was enough to justify them
18 being done at the weekend rather than being delayed to
19 after the weekend.

12:37

12:38

20 204 Q. If we just scroll up, please. The response you
21 mentioned. You email Mr. Carroll.

12:38

22
23 "Can only see the first one being a bit iffy but
24 another (locum) consultant asked for it to be done."

12:38

25
26 I'm not trying to be pejorative at all here, but how
27 iffy does something have to be before it needs properly
28 looked into. You are not saying this is clean cut?

29 A. Of all the cases being booked, the implication was

1 Mr. O'Brien had booked all these cases, and therefore
 2 there's something wrong. When I looked at it,
 3 I couldn't see that. Those cases, in my opinion, were
 4 quite appropriate to be put on that list, apart from
 5 one, that was put on by another consultant for apparent 12:39
 6 social reasons. That's a different matter, and the
 7 decision making of that consultant could have been
 8 looked at, but that's not what I was being asked.

9 205 Q. If we scroll up a little bit more? Is it fair to say
 10 that Mr. Carroll, from his response on 28th July, isn't 12:39
 11 quite so keen to let this drop. He is saying:

12
 13 "I would say we, as AD AMDs CDs, need to enforce the
 14 agreed rules otherwise chaos rules. This was an
 15 elective patient operated on in an emergency theatre. 12:39
 16 We need to take a stance on this and Charlie
 17 endeavoured to do this."

18
 19 was there any further action on this?

20 A. No. 12:39

21 206 Q. Did you ever have any cause to look back on other
 22 weekend that Mr. O'Brien had been on?

23 A. No. I wouldn't have thought there was a need to do
 24 that. I think that's ...

25 207 Q. Just so we're clear, why did you think there was no 12:40
 26 need to do that?

27 A. Because on face value of the investigation I did do,
 28 and having worked -- there's kind of a self-policing
 29 aspect of this. If people are routinely putting

1 inappropriate cases on at the weekend or at night, the
 2 anaesthetists will figure this out, the other surgeons
 3 will figure this out, and complaints will be made. If
 4 it is systemic and it is one person that will very
 5 quickly come up. You know, people will make that very 12:40
 6 clear. A misappropriation and utilisation of an urgent
 7 theatre, you can't carry on doing that. I can't see
 8 any reason to have investigated further if none of
 9 those issues had arisen before.

10 208 Q. Based on your opinion, having looked at this as well as 12:41
 11 your knowledge of Mr. O'Brien and how the theatres
 12 operate at these times, it is your opinion that
 13 this didn't meet the threshold requiring any further
 14 investigation?

15 A. I thought it was a cluster, a statistical cluster up 12:41
 16 the system.

17 209 Q. You didn't feel this needed escalation up the system?

18 A. It was already escalated to the Assistant Director, and
 19 I investigated it. I don't know what else we would
 20 have done at the time. 12:41

21 210 Q. If I take you to TRU-258912: Is it fair to say to
 22 after July 17th you're not aware with any other issues
 23 with the action plan until October '18, is that fair?

24 A. With the action plan, no.

25 211 Q. No, and if we look here at this email on the screen, 12:41
 26 this is October 2018, so by this stage the MHPS process
 27 is concluded. There has been a Case Manager's
 28 determination which has a number of actions to be taken
 29 forward. I believe at this time Mrs. Corrigan is off

1 from The Trust. There appears to have been some type
 2 of issue with the monitoring and this comes across your
 3 desk, and you email Dr. Kahn, and Mr. Gibson,
 4 Mr. Carroll, Ms. Clayton and Mr. Haynes. You say:

5
 6 "Ahmed, Simon, please for your urgent
 7 consideration/action. See email correspondence below.
 8 Please see attached Excel spreadsheet. Mr. O'Brien has
 9 accumulated a large backlog of dictated letters and
 10 a large number of charts in his office. I am his
 11 Clinical Director and I HAVE NOT seen the review and
 12 results and recommendations into his practice, but I am
 13 assuming he is in breach of this given these findings.
 14 Can you instruct me on how you would like me to
 15 proceed. We can certainly meet with Ronan to discuss
 16 recorded outcomes from the meeting."

17
 18 Are you expressing some degree of frustration here that
 19 you haven't been made aware of the outcome of that MHPS
 20 process?

21 A. Yes. Yes.

22 212 Q. When do you consider you should have been made aware of
 23 that outcome?

24 A. As the process evolved, any determinations, we should
 25 have been made aware of those as they happened.

26 213 Q. Do you consider that without that knowledge of the
 27 precise outcomes, did that hamstring your ability to
 28 engage with Mr. O'Brien, or to try and tackle issues as
 29 they came?

1 A. No, I think if this suddenly appeared then, obviously,
2 there was an immediate concern and it's clear that
3 I would have been very happy as a Clinical Director to
4 engage with Mr. O'Brien and say, look, you're in breach
5 of this action plan. I didn't see a difficulty with 12:44
6 that. In fact, I'm saying, what do you want me to do?
7 I'll be happy to do it.

8 214 Q. From the line which reads:
9
10 "I have not seen the review and results and 12:44
11 recommendations into his practice."
12
13 You're clearly aware by the time you send this email
14 that that process has, in fact, concluded?

15 A. Well, I'm assuming. I actually don't know that it is 12:44
16 concluded, to be honest with you. I didn't have
17 a final report or that. So I was assuming that it had
18 concluded.

19 215 Q. I'll ask you the same question I asked earlier, and I'm
20 expecting the same response: Could you not have chased 12:44
21 the Case Manager to find out what was happening with
22 the investigation?

23 A. Could the Case Manager not have chased me? And
24 that's -- yeah.

25 216 Q. Now, there's perhaps one final substantive MHPS-type 12:44
26 issue I want to talk to you about today, and that's at
27 TRU-251964. This is an email from -- if you go right
28 down to the bottom, please. This is an email from
29 Mr. Carroll to Siobhán Hynds to which you are copied

1 in:

2
3 "Siobhán, Mr. Young has advised me this morning that he
4 received calls from members of Mr. O'Brien's family.
5 Both these 'phone calls centred on the Mr. O'Brien 12:45
6 investigation. Give me a ring if you require anything
7 further."

8
9 We go up then to you -- you respond to that email on
10 15 November 2018 and disclose that you had an encounter 12:45
11 with Mr. O'Brien on Thursday, 8 November. You say the
12 conversation centred around his investigation.
13 slightly further down:

14
15 "He did ask me about the evidence I had given. The 12:45
16 investigation related to a meeting with
17 Dr. McAllister."

18
19 You say: "I now feel he should not have made this
20 approach. His questioning and my response is 12:45
21 undermining the investigation action plan. He put me
22 in a difficult and awkward position."

23
24 The last point you say: "I cannot meet to discuss
25 anything with Mr. O'Brien, anything other the 12:46
26 day-to-day activities in his work as a urologist."

27
28 what was your level of concern and frustration when you
29 sent that email?

1 A. I got a flavour that the conversation was being steered
 2 in a certain way to get me to say certain things, in
 3 retrospect, and that -- and I couldn't quite figure out
 4 why that was going on, why he was coming back to, you
 5 know, the issues regarding Dr. McAllister.

12:46

6
 7 And I knew that that was inappropriate, it felt that
 8 was inappropriate. If he wanted to have those
 9 conversations, then there was perhaps a better route or
 10 process for doing that. And also, because the formal
 11 Maintaining High Professional Standards Process had
 12 superseded everything, I felt that this was an
 13 inappropriate approach to make.

12:46

14 217 Q. You say you felt this was "inappropriate". It does
 15 take you a week to flag this. It is only in response,
 16 this meeting took place on 8 November, you a flag it on
 17 the 15th in response to Ronan's earlier email. Why did
 18 you not flag it up the chain of management at the time?

12:47

19 A. I've had a clinic, an operating list, busy on Friday,
 20 weekend, Monday all-day operating, Tuesday in Armagh
 21 doing a clinic, you know. It's not -- it's not my only
 22 job. We have so many other things going on. The fact
 23 is it's there, it's done within a week. I think
 24 that's -- I think it was the important. And what I was
 25 clearly doing was putting something in writing because
 26 I felt that there was a potential -- I had a concern
 27 that this was some sort of strange fact-finding,
 28 digging into things, and I wasn't -- I just couldn't
 29 get the flavour of it. I felt a bit exposed. I was

12:47

12:47

1 protecting myself by sharing it with these people.

2 218 Q. Your final sentence there:

3

4 "Can we please be protected from this, as I suspect
5 evidence is being gathered from us and make the Medical 12:48
6 Director is aware."

7

8 Now, before your attendance before this Inquiry Panel
9 today, you're aware that Mr. O'Brien was in fact
10 recording that conversation? 12:48

11 A. Yes, I've seen those transcripts.

12 219 Q. And had, in fact, recorded a number of interactions
13 with yourself.

14 A. Six.

15 220 Q. Just, perhaps, on reflection, how do you feel as 12:48
16 a professional colleague of Mr. O'Brien?

17 A. It's totally -- well, like, breaking bad news it's like
18 anger and denial. The immediate response is sheer
19 anger about a breach of trust and then can't quite
20 believe that somebody has done this. I never heard of 12:49
21 such a thing. Then I thought -- then obviously it made
22 me think that any conversation I had around any issues,
23 that conversation was obviously or potentially being
24 steered for the purposes of this recording. So it just
25 sort of questioned then in retrospect the engagement 12:49
26 and honesty and support that I tried to provide to
27 Mr. O'Brien.

28 221 Q. Finally, you ask to be protected by The Trust.

29 Dr. Khan subsequently wrote to Mr. O'Brien. Was there

1 any further instances?

2 A. No.

3 222 Q. I am very aware that time is perhaps not on our side
4 here, but I wonder if we could have a very quick
5 discussion about Job Plan? 12:50

6 A. Can I just, sorry, can I please?

7 223 Q. Sorry, you have something to add there?

8 A. At that time I was undergoing some really pretty brutal
9 treatment. It was right in the middle of that period
10 of time. So that's another reason that might explain 12:50
11 things.

12 224 Q. Thank you, Mr. Weir, and sorry if I cut across you in
13 my desire to move forward.

14

15 I do want to do this issue justice, but I just want to 12:50
16 have a quick discussion about job planning, if that's
17 okay. If we look at WIT-19936, which is your
18 Section 21 response, paragraph 102. You accept that
19 you were responsible for job planning the Consultant
20 Neurologists? 12:50

21 A. Yes.

22 225 Q. With regards to the other consultants, Haynes, Young,
23 Glackin, Donoghue, did you ever have any significant
24 issues with their job plans?

25 A. No. 12:51

26 226 Q. Here at paragraph 102 you say

27

28 "In one case (Mr. O'Brien) this was complex and
29 repetitive and required many hours work by me to

1 achieve an agreed job plan."

2
3 what made Mr. O'Brien's job planning complex, whereas
4 the others appear to be relatively straightforward?

5 A. So Mr. O'Brien wanted to -- so one of the issues with 12:51
6 job planning is that when you have a week of
7 emergencies, urologist of the week, or surgeon of the
8 week, whatever, all your other elective work stops and
9 you totally are committed to that week of emergency and
10 urgent care. 12:51

11
12 So there's a cycle; like typically a 1-week-in-6 cycle,
13 that has to be job planned. But then the complexities
14 became around Mr. O'Brien wanting to work in the
15 Southwest Acute Hospital in Enniskillen where he did 12:52
16 a clinic on alternative weeks. So then we went from
17 a 6-week cycle to a 12-week cycle. Added to that, he
18 was Chair of a Cancer MDT and felt he needed additional
19 time to prepare for that in the style that he wanted
20 to. 12:52

21
22 So I was having to factor out a complicated pattern of
23 alternating weeks, between rosters of the week and
24 outlying clinics, and then other activities. Some of
25 those were calculated to be done week-to-week, but some 12:52
26 of them, what we do, is we analyse them to say you
27 deliver so many activities of over a year and that has
28 to appear in the job plan. It's an exceedingly
29 complicated process when you get into sort of details

1 and nitty-gritty like this.

2 227 Q. would you look at WIT-1994, please, paragraph 113,
3 sorry 116. In the preceding paragraphs in fairness to
4 you, you outline various attempts to meet with Mr.
5 O'Brien, October '16, the process drifts into August 12:53
6 '17 and then it is into April '18, but the key point
7 here I suppose is:

8

9 "By the commencement of my sick leave in mid-October
10 2018 through to December 2018, the job plan was not 12:53
11 finalised, resolved, or signed-off in this Zircadian
12 system."

13

14 So you are not able to get an agreed job plan?

15 A. No. 12:54

16 228 Q. At any stage during that two-year period did you put
17 a flag up to someone on the system, the Assistant
18 Director, the Medical Director, to say: Despite my
19 efforts, I can't get this agreed? Did you ever raise
20 and say, I need help to sort this out? 12:54

21 A. No, I did discuss it with Martina, Ms. Corrigan was
22 fully aware, and I did discuss it with Martina. She
23 knows how difficult it was, even to get the meetings
24 and engagement to work through this process, and
25 I honestly gave as much time, and it was a considerable 12:54
26 amount of time to try and get this resolved and
27 I thought I could. I got better and more experienced
28 in using this zircadian system. It's complicated.
29 Thankfully they've just replaced it this month with

1 a new system. You needed to have the engagement, but
 2 I felt I could do it and I felt at that point I was an
 3 experienced job planner. In any case, any job plan has
 4 to be signed-off by two other people. So once I sign
 5 it off, the consultant signs it off, it goes to the 12:55
 6 Assistant Director, it goes to the Assistant Medical
 7 Director. So there's a lot of input into it once you
 8 get to an agreed job plan position.

9
 10 But, yes, you're right, I mean maybe somebody else 12:55
 11 could have done it or done it better than me. But
 12 I don't know who because I know that everybody
 13 struggles with the system.

14 229 Q. I suppose with Mr. O'Brien's case, it's not just
 15 a difficult job planning exercise, but there's this 12:55
 16 MHPS investigation where a lot of the issues appear to
 17 be administratively based?

18 A. Yeah.

19 230 Q. And at various times during your tenure as Clinical
 20 Director, there are statements that a key part of this 12:56
 21 process is a job planning exercise. So I'll give you
 22 an example of the case conference on 26 January 2017,
 23 which you were in attendance. The actions record:

24
 25 "It was noted that Mr. O'Brien had identified workload 12:56
 26 pressures as one of the reasons he had not completed
 27 all administrative duties. There was considerations
 28 about whether there was a process for him highlighting
 29 an unsustainable workload, it was agreed an urgent review

1 of Mr. O'Brien's job plan was required."

2
3 And the action to that is to you. Similarly, the
4 Return to Work Plan in the second paragraph says:

5
6 "An urgent Job Plan Review will be undertaken to
7 consider any workload pressures to ensure appropriate
8 supports can be in place."

12:56

9
10 Finally, I am sorry for just reading these out to you,
11 so this is the determination you don't actually see:

12:56

12
13 "The action plan must address any issues with regards
14 to patient related admin duties and there must be an
15 accompanying agreed balanced job plan to include
16 appropriate levels of administrative time and enhanced
17 appraisal programme."

12:57

18
19 Now, I accept that after February you were a step
20 removed from that MHPS process, but were you coming
21 under pressure from above, from, say, the Case Manager,
22 from those involved in the MHPS investigation to make
23 sure this process was completed and completed promptly?

12:57

24 A. No. But myself and Martina, we did know there was still
25 no proper sign-off job, it was my role to ensure that
26 everybody had an up-to-date job plan every year. We
27 were supposed to have an updated job plan every year.
28 So it was very easy for me to see there's a red flag on
29 the system saying there's still not a completed job

12:57

1 plan. So the system will flag that up, in a sense.

2 231 Q. In the context you just described, do you accept that
3 agreeing a new job plan would have potentially assisted
4 Mr. O'Brien in working through some of these issues, it
5 could have provided him with support he may or may not 12:58
6 have needed?

7 A. I met and discussed this many times, including on one
8 occasion unsolicited 'phone calls on a Sunday afternoon
9 when I wasn't working from Mr. O'Brien regarding,
10 I think, job plans. It was complex and the complexity 12:58
11 was trying to squeeze everything in to his job plan.
12 There were certain things he wanted to do and there was
13 things that I wanted him to do to get the balance
14 right. And even agreeing quite reasonable numbers of
15 patients to be seen at clinics, quite manageable 12:59
16 numbers, so that it would help with his administration.
17 So it was all -- it was kind of job planning but
18 management of the person via job planning at the same
19 time. So it was actually quite a useful tool and
20 a powerful way of doing that. 12:59

21
22 So, you know, I was aware that maybe Mr. O'Brien didn't
23 see as many patients in the clinic as other people, or
24 me, for example, but that's fine, we just work at
25 different speeds and work in different ways. So I was 12:59
26 factoring all those things in and trying to be an
27 honest broker in that sense. But I was trying to
28 complete the process through engagement, which
29 I just -- it was difficult to get the full engagement

1 we needed to get this over the line.

2 232 Q. One final issue from me at this stage is WIT-19906,
3 please. We're looking at paragraph 17. There was an
4 email exchange with Mr. O'Brien between 5th and
5 18th October to try and meet him to try and undertake
6 a job plan review. So we're back in 2016.

13:00

7
8 You had no hesitation meeting with Mr. O'Brien about
9 a job plan in October 2016, but you obviously had
10 hesitation about meeting him with those other issues.
11 If you could meet him to discuss a job plan, why could
12 you not meet him to discuss your action plan you were
13 proposing?

13:00

14 A. As I said, the action plan was kind of -- I felt
15 exposed, vulnerable, that I was the only person doing
16 this, that I needed back-up. I needed other people
17 involved in that process and I didn't feel that had yet
18 happened or -- you know, to me, it was a much longer
19 term problem that we were trying to resolve. Whereas,
20 not having done it before at that stage, to me it
21 looked like, I've done loads of job planning before, it
22 was pretty straightforward for most people.

13:01

23 233 Q. Thank you, Mr. Weir.

24 MR. BEECH BL: Madam Chair, I've taken us quite close
25 to 1 o'clock. I have no further questions.

13:01

26 CHAIR: I think we have a few questions, if you don't
27 mind staying on, Mr. Weir.

28 A. Of course.

29

1 MR. WEIR WAS QUESTIONED BY THE INQUIRY AS FOLLOWS:

2

3 234 Q. CHAIR: Did you, as Clinical Director, find it
4 difficult to deal with other members of staff or was
5 this unique to Mr. O'Brien in terms of how you felt
6 vulnerable with dealing with issues? 13:01

7 A. No, I didn't during that time frame did not feel it was
8 a difficulty with other members of staff. Yes, there
9 were challenges and difficult interactions, and the odd
10 argument and stuff, but not to that depth and extent. 13:02

11 235 Q. Why, in particular was this difficult for you? Was it
12 because of a personal relationship that you had with
13 Mr. O'Brien or you felt you had, that you had
14 a friendship there that made it difficult for you to
15 manage him? 13:02

16 A. It was, yes, a friendship, familiarity, a day-to-day
17 dealing, someone you've had many conversations, you
18 know, in many other areas of your life, nothing to do
19 with surgery. That to me is fundamentally a flaw in
20 the process. 13:02

21 236 Q. Then in terms of, if I can widen that out to more
22 generally the whole medical culture in Northern
23 Ireland, we have heard -- and it will be repeated, I'm
24 sure, that most people train in the same medical school
25 or certainly a generation of people did, and their 13:02
26 relationships would be very close. I mean, I'm sure
27 most of the people in this room would say it is equally
28 applicable to the legal profession.

29 A. Yes.

- 1 237 Q. Is there then a possibility of looking at having
 2 external people dealing with MHPS procedures? Would
 3 that be a good idea?
- 4 A. It would be a -- if you were asking me what one thing
 5 would you want to change in the system, it would be 13:03
 6 that one thing when it's a complex -- I mean there
 7 might be times when it's, you know, when it's better
 8 not to do that. It's degrees of difficulty. When it
 9 is complex and sustained over a period of time and
 10 despite previous efforts over many -- you know, a long 13:03
 11 period of time, and it's quite systemic, then, yes,
 12 external -- to me external review or external process
 13 has to be the most objective way to deal with this and
 14 to deal with it as quickly as possible.
- 15 238 Q. It is clear that you felt, you know, because of your 13:04
 16 relationship with Mr. O'Brien you felt a certain degree
 17 of loyalty to him and you wanted him to get back to
 18 work because you knew that's what he wanted and, as you
 19 rightly said, you advocated for him at that committee.
 20 Do you feel that -- I think I got the message from you 13:04
 21 loud and clear that you were the wrong person to
 22 discipline him, if you like?
- 23 A. Yes.
- 24 239 Q. I mean that really comes back to all of the difficulty
 25 that you had dealing with -- I'm personalising this to 13:04
 26 Mr. O'Brien because he is obviously the person who
 27 brought us to this point, as it were. I suppose it's
 28 true of any personal relationship that you have, close
 29 personal relationship or relationship that you have

1 with a colleague, it makes it difficult to manage that
 2 person and to isolate what you know, for example, about
 3 their good clinical skills, from what the difficulties
 4 might be and how to address them. would that be fair?

5 A. I think that's the flavour of my bit of the Maintaining 13:05
 6 High Professional Standards. I thought yes, knowing
 7 that person and how they work and, as I said, their
 8 capabilities as a surgeon and a clinician, I've seen
 9 those things first hand, and indirectly through
 10 correspondence, and patient feedback, so and so is 13:05
 11 a great surgeon and they have every confidence in him
 12 or her. All of that over years, and this isn't just
 13 managing somebody, this is somebody I have known since
 14 1996. when you think about it, that is a bigger factor
 15 of knowing somebody over such a long period of your 13:06
 16 working life might have an influence as well.

17 240 Q. As you have said, the external input you feel would be
 18 a good approximate to the MHPS process?

19 A. I would say it would make it robust and strengthen it,
 20 yes. It would be my ultimate recommendation to the 13:06
 21 Inquiry from my point of view having been -- and
 22 I suppose it's weird and unique that I have had these
 23 dual roles, so that makes me, in a sense, somebody who
 24 could say that, who has had that experience, and it
 25 wasn't great, it wasn't ideal, and I didn't enjoy it at 13:06
 26 all. I was very relieved to be removed from the
 27 process. I was very relieved to come out of urology as
 28 Clinical Director. Maybe that shouldn't be the case.

29 241 Q. Just one other thing, a more specific question, really,

1 about the SAI issue. When you were being asked by
2 Mr. Haynes, is this query an SAI issue. Surely that
3 was the your call to determine?

4 A. I thought on Mr. Young's review of that, that there
5 wasn't but, I suppose, it's not being clear to who 13:07
6 makes determinations, who refers patients for SAIs, the
7 IR1 process as well. I suppose that's a process where
8 anybody can flag up, and that's a kind of strength of
9 that process. So, yeah, I suppose I would accept what
10 you are saying. I'm not arguing with you over that. 13:08

11 242 Q. I wonder with hindsight now that was flagged up.
12 We know in this particular instance of Patient 93, that
13 there was no actual harm caused by the failure to
14 triage, but you were aware that failure to triage was,
15 first and foremost, a patient safety issue. 13:08

16 A. Yes.

17 243 Q. I wonder, with the benefit of hindsight, might you have
18 taken a different viewpoint.

19 A. Yes. Definitely.

20 CHAIR: My colleagues will have some questions for you. 13:08
21 Dr. Swart?

22 DR. SWART: Thank you for your candid evidence today.

23 A. Thank you.

24 244 Q. I think there's a lot of things that have come through,
25 some of which we have heard also from other people. 13:08
26 I don't know any Clinical Director over any period of
27 time that doesn't find it difficult to deal with
28 problems with colleagues, and I think you have brought
29 that to life very well. My question to you is around

1 the guidance and support from the Trust in this area.
 2 You start off as a Clinical Director, fairly quickly an
 3 issue lands on your desk which you realise has the
 4 potential to be extremely problematic. Were you, as
 5 Clinical Director, involved in regular meetings with
 6 other Clinical Directors, Associate Medical Directors,
 7 the Medical Director leading it, for example, to talk
 8 to you generally, on a regular basis, about different
 9 ways of handling concerns? I'm not talking about going
 10 straight to MHPS now.

13:09

13:09

11 A. Yes.

12 245 Q. Much more in terms of normal medical management, the
 13 use of NCAS as support, trying to understand doctors in
 14 difficulty. Did those things happen? Did anybody say
 15 to you, somebody needs to sit down with the doctor
 16 involved and find out how they feel and think about
 17 this and look at what's driving it? Was that the
 18 atmosphere you worked in?

13:09

19 A. I think when Dr. McAllister did undertake his role he
 20 did have -- and I had not seen this before -- but
 21 a regular meeting of two Clinical Directors and
 22 himself, that was, to me, a strength, that was a good
 23 way of doing it, it did offer guidance. It did offer
 24 somebody from the top down telling you what to do but
 25 also an opportunity to discuss, for instance, with
 26 Mark, when he was Clinical Director, we would talk
 27 around issues using, for instance, Zircadian and job
 28 planning, using regular issues. So a regular forum
 29 like that was a great thing to do. Very occasionally

13:10

13:10

1 a Head of Service could be brought in. I think
2 that's -- you know, if it was me, I think that's
3 a great model. I think that's what I would want to
4 emulate that, but I would, maybe periodically, have
5 maybe a meeting of a wider team and a better channel 13:11
6 to channel the information. But that two-way flow
7 I think was a good way of doing it.

8 246 Q. But it wasn't wider across the Trust?

9 A. I couldn't see that being replicated anywhere else.
10 I know in my own role managing trainees we had 13:11
11 a regular monthly meeting with -- we had all the
12 trainees come and meet us. It was all about, again,
13 a two-way flow of information and traffic. So I quite
14 like that model. I think I would sort of say
15 definitely go with that. 13:11

16 247 Q. A similar vein; there have been quite a few references
17 to assurances around the clinical paragraph of Aidan
18 O'Brien, but this could be about the assurance of
19 clinical practice of anybody. What direction did you
20 have from the Medical Director, for example, as to how, 13:12
21 as a Clinical Director, you should be developing ways
22 of assuring the quality of your service so that it
23 was safe patient experience? Were you given strategic
24 direction on that?

25 A. No. The job plan, which is just too much -- there's 13:12
26 far too much in the job plan for Clinical Director.
27 That is not a template, really, for working as
28 a Clinical Director. I mean the Trust at that time,
29 and I'm sure continues to send consultants with

1 potential management role and interest on, you know,
 2 medical management courses, but I think within the
 3 Trust there needs to be some sort of induction
 4 programme into your role. We get inducted into
 5 everything else, so why can't we be inducted at local 13:13
 6 Trust level as to what's needed of you, who do
 7 you report to directly, what's the chain of command.
 8 I guess we're supposed to know these things, yes, but
 9 just somebody to say, right, here, this and this and
 10 this, and then here's somebody else to tell you what 13:13
 11 the current live issues are and what you need to do.

12 248 Q. The public will want to know now how are we assured
 13 that urology services, because we are here now, but any
 14 services are safe? As a Clinical Director did you
 15 regard it as in your job description to try and develop 13:13
 16 a way of doing that?

17 A. Yes, but there wasn't enough. I guess because there
 18 were so many other issues going on there wasn't enough
 19 time to dedicate yourself to that role. It is probably
 20 a role, if you are going to be strategically thinking, 13:14
 21 doing good governance, then you need a lot more time to
 22 it. You need a day a week perhaps to do it.

23 249 Q. Looking back on it now, you can, I'm sure, see these
 24 things even more clearly in the context of this, but
 25 one thing that stands out as well is a reluctance to 13:14
 26 sit down with the individual concerned, and meet and
 27 talk and understand. Do you think, with hindsight,
 28 there should have been someone undertaking that role,
 29 and who should that have been?

1 A. To undertake the role to?

2 250 Q. Sitting down with Aidan O'Brien to say what's going on
3 here and how is this going for you during this whole
4 procedure. It's a long time, and it's not all in your
5 remit, I'm just asking your opinion. 13:15

6 A. It could have been me, it could have been the Lead
7 Consultant, it could have been the Associate Medical
8 Director, it could be the Director of Acute Services
9 and that's the problem. It just moves in all these
10 different directions, and whose actually doing this. 13:15
11 Then when it becomes so complicated and multi-layered
12 does everybody else think, you know, who is ultimately
13 responsible for doing this and to make those lines
14 a little bit more explicit and clear, particularly when
15 there's a complex investigation ongoing at the same 13:15
16 time. I think that's -- yeah, that's it.

17 DR. SWART: Thank you.

18 CHAIR: Mr. Hanbury?

19 MR. HANBURY: You have answered a lot of my questions
20 already. I have a couple of left. 13:15
21 Charts at home in the office.

22 A. Yes.

23 251 Q. Did Mr. O'Brien ever explain why he needed so many
24 chart at home?

25 A. Not to me. 13:16

26 252 Q. And what the problem was, if there was a problem?

27 A. No. When the time it came to me doing my
28 investigation, 24 January 2017, the bulk of those had
29 been returned. I did think part of the problem was

1 that the clinic in Enniskillen, I understand
2 Enniskillen is where Mr. O'Brien lives, it might have
3 been easier for him to bring charts from that clinic to
4 home. Perhaps that was certainly one explanation at
5 a time. So why they accumulated I don't know the
6 reason for that, but it's just I don't know the reason
7 for that, but there's just no straightforward
8 explanation other than that.

13:16

9 253 Q. On a similar sort of theme, the dictation immediately
10 after patient consultation, which many would say should
11 be standard, was there an explanation why, again,
12 that -- did you ask him?

13:16

13 A. You'll see, or maybe you'll have read that we tried
14 very hard to fix that problem. It just may be he felt
15 that he could see more patients without having to
16 dictate after each patient or at the end of the clinic.

13:17

17
18 I do know that Mr. O'Brien did write very detailed
19 comprehensive clinical letters, incredibly detailed
20 with really profound knowledge of patients on
21 occasions, so I'm assuming that that was very time
22 consuming. You know, by the time a clinic finished he
23 just maybe felt, right, I'll do that another time.
24 I guess that would be, obviously -- that's my
25 understanding of why it happened, but...

13:17

13:18

26 254 Q. Just one last thing. Just on activity and theatre
27 timetables, which you would obviously have a good
28 handle on from a general surgical point of view, but
29 also Urology, and I guess General Surgery, had problems

1 with waiting times just as Urology, but we're led to
 2 believe that Urology was worse. Now, you may not agree
 3 with that. But in your role as Clinical Director,
 4 would you have allocated extra theatre time to
 5 a speciality that needed more?

13:18

6 A. Well, there would have to have been for extra work or
 7 waiting lists. So there would have been waiting list
 8 initiatives. But that funding would have been had to
 9 have been approved and that was not my remit obviously
 10 to prove the funding.

13:18

11
 12 Certainly, I would be aware if there were waiting list
 13 happening in Urology. But, you know, I would not have
 14 been involved in the planning of those, or the
 15 organisation of those or, indeed, around discussions
 16 other than, you know, if funding became available, that
 17 that was released to the Urology Team.

13:19

18 255 Q. So that was the only method of extra activities.

19 A. Of extra activity, yeah. So extra work or extra
 20 clinics, or weekend working, in some specialities that
 21 would so, you know, people would do extra clinics to
 22 get over the backlog at weekends or an extra endoscopy
 23 list would be been made available. Just across all
 24 aspects of backlog generally. So, or as we do now, and
 25 some of it is outsourced to the independent sector, but
 26 at that time there was a bit of both going on I
 27 remember, but mostly around that time it was mostly
 28 in-house waiting listing initiative.

13:19

13:20

29 MR. HANBURY: Very lastly, you use an expression: "The

1 challenge of unbalanced endoscopy versus open surgery,
2 addressing urology activity". I just didn't know what
3 you meant by that?

4 A. I don't know what I mean by that, I'm not a Urologist.

5 MR. HANBURY: Thank you very much.

13:20

6 CHAIR: Thank you very much, Dr. Weir.

7 MR. BEECH BL: Can I have one clarification. There was
8 a brief exchange between ourselves about Dr. Khan's and
9 Dr. Wright's impression that some type of assurance was
10 offered, there was no clinical concerns. At AOB-01401,
11 at the last page of Dr. Wright's report, which was
12 before the case conference, he does flag that:

13:20

13
14 "Some patients have potentially been adversely
15 affected, harmed, as a result of these failings."

13:20

16
17 I just wish to clarify that in the presence of
18 Mr. Weir. I am very sorry for interrupting you, Madam
19 Chair.

20 CHAIR: That's fine, Mr. Beech, thank you very much.

13:21

21 Again, thank you, Mr. Weir. I'm not sure if we need to
22 hear from you again. I think your involvement with
23 this Inquiry was largely confined to the MHPS section
24 of our work. I'm hopeful that we won't need to see you
25 again, I'm sure you are very hopeful that we don't.

13:21

26 A. I'm hopeful!

27 CHAIR: If we do need to hear anything further from
28 you, we may try to do that by way of a written
29 statement. Thank you very much.

MR. WEIR: Thank you very much.

CHAIR: It is now twenty past, I know the next witness is due at 2 o'clock, but I think a quarter past two.

MR. BEECH **BL**: Yes, I am very grateful.

13:38

THE INQUIRY ADJOURNED FOR LUNCH AND RESUMED AS FOLLOWS:

CHAIR: Good afternoon, everyone. Mr. Beech, when you're ready.

MR. BEECH **BL**: This afternoon we'll be hearing evidence from Dr. Charles McAllister.

14:18

DR CHARLES McALLISTER, HAVING BEEN SWORN, WAS EXAMINED BY MR. BEECH **BL**, AS FOLLOWS:

14:18

256 Q. Good afternoon, Dr. McAllister. There should be water available to you. Any documents I refer to this afternoon will appear on the screen. I understand you have brought hard copies and you might just prefer to use them. I'll do my best to steer you around the hard copy bundles as well.

14:18

If I just could start with your Section 21 response which appears at WIT-14848, please. This is a response to a Section 21 Notice, No. 32 of 2022, and it's dated 29 April. Are you familiar with that document?

14:19

A. Yes.

257 Q. Perhaps if we could jump to the last page of that which appears at WIT-14873, please. It's electronically

1 signed by yourself there, but are you content that that
2 is in fact your statement?

3 A. Yes.

4 258 Q. Do you wish to adopt that as your evidence to the
5 Inquiry this afternoon, subject to one or two minor 14:19
6 amendments?

7 A. Yes.

8 259 Q. Now, the Inquiry has received correspondence with
9 regard to these amendments. So if you could look at
10 WIT-14862, please. It's paragraph 11.6. What 14:19
11 amendments do you wish to make to paragraph 11.6, as
12 its presently... I believe it might be about six lines
13 down "armed with this information"?

14 CHAIR: Mr. McAllister, are you struggling with the
15 screen? Feel free to look at your statement in your 14:20
16 folder, if that makes it easier for you.

17 A. Oh, yes. The bit from "and the subsequent rumour that
18 former procedures under MHPS were being
19 considered/discussed" should come out. I think this
20 was August, yes, that should come out. 14:21

21 260 Q. Now, you wish to remove reference to subsequent rumours
22 that formal procedures under MHPS were being
23 considered/discussed. Why are you looking to remove
24 that sentence?

25 A. Because that wasn't in August, that subsequently. 14:21

26 261 Q. You're saying to us that at some point you were aware
27 of rumours?

28 A. Yes.

29 262 Q. Can you recall when that might have been?

1 A. Yes, it was when Esther had her oversight meeting with
2 Dr. Richard Wright and Vivienne Toal.

3 263 Q. We'll work through these various meetings, so it is
4 perhaps closer to the 13, 14, 15 September as opposed
5 to August? 14:21

6 A. Yes, one hundred percent.

7 264 Q. So you're not saying that you didn't hear a rumour
8 there was to be a formal process, it just wasn't at
9 that time?

10 A. Yes, I got the timing wrong. 14:21

11 265 Q. If we could have a look please at WIT-14852, which is
12 paragraph 4.4. I believe it is the first line there you
13 wish to make an amendment to:

14

15 "I set about trying to get my head around as many of 14:22
16 the issues of surgery as quickly as I could by talking
17 with...".

18

19 This is the relevant part:

20 14:22

21 "...many relevant parties over the month of
22 April 2016."

23

24 What amendment do you wish to make to that?

25 A. Well it was the end of April, beginning of May. 14:22

26 266 Q. So it was sent on 9 May 2016, is that right?

27 A. Correct.

28 267 Q. So discussions had been ongoing with various parties up
29 to the time you sent the email?

1 A. Yes. I was only appointed around 29 April.

2 268 Q. Okay. Thank you very much. There's no other

3 amendments or alterations you wish to make?

4 A. No.

5 269 Q. If we could start then, perhaps, Dr. McAllister, at the 14:22

6 start of your Section 21 response. So if we go to

7 WIT-14848, please. Again, if it is easier for you to

8 refer to the hard copy, please do so. Down to

9 paragraph 1.1, please.

10

11 You provide a bit of your background here in terms of 14:23

12 your involvement with The Trust. So you were appointed

13 as a consultant anaesthetist and intensivist in The

14 Legacy Trust in August 1994, is that right?

15 A. That's correct. 14:23

16 270 Q. You retired in April 2018. Just in terms of your

17 experience, apart from the AMD role we're going to be

18 talking about today, what other management roles had

19 you held during your time at The Trust?

20 A. Well, I was Lead Clinician for ICU for several years. 14:23

21 Then I was appointed Clinical Director for Anaesthetics

22 and Intensive care, otherwise known as "ATIC," I would

23 say around 2008 and then appointed AMD for

24 Anaesthetics, Theatres and Intensive Care in and around

25 2012. 14:24

26 271 Q. If we look over the page at WIT-14849, paragraph 1.2,

27 you say:

28

29 "I was appointed as Associate Medical Director for

1 surgery in April 2016 in addition to being AMD for
 2 Anaesthetics, Theatres, Intensive Care and Chronic
 3 Pain. "

4
 5 How, could you explain to the Chair how you came to be 14:24
 6 AMD for two different sections of the Acute Division at
 7 the same time?

8 A. Well, Stephen Hall died, Eamon Mackle -- Stephen Hall
 9 was AMD for radiology. Eamon Mackle stepped down in
 10 April that year. There were no CDs in surgery and 14:25
 11 hadn't been for a while, so there was a shortage. So
 12 Esther Ghiskori asked me would I take over the role of
 13 surgical AMD in addition to my anaesthetics, theatre
 14 and intensive care.

15 272 Q. So this isn't a case where you applied to become a AMD, 14:25
 16 you were asked you said by Mrs. Gishkori?

17 A. No, I wouldn't have applied.

18 273 Q. Whenever you say you were asked by Mrs. Gishkori, were
 19 you asked or were you told, perhaps, that you had to
 20 take on this responsibility? 14:25

21 A. No, she couldn't have told me to do it.

22 274 Q. Why, then, did you feel moved to take on this
 23 responsibility?

24 A. It was a difficult situation for her. She had lost two
 25 AMDs and two CDs and she asked me to help her out. 14:25

26 275 Q. Was this to be a long-term solution or was it
 27 a sticking plaster.

28 A. No, a sticking plaster.

29 276 Q. Were you aware when you were supposed to step out of

1 this role?

2 A. On or before 12 months.

3 277 Q. Can you recall the exact date you took over again,
4 sorry?

5 A. I would say 29 April.

14:26

6 278 Q. Now, the Inquiry Panel has already heard evidence from
7 your predecessor on the other side of the house,
8 Mr. Mackle. The impression he gave us was quite
9 a taxing job. Would you agree with that?

10 A. I would.

14:26

11 279 Q. You're obviously in the -- I'll say unique position of
12 being AMD for two sections at the same time. Was it
13 possible for any one person to do this job?

14 A. Well, that depends on the support you have above and
15 below.

14:26

16 280 Q. Perhaps, then, why don't we turn to what support you
17 may have had. So you were in the medical management
18 line. How did you find any support you were receiving
19 from the Medical Director?

20 A. Not as much as would have been helpful.

14:27

21 281 Q. Well, what support was there from the Medical Director,
22 first?

23 A. With regards to what?

24 282 Q. With regards to discharging your duties as Associate
25 Medical Director?

14:27

26 A. Well, in the previous -- he was appointed, I would say,
27 in July 2015. I think in that time up until April
28 we had two one-to-ones.

29 283 Q. So that's two one-to-one meetings in, approximately,

1 shall we say 9 months, is that a fair enough?

2 A. Yes.

3 284 Q. These one-to-one meetings, were they a crucial part of

4 you being able to do your job, did you feel?

5 A. Crucial? No. But certainly helpful. 14:28

6 285 Q. Helpful in what way?

7 A. Steering direction, information.

8 286 Q. What impact did the absence of these one-to-one

9 meetings have on your ability to discharge your role?

10 A. Well it is hard to know what the priorities are or what 14:28

11 the direction of travel is.

12 287 Q. And how regularly should these one-to-one meetings have

13 been taking place?

14 A. Every month.

15 288 Q. Under previous regimes had they been taking place every 14:28

16 month?

17 A. I couldn't say every month but certainly far more

18 frequently than twice in 9-months.

19 289 Q. So between yourself and Dr. Wright you have, maybe, two

20 meetings over a nine-month period? 14:28

21 A. Uh-huh.

22 290 Q. What's your understanding of why the other seven didn't

23 take place?

24 A. Well, we had our first one -- he was appointed in July.

25 I think we had our first one in February. 14:29

26 291 Q. And why had there been no meeting before then, so much

27 as you can understand it?

28 A. Well one-to-one meetings are organised by the Medical

29 Director's Office.

1 292 Q. Did you ever take the initiative and ask what was going
2 on, or, could we have a meeting, or, we should get
3 these meetings set back up on a regular basis?

4 A. No.

5 293 Q. Any particular reason why you didn't do that? 14:29

6 A. The one-to-one meetings were organised by the Medical
7 Director. That was their purview.

8 294 Q. What about your engagement then with the Director of
9 Acute Services who would have been Mrs. Gishkori during
10 your time? 14:29

11 A. Uh-huh.

12 295 Q. How did you find that line of communication or
13 engagement?

14 A. Excellent.

15 296 Q. How often would you have met with Mrs. Gishkori? 14:29

16 A. Officially once-a-month.

17 297 Q. You said the word "officially" there. Are we to infer
18 that there were perhaps unofficial meetings?

19 A. Yes.

20 298 Q. When would those unofficial meetings have taken place? 14:30

21 A. Whenever there was yet another crisis.

22 299 Q. With regard to these meetings with Mrs. Gishkori, how
23 did you find her in terms of supporting you in
24 discharging your roles?

25 A. I found her very supportive. 14:30

26 300 Q. You mentioned that one thing that was perhaps lacking
27 through the absence of regular channels with the
28 Medical Director was direction. Were you getting
29 appropriate direction from Mrs. Gishkori?

1 A. We had free, open discussions, and she would ask my
2 advice, I would ask her advice. Yes, I had no
3 problems.

4 301 Q. If we just talk about, perhaps, the official monthly
5 meetings with Mrs. Gishkori. Would anyone else have
6 been regularly attending those? 14:30

7 A. Ronan Carroll.

8 302 Q. Would there ever have been an occasion where say a
9 Clinical Director would have attended any of those
10 meetings? 14:31

11 A. Not usually, I can think of one occasion. But it
12 wasn't -- there may have been more, but it wouldn't
13 have been a regular feature.

14 303 Q. What about your engagement with Urology Services then?
15 So if we were looking up the Director and the Medical 14:31
16 Director, what about going down the way, down through
17 the system. How would you have engaged with Urology
18 Services?

19 A. Through the Clinical Director.

20 304 Q. Now, I think you said at the very start of your 14:31
21 evidence today that there was no Clinical Director
22 whenever you --

23 A. There was from 1 June.

24 305 Q. So for approximately a month your --

25 A. Yes. 14:31

26 306 Q. -- you have no Clinical Director?

27 A. Yes. That's correct. The interviews were held on 23
28 May.

29 307 Q. What would that engagement with the Clinical Director,

1 once they were in post, have looked like?

2 A. From my point of view, good. We met every Thursday.

3 308 Q. where I've been saying the word Clinical Director, but

4 there were two Clinical Directors for surgery. would

5 you have met them together or separately? 14:32

6 A. Together.

7 309 Q. Mr. Weir, Mr. Haynes, how did you find working

8 relationships with those two?

9 A. Excellent.

10 310 Q. These meetings with the Clinical Directors, were you 14:32

11 sending them off with clear instructions on what to do,

12 or were they reporting issues to you. What was the

13 dynamic like between you?

14 A. Yes, it is a two-way street. They would bring up

15 issues. I would ask them to do various things. One of 14:32

16 the big pushes on at that time was job planning. The

17 job planning situation in surgery had fallen way

18 behind. So I was encouraging them to get on with the

19 job planning. There had been a lack of attention to

20 job planning or successful job planning previously. 14:32

21 And there was a big emphasis to get job planning done.

22

23 There was reluctance on the part of some surgeons to

24 complete the job planning, understandably, because they

25 were on quite high PAs and the push was on to get the 14:33

26 PAs down to 12, so, for very good reasons, they weren't

27 enthusiastic about engaging.

28 311 Q. would you ever have had any direct engagement with

29 urology?

1 A. Through my role, no.

2 312 Q. Through your role as Associate Medical Director?

3 A. No.

4 313 Q. Even in that same month when you didn't have the
5 support of a Clinical Director? 14:33

6 A. No.

7 314 Q. How could you be satisfied in that month period, say
8 May 2016, that there were no issues within Urology if
9 you weren't meeting with say, Michael Young?

10 A. I knew there were issues in urology. 14:33

11 315 Q. How could you be satisfied they were being dealt with
12 if you didn't engage with Urology Services?

13 A. Well, I wasn't aware of any new issues that weren't
14 already known.

15 316 Q. During this afternoon we'll, of course, turn to some of 14:34
16 those specific issues in Urology. But I just wonder if
17 we could turn to WIT-14875. It is at page 141 of your
18 core bundle, if that's of any assistance to you. This
19 is an e-mail you sent to Mr Carroll, Mrs. Gishkori and
20 Dr. Wright on 9 May 2016. Have you got that in front 14:34
21 of you, okay? This is, roughly, say two weeks after
22 you take over as Associate Medical Director for
23 surgery. You sent an e-mail saying:

24

25 "Dear all, since being asked to take over 14:34
26 responsibility for the surgery as AMD. I have been
27 trying to get my head around as many issue as possible
28 to date.

29

1 1. There is no real functioning structure for dealing
2 with governance."

3
4 If we just scroll down, I think a total of 22 perhaps,
5 21 different issues you had identified in a two-week 14:35
6 period in surgery. Were you surprised being an
7 experienced Associate Medical Director to find this
8 amount of issues in your in-tray?

9 A. No. I'd say I was horrified.

10 317 Q. What horrified you in particular? Was it the scale of 14:35
11 the problems? The amount, the extent, the length of
12 them? What horrified you?

13 A. All of that. It was the breadth and the depth.

14 318 Q. You sign-off your e-mail with:

15
16 "That's what has appeared so far. Basically a very
17 disturbing picture. Significant governance risks."

18
19 Did you consider that this was almost a mission
20 critical type issue, this needed to be escalated? 14:35

21 A. Yes, absolutely.

22 319 Q. This email was sent to Mr. Carroll, who is the
23 Assistant Director, relatively new in post.
24 Mrs. Gishkori has probably been there at least from
25 some time in 2015, and Dr. Wright again from 2015. Why 14:36
26 did you take it upon yourself to email them this list
27 of issues? What were you expecting?

28 A. Well there were several reasons in my mind. Number
29 one, I wanted to ensure that the issues were clearly

1 defined and shared so that they were aware of them so
2 that I wouldn't be just left holding the baby, or
3 babies in this case, and to get some feedback on what
4 part of this elephant we were going to eat first, or at
5 least start chewing on, and get some direction of
6 priority.

14:37

7 320 Q. You do receive two responses to this email. The first
8 one -- if we just scroll up again, please -- is from
9 Mr. Carroll. "I think it's safe to say you have a good
10 handle on things."

14:37

11 A. Mm-hmm.

12 321 Q. Did that response go any way to dampening your
13 concerns?

14 A. No.

15 322 Q. You then receive a response from Dr. Wright, which
16 appears in your witness statement or your Section 21
17 response, rather, at WIT-14854. That's paragraph 4.6.
18 Dr. Wright responds:

14:37

19
20 "That seems a fairly accurate summing up. Can't all be
21 fixed in a day. Should we have a get together to work
22 up an action plan."

14:37

23 Can you ever recall meeting Dr. Wright to discuss the
24 email of 9th May?

25 A. I attempted to the following Friday.

14:38

26 323 Q. You say you attempted to. Were you able to meet with
27 Dr. Wright?

28 A. He suggested that it wasn't the time or the place and
29 it should wait until the next one-to-one.

1 324 Q. The conclusion of your email is a very disturbing
2 picture and significant governance risks implies there
3 was some degree of urgency in your mind to resolving
4 these issues?

5 A. I was having sleepless nights.

14:38

6 CHAIR: I missed that. What was that? Sorry.

7 A. Sleepless nights.

8 325 Q. If we could scroll down to paragraph 4.7. 4.8, sorry.
9 You say at WIT-14855:

10

14:38

11 "I have been unable to find a reply from Esther
12 Gishkori, Director of Acute Services, which would have
13 been unusual but I recall we discussed it."

14

15 what do you recall of that discussion with
16 Mrs. Gishkori?

14:39

17 A. I can't remember.

18 326 Q. What you recall is you discussed it, you can't recall
19 what was said?

20 A. Correct.

14:39

21 327 Q. On receiving those three responses to your email, how
22 did you feel?

23 A. I wasn't reassured.

24 328 Q. Having attempted to raise a degree or a number of
25 issues with the Acute Director and the Medical
26 Director, having received a less than satisfactory
27 response in your own opinion, did you raise these
28 issues again?

14:39

29 A. I raised it at the one-to-one.

- 1 329 Q. With who? Sorry?
- 2 A. Dr. Wright.
- 3 330 Q. Again on raising that, did Dr. Wright take any action?
- 4 A. Not that I remember.
- 5 331 Q. Having raised this quite substantial list of issues, 14:40
- 6 what action did you take to set about addressing points
- 7 1 to 21 of that email?
- 8 A. Some of them were not possible for me to address on my
- 9 own. Some of them required the help of a CD. The
- 10 issues -- well, there wasn't a lot I could do. I said 14:40
- 11 about planning the issues around urology, which were
- 12 certainly in the forefront.
- 13 332 Q. I think we'll return, perhaps, in due course to the
- 14 specific issues about urology in the course of this
- 15 afternoon. During your time as Associate Medical 14:41
- 16 Director, you ultimately leave that role in October
- 17 '16, were you any less concerned about this list of
- 18 issues at the time you left your role as whenever you
- 19 started?
- 20 A. No, I thought it was inevitable there was going to be 14:41
- 21 problems in the future.
- 22 333 Q. Just so I'm clear, as an experienced Associate Medical
- 23 Director these aren't the type of issues you might
- 24 expect to come across in a division or in a part of
- 25 the Trust i.e. Surgery, this is something over and 14:41
- 26 beyond what you might have expected to see whenever you
- 27 came into the role?
- 28 A. Well, I heard Mr. Mackle say that this was -- he would
- 29 expect us to be fairly normal for a GTH and a lot of

1 those issues are still extant. I would be surprised if
 2 this was normal. I mean some of these issues have
 3 actually gone the way I expected. The Daisy Hill
 4 situation, the surgical rotas, the breast situation.

5 334 Q. If I could clarify one point before we go on to a 14:42
 6 discussion about MHPS. Whenever you took on this role
 7 as Associate Medical Director for Surgery, did
 8 you receive a job description?

9 A. No.

10 335 Q. Whenever you took on this role as Associate Medical 14:42
 11 Director for Surgery, were you aware of what was
 12 required of you?

13 A. I would say so, yes.

14 336 Q. With regards to MHPS, what I'll refer to as the MHPS 14:42
 15 Framework and the Trust's internal guidelines, in your
 16 Section 21 response at WIT-14851, paragraph 4.1 of your
 17 hard copy, you said that you were of both the framework
 18 and the guidelines. You say:

19
 20 "I was aware of these guidelines and the MHPS 14:43
 21 guidelines published in 2005. They were two of
 22 a tsunami-like wave of guidelines, policies and
 23 protocols produced by the Trust, the Department of
 24 Health and various other relevant regional and national
 25 bodies disseminated to staff by the intranet increasing 14:43
 26 frequency between 2005 and 2016."

27
 28 Were you aware of the mechanics, the practicalities of
 29 those two policies?

1 A. I would say well, I had read the documents.

2 337 Q. You mentioned earlier you had been Associate Medical
3 Director for quite some time. Had you ever had cause,
4 during your other Associate Medical Director role, to
5 initiate or conduct any part of the process described 14:44
6 in the guidelines or the framework?

7 A. Before Surgical AMD I would say no, not under that
8 flag.

9 338 Q. I'm not going to ask you to go into any specifics at
10 all in terms of your anaesthetics AMD role, but one 14:44
11 would suspect that surely issues of concern did arise.
12 How did you resolve them, address or investigate such
13 issues without recourse to either the Trust guidelines
14 or the MHPS Framework?

15 A. There wasn't really a major issue of competence or lack 14:44
16 of application. There was occasionally resistance in
17 moving in certain directions but we worked through that
18 by getting group agreement and then peer pressure among
19 colleagues.

20 339 Q. Just so I'm clear, what do you mean by "peer pressure" 14:45
21 in this context?

22 A. For instance, I was the keen that the anaesthetists
23 would work cross-site between Daisy Hill and Craigavon.
24 That wasn't welcomed enthusiastically by all, but the
25 situation was that you would have a surgeon and 14:45
26 a theatre available in Daisy Hill but no anaesthetist
27 because the anaesthetist in Daisy Hill was on holidays
28 and there was availability in Craigavon so it would
29 make sense there was cross-site working. There wasn't

1 universal support for that but there were enough people
2 supporting it that the others were persuaded.

3 340 Q. In your time at the Trust had you ever received any
4 type of training on how to utilise the MHPS Framework
5 or the Trust guidance?

14:46

6 A. Not that I recall.

7 341 Q. Again, the fact that you had been Associate Medical
8 Director for quite some time, is there any particular
9 reason why you didn't get trained?

10 A. I didn't say I didn't get trained. I didn't recall it.
11 Apparently I went on a training course in 2010 but
12 I have no memory of it.

14:46

13 342 Q. If I can just quickly refer, then, to WIT-14856, which
14 is paragraph 8.1 of your Section 21 response. In this
15 you describe a scenario where:

14:46

16
17 "Shortly after taking over the role for AMD for Surgery
18 I was asked to take over the role of Case Manager in
19 the case of a consultant. This case had been running
20 for some time before my involvement."

14:47

21
22 The preceding Case Manager had died and you were asked
23 to take over.

24
25 If you just go down to 8.2, please?

14:47

26
27 "My role, as I recall it, was limited to signing
28 letters provided to me by HR, which were sent to the
29 consultant every 4 weeks."

1 Is this the only time you have ever been involved as
2 a case manager, case investigator in an MHPS process?

3 A. Yes.

4 343 Q. Was the extent of your involvement simply just signing
5 a letter, as you say, every four weeks? 14:47

6 A. Yes. I never met the individual. No, that's not true.
7 I didn't meet him in the course of this. I obviously
8 met him because he was an employee in the hospital.

9 344 Q. I'm curious to understand, Dr. McAllister, how these
10 processes work and impact on professional 14:47
11 relationships. Whether or not it was an MHPS process
12 or not, have you ever been involved in an investigation
13 conducted by another consultant?

14 A. Yes.

15 345 Q. I'm not necessarily sure of the facts and circumstances 14:48
16 are relevant to this Inquiry, but was that an
17 investigation into yourself?

18 A. Yes.

19 346 Q. The parties doing the investigation, were they other
20 consultants? 14:48

21 A. Yes.

22 347 Q. How do you think, based on your experience, that
23 impacted on professional relationships between you and
24 that particular consultant?

25 A. It was conducted, it was driven by outside forces that 14:48
26 there was no choice but to go ahead with it. It needed
27 to be done in a thorough and comprehensive way that it
28 would stand up to external scrutiny. It was conducted
29 fairly and reasonably. It was embarrassing for me and

1 was embarrassing for the person conducting the
2 interview. well, it seemed to be.

3 348 Q. That professional embarrassment, mutual professional
4 embarrassment, how did that impact outside of the
5 interview room, in theatre, about the hospital? How 14:49
6 did it impact on relationships, in your experience?

7 A. I think we got over it and worked well together.

8 349 Q. Having been through that professional embarrassment
9 yourself, were you in any way reluctant to put another
10 consultant through a similar experience? 14:49

11 A. No.

12 350 Q. You don't think any of that experience impacted upon
13 your ability to utilise formal Trust processes if you
14 had to?

15 A. Absolutely not. 14:49

16 351 Q. Now I will start moving in to your time as Associate
17 Medical Director, but before I do, prior to becoming
18 AMD for surgery and having direct management
19 responsibility, what was your impression of
20 Mr. O'Brien? 14:50

21 A. Well, as I say in my Section 21, I did very few lists
22 with him in theatre. I can't remember how many I did.
23 But in theatre I saw no issues. I did meet him
24 regularly in ICU because he did a lot of big surgery
25 and regularly had patients in ICU. Everything I saw 14:50
26 was positive.

27

28 Also, anaesthetists tend to gossip and the feedback
29 I was getting from theatre to theatre -- it was an

1 anaesthetist that raised the alarm over the cardiac
 2 surgery in Bristol. Anaesthetists see what goes on.
 3 The feedback I was getting was that there were no
 4 issues and, in fact, both consultants and trainees
 5 liked working with Mr. O'Brien.

14:50

6 352 Q. If we look at WIT-14871 which is paragraph 2.11 of your
 7 statement and it is page 34 of your hard copy bundle if
 8 that is of any assistance to you. If we pick it up
 9 halfway through this paragraph:

10
 11 "In 2016, Mr. O'Brien was generally considered to be
 12 extremely hardworking, if not the hardest working
 13 surgeon in The Trust. He was regarded as technically
 14 excellent in theatre with the most demanding of major
 15 urological surgery and, just as importantly, excellent
 16 and direct pre-op and post-op care."

14:51

17 A. Where is that?

18 353 Q. Paragraph 2.11?

19 A. Okay. Is it?

20 354 Q. 11. Sorry, forgive me. Is it fair to say you held
 21 Mr. O'Brien in pretty high regard coming into your job
 22 in 2016?

14:51

23 A. He was a good surgeon.

24 355 Q. If we could just have a look at AOB-50009. There is
 25 a reference provided by yourself to Mr. O'Brien's
 26 solicitors on 11 December 2020. Are you familiar with
 27 this?

14:52

28 A. Yes.

29 356 Q. If you scroll down, please, just a wee bit. In the

1 second paragraph you note that:

2
3 "Mr. O'Brien was appointed a short time before my
4 appointment but had already established a Urology
5 Service single-handedly from scratch." 14:52

6
7 So in your mind, Mr. O'Brien, even to this day, is
8 responsible for building up Urology Services in the
9 Southern Health and Social Care Trust?

10 A. He was, yes. 14:53

11 357 Q. I think you say in your Section 21 response, this was
12 despite opposition from Commissioners and various other
13 struggles?

14 A. Well, the Belfast Trust had a monopoly on urological
15 surgery at that stage and they were less than 14:53
16 enthusiastic, according to John Templeton, who was the
17 Chief Executive in the old Legacy Trust, and they were
18 not supportive.

19 358 Q. So it is quite clear at the time in 2016 you hold
20 Mr. O'Brien in high regard and you still appear to do 14:53
21 so, yes?

22 A. He's a good surgeon.

23 359 Q. Whenever you were handling issues with regards to
24 Mr. O'Brien between April and October 2016, was this in
25 your mind at all points, that Mr. O'Brien was, as you 14:53
26 say, a good surgeon? Were you always cognizant of his
27 ability?

28 A. Yes.

29 360 Q. To what extent did your awareness of Mr. O'Brien being

1 a good surgeon, as you have just said, prevent you or
2 stop you from going in and perhaps challenging him or
3 trying to address issues?
4 A. It didn't stop me at all.
5 361 Q. Let me just ask you, were you and Mr. O'Brien 14:54
6 particularly close?
7 A. I beg your pardon?
8 362 Q. Were you particularly close, were you and Mr. O'Brien
9 close?
10 A. Do you mean were we friends? 14:54
11 363 Q. Yes?
12 A. No.
13 364 Q. What was your relationship like around the hospital?
14 A. Excellent.
15 365 Q. Had you any previous experience of trying to manage 14:54
16 Mr. O'Brien or deal with issues prior to your
17 appointment in April 2016?
18 A. I did.
19 366 Q. Could you outline those, please?
20 A. Well, I received a phone call from Paddy Loughran some 14:54
21 time around '09/'10 asking me to come down to Trust
22 Headquarters to meet up with him. That wasn't that
23 unusual. He would do that every now and then for
24 coffee and chocolate biscuits and we would discuss
25 various issues. 14:55
26
27 So I went down and walked into the office. There was
28 no coffee or chocolate biscuits. He was sitting there
29 and Dr. Damani was there, I thought that was strange

1 and not a good sign. Dr. Loughran outlined that he was
2 in some difficulty, that Diane Corrigan was in contact
3 with him about an issue with IV fluids and antibiotics
4 being given for prolonged periods to urology patients
5 by Mr. O'Brien. He said that he was under some
6 pressure and that he was having difficulty resolving
7 it.

14:56

8
9 Dr. Damani said that there was no published evidence
10 for what was going on, that it would lead to resistant
11 infection, Clostridium difficile breakout, and
12 basically Armageddon and we had to sort it out.
13 I said, that's great, why am I here? And for the first
14 and only time Dr. Loughran got cross and said that he
15 was in -- he had been struggling with this and he
16 needed help, and if I didn't want to be involved, then
17 I could leave. Clearly the temperature was higher than
18 I had appreciated. I said, fine. Mr. O'Brien arrived.

14:56

19
20 They gave their points of view to Mr. O'Brien.

14:57

21 Mr. O'Brien said that he didn't need to see published
22 evidence, he had the evidence of his own eyes, he had
23 the evidence of the testimony of the patients and they
24 were ringing him up asking him to provide this
25 treatment for them and he wasn't prepared to leave them
26 suffering.

14:57

27
28 Dr. Loughran then said, "Charlie, what do you think?"
29 I told him what I thought which was that Diane Corrigan

1 was on this, that she was like the eye of Sauron and
2 she wasn't going to let this one go. She had the bit
3 between her teeth and she was going to drive this to an
4 end. And she also had significant control over purse
5 strings for The Trust.

14:58

6
7 Diane Corrigan was easily the best public health doctor
8 in Northern Ireland. I had had numerous interactions
9 with her and I had always been impressed. And I sat
10 back, waited for the balloon to go up, and looked
11 across. Mr. O'Brien was to my right, Dr. Damani was
12 there, Dr. Loughran was there, I looked across at them.
13 Mr. O'Brien paused and then said that -- how much he
14 respected me clinically, basically said a lot of nice
15 things about my clinical side of things, and then he
16 said how much he respected my opinion, and then he
17 said, and I'll never forget it, he said in fact yours
18 is the only opinion in this room that I do respect.
19 Dr. Damani and Paddy Loughran reacted to that. And he
20 said if that's what I thought, then he would have to
21 accept it and he wouldn't do it anymore.

14:58

14:58

14:59

22 367 Q. Have you any idea why Mr. O'Brien would regard your
23 opinion with particularly high regard, as opposed to
24 say some of those others in the room?

25 A. Well, he clearly thought I was good at my job and I had
26 also had some interaction with a member of his family
27 which turned out positively. Also, we'd always got on
28 very well.

14:59

29 368 Q. You placed this interaction, this meeting in 2009/'10,

1 sorry, was that right?

2 A. It was about then.

3 369 Q. You are aware that the issue of IV antibiotics rumbled
4 on probably for a couple more years after that, the
5 issue wasn't sorted then and there? 15:00

6 A. I'm not sure about the date. There's no email on it.
7 I don't know. I know for certain Paddy Loughran was
8 the Medical Director.

9 370 Q. Just to be clear, do you know why Dr. Loughran asked
10 you specifically to be at that meeting? 15:00

11 A. Well, I asked him that. I thought it was a bit
12 strange. It must have been -- whenever it finished, it
13 was a consequence of that meeting. Because I met Paddy
14 Loughran afterwards and he said that there had been no
15 more issues. 15:00

16 371 Q. Perhaps, then, if we move on to consideration of the
17 five or so months in which you acted as Associate
18 Medical Director for Surgery in your various
19 interactions.

20 15:01

21 On taking over the role, when and what circumstances
22 did you first become aware that there were issues with
23 Mr. O'Brien's practice, assuming you were not aware
24 beforehand.

25 A. Well, I wasn't beforehand. Oh, I would say first day. 15:01

26 372 Q. How did you become so aware?

27 A. Well, Martina Corrigan and Heather Trouton handed me
28 the letter that they had presented to him. No, handed
29 me the letter that Martina and Mr. Mackle had presented

1 to him on 30 April, and said that this had been done
2 following a meeting that was held in January following
3 Mr. Mackle approaching Dr. Wright in December.

4 373 Q. I'll just offer you the opportunity to correct
5 yourself. You said it was 30 April, I think it was 30 15:02
6 March 2016 if we are talking about the same letter?

7 A. Yes, 30 March, yes.

8 374 Q. If we can get on the screen WIT-14788? This is at
9 page 85 of your hard copy bundle, if you wish to have
10 a look at it? 15:02

11 A. 85, you say?

12 375 Q. 85. It is an extract from Mr. Mackle's response to the
13 Section 21 notice?

14 A. Oh, yes, Mr. Mackle told me as well.

15 376 Q. It would appear that Mr. Mackle gave you a quite 15:02
16 detailed overview of what actions had taken place to
17 date. Can you remember when you had this hand-over
18 meeting with Mr. Mackle?

19 A. You mean the date?

20 377 Q. Yes. 15:02

21 A. No. It was some time in -- after he was no longer AMD
22 and I took up the post.

23 378 Q. Was it before or after your meeting with Ms. Corrigan
24 which you have just described?

25 A. I couldn't tell you that. 15:03

26 379 Q. If we take a look at AOB-00979, please? This document
27 appears at page 136 of your core bundle, if you wish to
28 have a look at the hard copy. This is a copy of that
29 letter to Mr. O'Brien which you just referenced. When

1 did you first see a copy of this letter?

2 A. End of April.

3 380 Q. How did that letter come into your possession, as far
4 as you can remember?

5 A. It was handed to me by either Heather Trouton or 15:03
6 Martina Corrigan.

7 381 Q. If you just have a little look through the letter while
8 we're here. The first issue is recorded as un-triaged
9 outpatient referrals. The second there is an issue
10 with regards to the current review backlog up to 15:04
11 26th February 2016. Third issue, patient centre
12 letters and recorded outcomes from clinics. Then the
13 last issue recorded there is patient notes at home.
14 whenever these issues were explained to you, or
15 whenever you first saw the letter, what was your 15:04
16 impression on the seriousness of these concerns?

17 A. I thought they were serious.

18 382 Q. why did you think they were serious?

19 A. Because, sooner or later, there was going to be
20 a misadventure. 15:04

21 383 Q. what was your fear in this context?

22 A. Someone was going to have a late diagnosis as a result
23 of the letters not being triaged. The review backlog
24 was certainly impressive. Not recording outcomes
25 clearly makes life difficult for other people involved 15:05
26 in the care of the patient. Patient notes at home,
27 obviously from the administration point of view, if you
28 haven't got the patient's notes -- it wasn't as crucial
29 then as it would have been before hand but you're not

1 having all the information that is available.

2 384 Q. On reading that letter and having these concerns

3 explained to you, did you consider these were Patient

4 Safety matters?

5 A. Did I? I'm sorry. 15:05

6 385 Q. Did you consider these were matters of Patient Safety?

7 A. Yes.

8 386 Q. If we just scroll down ever so slightly, please. This

9 is the very last sentence of the letter.

10 15:05

11 "You appreciate that we must address these governance

12 issues and therefore would request that you respond" --

13 this is to Mr. O'Brien, obviously -- "with a commitment

14 and an immediate plan to address the above as soon as

15 possible." 15:06

16

17 What were you told about Mr O'Brien's follow up to this

18 meeting and letter?

19 A. I wasn't.

20 387 Q. You weren't told anything? 15:06

21 A. Sorry, ask the question again?

22 388 Q. What were you told about Mr. O'Brien's follow-up to the

23 meeting and the letter?

24 A. Follow-up to the meeting and the letter? I'm not aware

25 of anything. 15:06

26 389 Q. Whenever this was explained to you by Mrs. Corrigan,

27 did you ask her, having seen the last sentence there

28 about a plan, did you ask her has a plan been received?

29 A. I can't remember. I would have expected so but I can't

1 say whether I did or not.

2 390 Q. You place this interaction becoming aware of these
3 concerns at the end of April 2016. On becoming aware
4 of these concerns and not being entirely aware of what,
5 if any, follow-up there had been, what actions did you 15:07
6 take as the Associate Medical Director to satisfy
7 yourself that these issues were being looked into and
8 addressed?

9 A. I spoke with Martina Corrigan and I asked her to keep
10 me in the loop and let me know; whether there was 15:07
11 improvement or deterioration in the situation.

12 391 Q. At that time, at the end of April 2016, did you take
13 any steps to address these issues or to follow-up on
14 the March correspondence?

15 A. No. 15:07

16 392 Q. Why not?

17 A. Because this had been going on for years. There had
18 been various attempts previously by engaging,
19 apparently, with Mr. O'Brien. These were all
20 undocumented. They were all un-minuted. There were no 15:07
21 emails. What seemed to happen was things would improve
22 for a while and then things would get bad again. It
23 was a recurring cycle.

24 393 Q. Have a look, please, at WIT-14866. This is
25 paragraph 11.13 of your Section 21 response. You say: 15:08
26
27 "By the time I came on the scene, in April 2016,
28 informal steps had already been taken a week or two
29 previously by Mr. Mackle and Heather Trouton as

1 evidenced in their letter of 23rd March 2016. I don't
 2 know what advice they had received or what discussions
 3 they had other than I was made aware that there had
 4 been discussions with Mr. O'Brien (on more than one
 5 occasion), that the Director of Acute Services, Esther 15:08
 6 Gishkori was involved as was the Medical Director,
 7 Dr. Wright. Consequently, since an informal approach
 8 had already been made initiated by others very
 9 recently, I did not when presented with this
 10 information specifically engage with Mr. O'Brien." 15:09

11
 12 Did the fact that an informal attempt had been made the
 13 month before you took over, did you see that as
 14 stopping your ability to challenge or engage with
 15 Mr. O'Brien on these issues? 15:09

16 A. No.

17 394 Q. Because if you read that sentence again, "consequently,
 18 since an informal approach had already been initiated
 19 by others." what's the significance of the informal
 20 approach by others? Could you not have ascertained 15:09
 21 what had happened, what any follow up had been, and
 22 made your own attempts to sort out this issue?

23 A. I was planning to sort out the issue. I didn't think
 24 this letter would have any effect. No, I didn't think
 25 it would sort out the issue on an ongoing and permanent 15:09
 26 basis.

27 395 Q. From becoming aware of these concerns in April, did you
 28 make any attempt to sort out this issue?

29 A. No, because I didn't want to repeat the same mistakes

1 that had happened previously.

2 396 Q. If we could return, perhaps, then to your email to
3 Dr. Wright, Mrs. Gishkori and Mr. Carroll, of 9th May
4 2016, which appears at WIT-14875. We'll focus this
5 time on the urology section of that email. 15:10

6

7 You say: "Urology, issues of competencies, backlog,
8 triaging referral letters, not writing outcomes in
9 notes, taking notes home, and questions being asked re
10 appropriate prioritisation of NHS of patients seen 15:10
11 privately."

12

13 If we take each of those in turn, I think it's fair to
14 say from the discussion we have had today that issues
15 of competency, did that concern Mr. O'Brien? 15:10

16 A. No.

17 397 Q. Would it be fair to say that the backlog issue referred
18 to, did that relate to Mr. O'Brien?

19 A. Not exclusively.

20 398 Q. What other concerns were you aware about the urology 15:11
21 backlog at that time?

22 A. I was aware another consultant had a significant
23 backlog.

24 399 Q. It is not exclusively a Mr. O'Brien issue but it is in
25 part a Mr. O'Brien issue? 15:11

26 A. Yes.

27 400 Q. Triaging referral letters, was that a Mr. O'Brien
28 issue?

29 A. Yes.

1 401 Q. what about any other consultants, urologists?
2 A. No. I think that was specifically Mr. O'Brien.
3 402 Q. Again I'll ask you the same question, not writing out
4 common notes, was that a Mr. O'Brien issue?
5 A. Yes. 15:11
6 403 Q. Did it affect any of the other Urology Consultants?
7 A. Not that I knew.
8 404 Q. Notes at home or taking notes home, that's an
9 Mr. O'Brien issue?
10 A. Yes. 15:12
11 405 Q. Affecting any of the other Urologists?
12 A. Not that I knew.
13 406 Q. Then this final issue, questions being asked re
14 inappropriate privatisation onto NHS of patients seen
15 privately. Was that a Mr. O'Brien issue? 15:12
16 A. Yes.
17 407 Q. What was the concern at that time in May 2016?
18 A. Martina told me that there had been questions asked
19 about patients that were -- seemed to be appearing out
20 of order who may or may not have been private patients. 15:12
21 408 Q. This is May 2016. So at this stage there wasn't
22 a Clinical Director?
23 A. Correct.
24 409 Q. So Martina Corrigan is, in effect, raising this with
25 you as the next, probably, most successful or the next 15:12
26 available level of medical management, is that fair?
27 A. Correct.
28 410 Q. What steps did you take to try and address this issue
29 or understand and appreciate was in fact an issue of

1 concern?

2 A. Well I asked Martina to let me know if there was any
3 evidence going forward of this happening.

4 411 Q. Did you ask Martina for any evidence going backwards,
5 of it having happened in the past?

15:13

6 A. No.

7 412 Q. Why did you not do that?

8 A. Well, I presumed if there was evidence, I would have
9 been given it.

10 413 Q. Is that a serious issue in itself, in effect, the
11 inappropriate referral of private patients?

15:13

12 A. Yes. I thought, actually, that would have hit the red
13 button. There had been a training session in February
14 on private patients in the hospital. I went -- I was
15 AMD for Anaesthetics at the time and Anaesthetists
16 don't have -- they don't bring private patients in the
17 hospital. Patients don't go to the hospital to see an
18 anaesthetists, and anaesthetists don't use private
19 facilities in the hospital.

15:13

20 15:14

21 And it was Dr. Wright had taken that, I was struck with
22 what he said, that as far as he was concerned anybody
23 who was giving unfair advantage to patients having been
24 seen privately that that was a GMC issue as far as he
25 was concerned. So I expected that that would get
26 a response.

15:14

27 414 Q. By this stage -- sorry to cut across you there,
28 Dr. McAllister. At this stage, 9 May 2016, had you
29 spoken to Mr. O'Brien about any of these five issues?

1 A. No.

2 415 Q. These issues were concerning enough that you have to
3 email the Medical Director about them. Why did you not
4 take the step of speaking to Mr. O'Brien, seeing if you
5 could address them? 15:15

6 A. Because I was waiting to get a Clinical Director
7 appointed who was a surgeon. I don't do outpatients.
8 I don't do triage. I don't do letters on outpatients
9 and I don't do review clinics. These issues, it needed
10 someone who could engage with them and make suggestions 15:15
11 about how he could modify his practice to eliminate
12 this. He had previously been spoken to many times
13 before over the same thing but had always -- had
14 always -- fallen back again.

15 416 Q. I think it is easy to look at the absence of a Clinical 15:15
16 Director, but you did have Mr. Young who was the
17 Clinical Lead. Could you not raised these with
18 Mr. Young and sent him out to try and engage with Mr.
19 O'Brien on this?

20 A. And repeat, trying the same thing that had been tried 15:16
21 before and expecting a different outcome? No.

22 417 Q. As we discussed a moment ago, I think fairly to you,
23 you said that four of these issues are Mr. O'Brien
24 specific?

25 A. Yes. 15:16

26 418 Q. One of them at least in part or half relates to
27 Mr. O'Brien?

28 A. Yes.

29 419 Q. Nowhere in this email to the Medical Director do

1 you flag that these are, in fact, Mr. O'Brien issues
2 and these issues which -- most of which have been known
3 about are, in fact, unresolved. why did you not flag
4 that to the Medical Director?

5 A. He already knew the Aidan O'Brien issues. 15:16

6 420 Q. He already knew the Aidan O'Brien issues, but he may
7 not have been aware that they were unaddressed or
8 unresolved. why did you not flag that to him?

9 A. Well if they had been addressed or resolved, I wouldn't
10 have put them in the email. 15:16

11 421 Q. Do you accept that this is perhaps not the most overt
12 manner in which you could have referred to these being
13 Aidan O'Brien issues? You could have flagged that this
14 was in fact Mr. O'Brien causing the majority of these
15 concerns? 15:17

16 A. I could have put a lot of names down on that email, but
17 it was a summation of various issues.

18 422 Q. Specifically of Point 6, though?

19 A. Sorry?

20 423 Q. Specifically of Point 6 in Urology, could you not have 15:17
21 flagged directly to the Medical Director?

22 A. I could have, yeah.

23 424 Q. Is there any specific reason why you chose not to?

24 A. No. If you are suggesting it was because I was
25 reluctant to engage with Mr. O'Brien, that's totally 15:17
26 untrue. What I wanted to do was to make sure that
27 whatever step was put in place would work and would be
28 sustained going forward. Bear in mind, I was only
29 going to be there a few months. I didn't want a system

1 put in place that was reliant on me.

2 425 Q. There has been some discussion today about the absence
3 of a Clinical Director and, perhaps, some of the issues
4 that that might cause. Mr. Weir was subsequently
5 appointed on 1 June. If we have a look at his evidence 15:18
6 to us in his Section 21 response, WIT-19904,
7 specifically paragraph 7. If you are looking for the
8 hard copy, Dr. McAllister, I think it is page 70 of
9 your specific bundle.

10
11 At the very top of the page, it says paragraph 7.
12 Mr. Weir here is referring to receiving a copy of the
13 March letter from Martina Corrigan on 15 June. He
14 says:

15
16 "I believe this was sent to me because Dr. McAllister,
17 acting AMD, in or around June or July 2016, from a
18 personal undated handwritten note, had asked me to try
19 to resolve the outstanding issue. More specifically,
20 he asked me to try to resolve this with negotiation 15:19
21 with Mr. O'Brien and have him agree to an action plan
22 without recourse to formal investigation or
23 procedures."

24
25 Do you recall having a meeting with Mr. Weir about June 15:19
26 or July 2016 on these issues?

27 A. It was June.

28 426 Q. June. Do you think it was around about 15th June,
29 which was the time Mr. Weir received the March letter?

1 A. It would have been the following day.

2 427 Q. Just so I'm clear, sorry. You received the letter the
3 day before the meeting?

4 A. Yes.

5 428 Q. why have you suddenly had a change of tact here from 15:19
6 saying not necessarily making moves to address these
7 issue to now that Mr. Weir is there attempting to
8 address them?

9 A. I thought it would be more sensible if a surgeon were
10 to address a surgeon discussing surgical issues and 15:20
11 surgical management. What I wanted him to do was to
12 open up lines of communication with Mr. O'Brien,
13 flagging up that -- reminding him that there were
14 issues and to start discussions about how best to
15 resolve it. 15:20

16 429 Q. Whenever you say it was best if it was surgeon to
17 surgeon, you're not hinting at some kind of cultural
18 issue about an anaesthetist telling a surgeon what to
19 do here?

20 A. If Mr. O'Brien came up to me and told me how to do one 15:20
21 long anaesthesia on one of Mr Mackle's suturectomies he
22 might have great insight but it wouldn't have a lot of
23 credibility. We wanted solutions here. Telling
24 Mr. O'Brien he needed to speed up and do whatever
25 wasn't going to work. He actually needed systems, 15:20
26 support systems put in place to help him overcome his
27 undoubted issues.

28 430 Q. I'm not sure if you were following this morning's
29 evidence, but I don't have anything to put to you in

1 terms of a transcript, but Mr. Weir certainly gave the
 2 impression from his earliest involvement he was perhaps
 3 indicating that he was nervous, perhaps, about engaging
 4 Mr. O'Brien without appropriate support. Did he ever
 5 express anything of that nature to you in this meeting? 15:21

6 A. He was reticent.

7 431 Q. In what way did he come across as reticent?

8 A. I asked him to do it in June and nothing happened
 9 in June or July that I could see. Now, admittedly July
 10 in the hospital is a dead month, but nothing happened. 15:21
 11 I wasn't expecting Mr. Weir to solve this. What
 12 I wanted was to start a process that would be ongoing.

13 432 Q. So at a meeting, perhaps on 16th June 2016, did
 14 you explain to Mr. Weir you wanted him to start this
 15 process? 15:22

16 A. Yes.

17 433 Q. Did you explain to Mr. Weir when you wanted him to
 18 start this process?

19 A. I didn't give him a date by. I just said I would like
 20 him to speak with Mr. O'Brien and to find out what was 15:22
 21 going on, what were the problems, and why he was having
 22 these difficulties.

23 434 Q. Was it your expectation that Mr. Weir would have spoken
 24 to him some time in June?

25 A. I don't know what his holidays arrangements I can't 15:22
 26 remember that. I would have expected it to have taken
 27 place over the next...

28 435 Q. Any time over June or July did you follow up with
 29 Mr. Weir to say, 'have you spoken to Mr. O'Brien,

what's the current state of play'?

A. You're asking me to remember. We had weekly meetings. I would have expected I would have.

436 Q. Just so we are clear, you think this discussion on
16th June took place in the context of one of your
weekly meetings? It wouldn't have been a specifically
arranged meeting to discuss Mr. O'Brien?

A. I don't remember any specifically arranged meetings to discuss Mr. O'Brien.

437 Q. would Mr. Haynes have been present? 15:23

A. He was, the vast majority of time he was present.

438 Q. Can you remember Mr. Haynes at this stage expressing
any view or a plan how to go about resolving this?

A. Not that I recall.

439 Q. A bit of a discrete point but if we go to TRU-00782. 15:23
I don't have the reference in the page bundles, but
it's a statement Dr. Weir made to Dr. Chada on 24th
May '17 in the context of the MHPS investigation. If
we look at paragraph 6, Mr. Weir told Dr. Chada:

"Dr. McAllister first mentioned to me that there were concerns about Mr. O'Brien's triage, keeping notes at home and un-dictated clinics in or around August 2016".

We now understand that was probably closer to June 15:24

A. Yes, it was June.

440 Q. Then Mr. Weir says: "He put it in terms of there being
a bit of an issue with charts, triage and clinics, but
it wasn't put to me as a really serious problem".

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29

How did you express these concerns to Mr. Weir? Did you express them as a serious problem.

A. This was in the context of having a letter which was the end result of three and a half months gestation period involving the Medical Director, the Director of Acute Services, the previous AMD, the previous AD resulting in a letter that was handed to Mr. O'Brien tabulating these issues that had been going on for some time and hadn't been resolved in front of Mr. Haynes. I think it's inconceivable that anyone would characterise this as not serious.

441 Q. Can you recall if you expressly emphasised the seriousness to Mr. Weir?

A. He had the letter in his hand so it was clear that this was -- this is not normal. In fact, it is probably unique that somebody is given a letter in this fashion. But if we can just scroll down a bit to number 8. It says here:

"I was appointed Clinical Director around April 2016". That's incorrect. It was 1st June.

442 Q. As I pointed out to you whenever I was asking the question. I think there was an issue in paragraph 6 about the dates. He said it was August, you think it was June. Were you aware of anyone speaking to Mr. O'Brien about these issues, either Mr. Young, Mr. Weir or yourself? June? July? Did anyone speak to Mr. O'Brien?

A. If Mr. Weir didn't, I didn't.

1 443 Q. This next comes across your desk, so to speak,
2 in August 2016. Would that be right, so far as you can
3 remember?
4 A. I'm sorry, could you give me the first bit of that
5 again? 15:26
6 444 Q. This first comes back to your attention in August 2016.
7 A. Yes.
8 445 Q. If we have a look at TRU-274718. This is Martina
9 Corrigan, Mrs. Corrigan forwarding you information,
10 updated figures, perhaps, on Mr. O'Brien. It's dated 15:27
11 17th August 2016. There's an update with regard to
12 triage. There are currently 174 un-triaged letters
13 dating back to May 2016. I think that is a slight
14 improvement, improvement of about a third from the
15 situation in March. Then there's the current review 15:27
16 backlog which is essentially the same figure.
17 Why were you being sent this information from
18 Martina Corrigan on 17th August?
19 A. Because Martina told me that Dr. Wright had contacted
20 her and asked her for those figures, and it had been 15:27
21 shared with Esther as well.
22 446 Q. When did Martina mention this to you?
23 A. I presume that day perhaps. That day I would think.
24 447 Q. I think, in fairness, if we go every ever so slightly
25 up the email, it says: "This morning attached"? 15:28
26 A. That day then. Yes.
27 448 Q. What were you doing with these figures? You get sent
28 these on 17th August 2016. What's your reaction? What
29 is your next step here?

1 A. I had a meeting with Mr. Weir and asked him to come up
2 with some suggestions about how this could be addressed
3 and to speak with Mr. O'Brien.
4 449 Q. Perhaps it might be helpful to have a quick look at
5 what you recorded in your response about that. If 15:28
6 we have a look at WIT-14862, please? That's
7 paragraph 11.6. It's down the bottom. Thank you.
8 If we pick up, perhaps, two-thirds of the way through
9 that.
10
11 "I discussed the situation with Mr. Colin Weir, CD for
12 Urology, at our regular Thursday meetings on 18th
13 August 2016."
14
15 This is again one of your routine meetings with 15:29
16 Mr. Weir?
17 A. Correct.
18 450 Q. Can you recall if Mr. Haynes was present?
19 A. I can't. I don't think he was but I can't say.
20 451 Q. "We discussed what steps could be taken to sort this 15:29
21 chronic problem out once and for all. Among the things
22 we discussed I suggested that removal from theatre
23 until the backlog was cleared would be the most
24 effective incentive for Mr. O'Brien to address the
25 triage backlog and any other issues". 15:29
26
27 where did this idea of removing him from theatre come
28 from?
29 A. Out of my head.

1 452 Q. Have you ever seen that be used for any other surgeons
2 in the Trust?
3 A. No.
4 453 Q. It's your idea. What do you think this would have
5 achieved? 15:30
6 A. It would have given him time and it would have given
7 him incentive.
8 454 Q. Incentive in what way?
9 A. To clear the backlog.
10 455 Q. I imagine it would be a pretty, perhaps even an 15:30
11 embarrassing situation for a consultant to be taken out
12 of theatre. Is that what you were hoping to encourage
13 here?
14 A. No. No. I couldn't force him to. He would have to
15 agree to this as a process. 15:30
16 456 Q. Were you going to go in all guns blazing and just try
17 and do it, or were you just going to plant the seed
18 that there was a threat of this coming down the line?
19 What was your plan here?
20 A. My plan was to propose that he should come out of 15:30
21 theatre until his backlog was cleared.
22 457 Q. We're at the very bottom of this page here. It
23 says:
24
25 "Mr. Weir appeared concerned at this suggestion and 15:31
26 said that Mr. O'Brien would 'go mad.'
27
28 Was this another example of Mr. Weir's reticence at
29 challenging Mr. O'Brien?

1 A. I'm not sure. I think he was more -- I'm not sure
2 whether it was reticence of challenging, or whether he
3 thought doing that to a surgeon was a bit harsh.

4 458 Q. You perceive that Mr. Weir was nervous about going
5 after Mr. O'Brien in this way? 15:31

6 A. I would say.

7 459 Q. Aware of that knowledge, did you, as Associate Medical
8 Director, try and re-assure him he had your support?

9 A. Well I hope he had no doubt he had my support.

10 460 Q. You go on "I asked him" -- that is Mr. Weir: 15:31
11
12 "...to think about it over the weekend and come up with
13 a solid plan that would sort this problem out once and
14 for all and consider speaking with Mr. O'Brien the
15 following week." 15:32
16
17 At this stage did Mr. Weir revert to you with a plan?

18 A. Revert to my plan?

19 461 Q. Revert to you with a plan?

20 A. He reverted with a plan subsequently, but I couldn't 15:32
21 say whether it was the following week.

22 462 Q. I think he reverts to the plan on 16 September, which
23 is about a month later, but following your meeting on
24 18 August, according to your own response, you told
25 Mr. Weir to think about it over the weekend and come up 15:32
26 with a solid plan?

27 A. Yeah, if he didn't like my idea about the theatres then
28 he had to come up with something else.

29 463 Q. Do you recall him ever bringing something else to the

1 table at that time?

2 A. No.

3 464 Q. Madam chair, it is half-three. I am not dying for a
4 break myself, but now might an appropriate point.

5 CHAIR: Are you happy to continue?

15:33

6 A. Of course.

7 CHAIR: Is everybody in the room happy to continue? I
8 mean, if anybody needs to take a comfort break I can
9 certainly leave. But I think it is preferable that we
10 continue on and get through this witness' evidence
11 today, if at all possible.

12 465 Q. Can we have a look, please at WIT-14883, please. Can
13 we scroll down to the bottom? This appears at page 46
14 of your hard copy bundle. But what it is, is, it's an
15 email from Mr. Gibson to yourself, Mr. Mackle,
16 Mr. Carroll, Ms. Trouton, marked "Confidential AOB".
17 It says:

15:33

18
19 "Dear all, I have been asked by the Medical Director to
20 consider a range of issues in relation to Mr. O'Brien.
21 As part of this, I would be grateful if each of you can
22 confirm back to me if you have received any plans or
23 proposals from Mr. O'Brien to address the issues
24 outlined in the attached letter questioned."

15:34

25
26 He goes on to say he was asking all four of you because
27 of the recent change in the occupiers of the various
28 Assistant Medical Director and Associate Medical
29 Director roles. He said:

15:34

1
2 "I would be grateful if you could respond to this
3 email, even if you have not received any plans or
4 proposals."

5
6 what did you take this email to mean? Did you think
7 the Medical Director; what did you make of the Medical
8 Director's interest of this at this time?

9 A. Well, this came three weeks after my one-to-one with
10 the Medical Director. Now, the email to
11 Martina Corrigan on 9 September came three weeks after
12 my one-to-one with the Medical Director. And then it
13 was on 17 August, I think, that Martina replied with
14 those figures. And then this came in from Simon. And
15 when you see "confidential," and when you see "given
16 the sensitivity of the subject", that would indicate
17 that we're looking at either MHPS or GMC or both.

18 466 Q. Did you reference there -- sorry, did you reference
19 there one-to-one with the Medical Director?

20 A. Uh-huh.

21 467 Q. When did that take place?

22 A. That was in July, 13th.

23 468 Q. Approximately a month has passed by the time you
24 receive -- over a month has passed by the time you
25 receive this email in that one-to-one?

26 A. Well it was three weeks after that that the Medical
27 Director contacted Martina, then Martina sent an email
28 about nine days after that.

29 469 Q. If we can have a look at your response, please. If you

1 scroll back up, you say:

2
3 "Dear Simon. As you know, I came into this midstream.
4 I have received no communication from Mr. O'Brien on
5 this topic."

15:36

6
7 You were asked had Mr. O'Brien provided a plan. You
8 said you hadn't received it. You don't indicate to
9 Mr. Gibson, who is the Assistant Director in the
10 Medical Director's Office that you and Mr. Weir have
11 been discussing this very issue the week before, on the
12 18th, the Thursday before even, and perhaps were
13 starting to formulate your own plan for addressing this
14 issue. Why would you not have indicated that to
15 Mr. Gibson?

15:36

16 A. He didn't ask.

17 470 Q. I can fully see that he didn't ask, but the email is
18 marked "confidential AOB". As you just indicated,
19 perhaps indicates that the Medical Director is
20 considering their options. Should you at this stage
21 have flagged that, hold on, Mr. Weir and I have
22 discussed this, we think we can work with Mr. O'Brien?
23 Did that thought ever cross your mind to flag this to
24 Mr. Gibson?

15:36

25 A. No.

15:37

26 471 Q. On reflection, do you think you probably should have
27 flagged that to Mr. Gibson?

28 A. If he had asked, I would have answered. He didn't ask,
29 'do you have any plans'?

1 472 Q. I fully appreciate that you answered the question which
2 was asked, but do you think, on reflection, you could
3 have been slightly more open about your understanding
4 of the issues and what it might take to sort them?
5 A. Well, I think there was a lot going on and he asked me 15:37
6 a direct question, I gave him a direct answer.
7 473 Q. If we could look then, please, at WIT-14885. For your
8 hard copy, Dr. McAllister, it's at page 48. Please go
9 down. This is an email you sent to Mr. Weir on 23
10 August, so it's the day after Mr. Gibson has contacted 15:38
11 you. You say:
12
13 "Strictly in Confidence. Hi Mr. Weir, please see
14 below. This has come to light subsequent to our
15 discussion on this subject last Thursday. It appears 15:38
16 that the boat is missed. I know that you are on leave
17 this week and I'm off for the following two, so won't
18 get a chance to meet/discuss. Please hold off on
19 attempting to address this issue until the dust settles
20 on the process below". 15:38
21
22 So the next day your attempts to manage Mr. O'Brien or
23 proposals to manage Mr. O'Brien because you email
24 Mr. Weir about it?
25 A. Uh-huh. 15:38
26 474 Q. You never once considered letting Mr. Gibson in on
27 this?
28 A. No.
29 475 Q. Is it necessary because the Medical Director is looking

1 at something, does that mean that you as an Associate
2 Medical Director, Mr. Weir as a Clinical Director, does
3 that mean you just can't go anywhere near it?

4 A. It's been a process taken on by the Medical Director
5 and his agent. Mr. Weir was away. I was going to be 15:39
6 away very shortly. There wasn't a lot of opportunity
7 to get involved.

8 476 Q. Again, on reflection, should you have at this stage --
9 I know you said you were going to get away, but should
10 you have perhaps tried to engage with Mr. O'Brien 15:39
11 before the Medical Director gets involved and however
12 serious that might become?

13 A. In hindsight, yes, that may have helped the situation
14 temporarily, but it would have come back again.

15 477 Q. If we just complete the email chain by scrolling up. 15:40
16 On 30th August 2016 Mr. Weir responds: Okay, got it.
17 He has clearly got the message. He was off for a week,
18 then above you say:
19

20 "Thanks. V disappointing. This is not the direction 15:40
21 of travel I wanted for many reasons."
22 Could you outline what those reasons were?

23 A. I think we hadn't been given a chance to come up with
24 a strategy for effectively dealing with Mr. O'Brien's
25 issues on an ongoing basis. 15:40

26 478 Q. You considered the intervention from the Medical
27 Director to mean that you'd lost that chance?

28 A. I thought that was likely.

29 479 Q. You never picked up the phone to Dr. Wright and said:

1 Hold on a second here, Colin and I might have a plan.

2 A. No.

3 480 Q. If you had have done that, do you think Dr. Wright

4 would have been receptive?

5 A. I couldn't say. 15:41

6 481 Q. Could we get on the screen, please, TRU-274370? This

7 is a slightly discrete issue this time. Sorry, it is

8 274730. What is coming on the screen is an email

9 chain with regards to a patient. While the patient's

10 name is on the screen I would be grateful if you could 15:42

11 refer to them as Patient 93 for the purposes of this

12 discussion.

13

14 Scroll down to the bottom. This is an email from Mark

15 Haynes to Martina Corrigan at this stage about Patient 15:42

16 93.

17

18 "The story here is raised PSA referred by GP on 4th

19 May. GP referral is routine. Not returned from triage,

20 so on well is routine. If had been triaged would have 15:42

21 been RF upgrade. PSA 34 and 30 on repeat. Saw

22 Mr. Weir for leg pain and CT showed metastatic disease

23 and prostate primary. Referred to us and seen

24 yesterday. As a result of no triage delay in treatment

25 of 3.5 months. Mr. Haynes's view is that it wouldn't 15:43

26 change the outcome and queried if it should be called

27 an SAI."

28 Do you have any recollection?

29 A. I do.

1 482 Q. Scroll up to the top of this page. Mr. Carroll emails
2 you, Dr. McAllister:
3
4 "Charlie, please can you read the series of emails.
5 Suffice to say that although the outcome for the 15:43
6 patient would not be any different, this, as you know,
7 is not the issue that needs to be dealt with."
8
9 what do you consider to be the issue to be dealt with
10 here? 15:43
11 A. The lack of triage.
12 483 Q. This is 31st August. This is again at a time perhaps
13 two weeks after you met Mr. Weir to discuss a plan to
14 discuss this type of issues?
15 A. Mm-hmm. 15:43
16 484 Q. Did the penny drop in your mind that this is, in fact,
17 the same issue. This is a Mr. O'Brien issue and this
18 is the logical outworkings of this triage problem?
19 A. Correct.
20 485 Q. Before we move on. On receipt of this correspondence 15:44
21 here did you suddenly think, 'gosh, we need to take
22 action here against Mr. O'Brien or get this addressed'?
23 A. To take action against him?
24 486 Q. To get this addressed is perhaps a...
25 A. I thought that we should gather the information from 15:44
26 Mr. Young, that we should gather the information from
27 Mr. Weir and get the facts, get their perspective on
28 it.
29 487 Q. Sorry, I didn't mean to cut across you. If we do

1 scroll up, that is what your email back to Mr. Carroll
2 says on 31st August.
3
4 "My thoughts we should go to Mr. Young, Mr. Weir
5 second, then happy to become involved." 15:44
6 A. Yes. I was happy to become involved.
7 488 Q. So far as you're aware, what happened to Patient 93?
8 Did this come back across your desk? Did you receive
9 any more correspondence about this?
10 A. This was an important case for several reasons. There 15:44
11 was an issue with the system around triage and although
12 it strictly may not have been an SAI, I was keen that
13 this should be investigated.
14 489 Q. Was this investigated further?
15 A. The problem is I was actually in Moscow when that email 15:45
16 was sent. I was away for two weeks and when I came
17 back that would have been the week beginning 12th
18 September, then we were overtaken by subsequent issues.
19 490 Q. Perhaps at this stage there's a distinction to be made
20 between what might be called the concerns or the issues 15:45
21 about Mr. O'Brien and this specific Patient 93. Whose
22 call was it to declare this as an SAI?
23 A. That would have been a joint decision. Well, anybody
24 can ask for an SAI. That would probably be a joint
25 decision between Ronan Carroll and myself. 15:46
26 491 Q. Do you recall ever having a discussion with Ronan
27 Carroll about whether this should be declared an SAI?
28 A. It never came back.
29 492 Q. The last you hear of Patient 93 then is on 31st August

1 you recommend it goes to Young, and then Mr. Weir, and
2 you never received any correspondence back?

3 A. No, not that I recall. I'm sure you're going to put up
4 an email, but I don't recall any further correspondence
5 on that. 15:46

6 493 Q. Believe it or not I'm about to put up an email. But
7 not having heard any response from Mr. Young or
8 Mr. Weir, having sent them off on 31st August to look
9 into this, is it not incumbent on you as an Associate
10 Medical Director to follow up and make sure this 15:46
11 patient is going into the appropriate process if they
12 need to?

13 A. This is 31st August. I declared that I was happy to
14 become involved. I thought this would be a useful and
15 productive exercise. As I said, I was away on leave. 15:47
16 I didn't come back until the 12th. The 12th is my day
17 all day in ICU after being away, so you're kind of
18 somewhat occupied. Tuesday is my day all day with
19 Mr. Mackle, and that's definitely a stretch. So there
20 was a lot going on. Then there was the issue of the 15:47
21 Oversight Committee, and that tended to be a bigger
22 distraction than this. It would normally be Ronan
23 Carroll who would have followed up on this and would
24 have brought it to my attention, reminded me of it
25 again, and would normally have brought the notes with 15:48
26 me. Normally we would go over the notes and get all
27 the information before going off half cocked.

28 494 Q. Just so I'm clear, we're still in the context of
29 Patient 93. You would have expected perhaps Ronan

1 Carroll to have brought it back to your attention or
 2 make sure an appropriate decision was made?

3 A. Yes, he was the admin person. Well, he was the one
 4 brought it to my attention.

5 495 Q. You referred there being off until 12th September and 15:48
 6 then also to the Oversight Committee of 13th September.
 7 Perhaps that's an appropriate place to have a look. If
 8 we could get up TRU-00026, please. Minutes of an
 9 Oversight Committee on 13th September, attended by
 10 Mrs. Gishkori, Mrs. Toal, Dr. Wright, Mr. Gibson and 15:49
 11 Mr. Clegg. Were you aware this meeting was about to
 12 take place?

13 A. No.

14 496 Q. When did you become aware this meeting had taken place?

15 A. When Ester Gishkori told me. 15:49

16 497 Q. When was that?

17 A. Either the day of it or the day following.

18 498 Q. Perhaps while we're here, if we have a look at what was
 19 agreed at that meeting. Mr. Gibson is to draft
 20 a letter for Mr. Weir and Mr. Carroll to present to 15:49
 21 Mr. O'Brien. The meeting will take place week
 22 commencing 19th September. The letter should inform
 23 Mr. O'Brien of the Trust's intention to proceed with an
 24 informal investigation under MHPS at this time, which
 25 include action plans with a four week timescale to 15:49
 26 address the four main areas of his practice.
 27 Mrs. Gishkori is to go through the letter with
 28 Mr. Weir, Mr. Carroll and Mr. Gibson prior to the
 29 meeting with O'Brien, and Mr. O'Brien should be

1 informed a formal investigation may be commenced if
2 sufficient progress is not being made.

3
4 This meeting you had with Mrs. Gishkori, was that one
5 of your monthly meetings with the Acute Director?

15:50

6 A. I would have thought so.

7 499 Q. Was anyone else present at that meeting?

8 A. I can't say.

9 500 Q. I think just, if we try and have a look. It's
10 TRU-257656. You say:

15:51

11
12 "Hi, Confidential AOB, further to our meeting today
13 there's only one communication that I have received on
14 this subject."

15
16 This meeting with Mrs. Gishkori appears to have taken
17 place today, 14th September 2016?

15:51

18 A. Wednesday, yes.

19 501 Q. Which would have been the day after that Oversight
20 Committee meeting. This appears to be a relevantly
21 significant email in the grand scheme of things

15:51

22 because, as we discussed there, there's quite a clear
23 agreed plan by the Oversight Committee meeting on 13th
24 September. At this meeting on 14th September there
25 appears to be some type of change of course agreed
26 whereby you and Mr. Weir are to be given the
27 opportunity to tackle the issues?

15:51

28 A. Mm-hmm.

29 502 Q. What can you recall was discussed at that meeting?

- 1 A. My recollection is that Esther said that the Director
2 was going to go for a formal investigation and was
3 planning to suspend Mr. O'Brien.
- 4 503 Q. We have just seen on the screens there, I took you
5 through the various bullet points, you can see having 15:52
6 read the minutes of 13th September, at that stage there
7 was no envisaged formal investigation or intention to
8 suspend Mr. O'Brien. Having read that, can you see
9 that?
- 10 A. Well, can we just go back to that one? 15:52
- 11 504 Q. Yes, of course. It is TRU-00026. You're saying
12 Mrs. Gishkori came in to the meeting and said that
13 there was an intention to start a formal process and
14 the Medical Director wanted to suspend Mr. O'Brien, is
15 that right? I haven't misquoted you there? 15:52
- 16 A. No, that's what she said.
- 17 505 Q. These are the minutes of the meeting or the action
18 points, perhaps. Simon Gibson is to draft a letter.
19 The meeting with Mr. O'Brien should take place next
20 week. The letter should inform Mr. O'Brien of 15:52
21 The Trust's intention to proceed with an informal
22 investigation under MHPS at this time. The final
23 bullet point there refers to potential for a formal
24 investigation?
- 25 A. Yes. 15:53
- 26 506 Q. Were any of those points communicated to you by
27 Mrs. Gishkori at that meeting?
- 28 A. No.
- 29 507 Q. And you're certain she told you that the Medical

1 Director wanted a formal investigation?

2 A. Was planning a formal investigation.

3 508 Q. Planning. You are certain she also mentioned that the

4 Medical Director was keen to suspend Mr. O'Brien?

5 A. Correct. 15:53

6 509 Q. How did you react to that?

7 A. I was amazed. If you actually go back to the figures

8 that Martina sent, you said there wasn't much of a

9 change in the triage figures. They were actually

10 a 31 percent reduction, which, considering there's 175 15:53

11 triages coming in a week, I mean I know 31 percent is

12 not perfect over six months, but for Mr. O'Brien that

13 was a significant improvement. As regards the review

14 patients, this was a complete red herring.

15 510 Q. Maybe perhaps we'll come back to the issue of the 15:54

16 review backlog in a couple of minutes, what I really

17 want to understand is what went on at this meeting on

18 14 September. Of so Mrs. Gishkori, who was at the

19 oversight committee on the 13th, would have been part

20 of the group of people who agreed to these five bullet 15:54

21 points, you say, came into that meeting and in effect

22 came up with a very different version of events to

23 what's on that screen right now?

24 A. Correct.

25 511 Q. On hearing this, then, you said you were shocked. How 15:54

26 did you respond to Mrs. Gishkori?

27 A. Well, there was a -- we had a discussion and I said

28 that Mr. Weir and I had discussed it before in August

29 and had a strategy that we were hoping to put together.

1 512 Q. How did Mrs. Gishkori respond to that?

2 A. She was keen.

3 513 Q. You say "she was keen". She, again, emphasises at that
4 Oversight Committee the fact that she was keen doesn't
5 get out of what was agreed from that. What was her 15:55
6 response? You say she was keen. Was she keen to go
7 with you? Did she mention what impact that would have
8 on the agreement with the Medical Director?

9 A. No, she didn't. That was her problem.

10 514 Q. When you say "she was keen", what exactly did she say 15:55
11 to you after you told her that you and Mr. Weir were
12 keen to be given a crack to resolve this?

13 A. She said that we should look into coming up with
14 a plan.

15 515 Q. From memory, how long did this meeting last? 15:56
16 A. It's six years ago, you're asking me how long a meeting
17 was.

18 516 Q. I'm asking if you can remember it?

19 A. No.

20 517 Q. Can you remember, I know you aren't certain if 15:56
21 Mr. Carroll was there, but can you remember if
22 Mr. Carroll had any input into this discussion?

23 A. I don't remember.

24 518 Q. Walking out the door of that meeting, what did
25 you understand was to happen? 15:56
26 A. That Esther was going to speak with the Medical
27 Director or communicate with the Medical Director.

28 519 Q. If we have a look at Mrs. Gishkori's communication to
29 the Medical Director, which I think can be found at

1 AOB-01053, please. I think this is at page 172 of your
2 core bundle, if you are looking for a hard copy. It's
3 not the best copy on the screens here. Have you a copy
4 of that in front of you, Dr. McAllister?

5 A. Yes.

15:57

6 520 Q. If we start with Mrs. Gishkori's email to Dr. Wright
7 and Mrs. Toal:

8
9 "Following our Oversight Committee on 13th September
10 I had a meeting with Charlie McAllister and Ronan
11 Carroll".

15:57

12 She seems to think Mr. Carroll was there. I appreciate
13 you can't recall.

14 "I mentioned this case that was brought to the
15 Oversight meeting in relation to Mr O'Brien and the
16 plan of action. Actually Charlie and Colin Weir
17 already have plans to deal with the urology backlog in
18 general and Mr O'Brien's performance was, of course,
19 part of that. Now they both work locally with him they
20 have plenty of ideas to try out, and since they are
21 both relatively new in the post I would like to try
22 their strategy first."

15:57

15:57

23
24 Does that largely accord with what you would have told
25 Mrs. Gishkori on 14th September?

15:58

26 She says: I am therefore respectfully requesting that
27 the local team be given three more calendar months to
28 resolve the issues raised in relation to Mr O'Brien's
29 performance".

1
2 where did the suggestion that three months were
3 required come from?
4 A. I can't say whether that was her or us.
5 521 Q. She then says: "I appreciate you highlighting the fact 15:58
6 that this long running issue has not yet been resolved.
7 However, given the trust and respect that Mr. O'Brien
8 has won over the years, not to mention his life-long
9 commitment to the Urology Service which he built up
10 single-handedly, I would like to give my team the 15:58
11 chance to resolve this in context and for good."
12
13 would you have impressed on Mrs. Gishkori at that
14 meeting that Mr. O'Brien had built up urology single
15 handedly? 15:59
16 A. No.
17 522 Q. If we have a look at WIT-23372, which is a response to
18 a Section 21 notices compiled by Mrs. Gishkori.
19
20 The paragraph there, Mrs. Gishkori says: "I did not 15:59
21 know Mr. O'Brien at all nor did I know his history in
22 the Southern Trust. However, Mr. Mackle and Heather
23 Trouton did know him well".
24
25 In response to the Inquiry's questions she was telling 16:00
26 us that she was largely unaware of Mr. O'Brien. Does
27 the suggestion that he built up the urology services
28 single handedly, did that come from you?
29 A. I can't say. I don't see -- I can't say. I wouldn't

1 have thought so, but I can't say whether it is or not.

2 523 Q. I am not just going to ask you in this context, if
3 we refer to WIT-14872. This is paragraph 12.13 of your
4 witness statement. In your response to this Inquiry
5 you use that kind of language, pain staking narrowly 16:01
6 focused is what enabled him to single handedly set up
7 the urology service. That is the turn of phrase you
8 have used there. It also appears at AOB-50009, which
9 is the reference we discussed at the start of today's
10 hearing. The language appears similar to the language 16:01
11 you might use. Did you, when discussing these issues
12 with Mrs. Gishkori, make it perfectly clear to her the
13 esteem with which you held Mr O'Brien in and the amount
14 of effort you perceived he put into establish the
15 Trust's urology services? 16:01

16 A. I can't say.

17 524 Q. Is there any suggestion here that perhaps while
18 Mrs. Gishkori might have caught the wrong end of the
19 stick or misrepresented in some way what was agreed at
20 the Oversight Committee, you provided a different view 16:01
21 based on your understanding of all that Mr. O'Brien had
22 contributed to the Trust. Could that have happened
23 here?

24 A. No.

25 525 Q. You're certain? 16:02

26 A. 100%.

27 526 Q. If we can go back to -- and I know we have gone back a
28 fair amount to this page -- AOB-01053. I think if, in
29 fairness, perhaps, we could just briefly turn back to

1 that subtract from Mrs. Gishkori for a point I will
2 just clarify. It appears she was talking about her
3 knowledge at a slightly earlier time. It might have
4 been February or March as opposed to in September but
5 I think the point remains that she didn't know
6 Mr. O'Brien particularly well. In response to this
7 email we just discussed from Mrs. Gishkori, Dr. Wright
8 comes back:

16:03

9
10 "As Director of the Service naturally we have to listen
11 to your opinion. Before I consider conceding to any
12 delay in moving forward with what was agreed with our
13 agreed position after the oversight meeting I would
14 need to see what plans are in place to deal with the
15 issues and understand how progress would be monitored
16 over a three-month period."

16:03

17
18 Rather reluctantly it seems Dr. Wright is giving you
19 and Mr. Weir to deal with these locally. Do you accept
20 that?

16:03

21 A. Mm-hmm.

22 527 Q. If we go up further, there is an email from Mrs.
23 Gishkori to yourself, Mr. Weir and Mr. Carroll. And my
24 response will be. What your response?

25 A. The response was Mr. Weir's plan which was then
26 annotated by Ronan Carroll.

16:04

27 528 Q. If we have a look at that plan. TRU-357640, please.
28 Just back to 257641, please. On 16th September then
29 Mr. Weir emails you: "These are my initial thoughts".

1 If we scroll down he produces an 8-point plan. Did you
2 have any role in creating that 8-point plan?

3 A. No. Well, I asked Mr. Weir to do it.

4 529 Q. When exactly did you ask Mr. Weir to produce this?

5 A. I can't say. 16:05

6 530 Q. Was it further or following on from those emails we
7 were just discussing from the Medical Director?

8 A. I never saw that email from the Medical Director.

9 531 Q. It was copied to you by Mrs. Gishkori and she said FYI,
10 and my response will be? 16:05

11 A. No, sorry, that's quite right. It was following on
12 Esther's, and "my response will be."

13 532 Q. Looking at this 8-point plan, would it be fair to say
14 it is relatively high level?

15 A. Yes, it's lacking detail. 16:05

16 533 Q. For example, point 2 to implement a clear plan to clear
17 triage backlog. That's effectively the plan is we're
18 going to make a plan?

19 A. Mr. Weir hadn't come up with -- if there wasn't an
20 alternative it would revert to stepping out or aside 16:06
21 from theatre.

22 534 Q. You respond to this -- go up, please. This is on 21st
23 September, so a couple days ad passed:

24

25 "Apart from the fact that you spelt my name wrong this 16:06
26 is absolutely excellent and I agree completely. It
27 would be important to do this in a positive,
28 constructive supportive role and that Mr. O'Brien would
29 be aware of this. I think this approach would have the

1 best chance to achieve this and for approving the
2 current"?

3 A. Can you just scroll back down again? See it says
4 here -- sorry a bit more. These are my initial
5 thoughts. So it was an evolution. It wasn't a fixed 16:06
6 concept.

7 535 Q. Did you raise with Mr. Weir the plan was perhaps
8 lacking in a bit of detail? You say it was "absolutely
9 excellent"?

10 A. The important thing was to get the process going and 16:07
11 then modify it as we went along.

12 536 Q. If we keep scrolling up, please. I think, as you said,
13 whenever we started discussing this, Mr. Carroll
14 provides some comments on 22nd September. I'm not
15 entirely sure the detail is important for present 16:07
16 purposes. From 22nd September Mr. Weir and yourself
17 have a plan. It's got, albeit reluctant, it's got the
18 backing of the Medical Director to go ahead with it.
19 It has Mrs. Gishkori, whose the Acute Director, again
20 very supportive. Was this plan ever actioned with 16:07
21 Mr. O'Brien?

22 A. No.

23 537 Q. Why not?

24 A. Because at the end of September I was involved in
25 a completely separate imbroglio and I was distracted 16:07
26 with that and, without me, things went a different
27 direction.

28 538 Q. So this ultimately, the process, the issue you have
29 just referred to, it ultimately ends up with you having

1 to leave your role as Associate Medical Director
2 in October '16, is that right?

3 A. I think it was October 13th.

4 539 Q. 13 October 2016. So from 22 September, whenever this
5 plan is good to go, do you take any steps to action it? 16:08

6 A. No, I was distracted elsewhere.

7 540 Q. The first step of this plan of Mr. Weir, he says
8 initially:
9

10 "I initially have a series of face-to-face meetings 16:08
11 with Mr. O'Brien and aim to have resolution or a plan
12 for resolution in the next three months, this is by
13 mid-December. I propose the first meeting will involve
14 you, me and Mr. O'Brien."
15

16 Were there any attempts to set up that meeting? 16:08

17 A. Not that I was aware of.

18 541 Q. Were you aware of any attempt -- did Mr. Weir ever
19 contact you in any capacity about this?

20 A. No. 16:09

21 542 Q. Did he raise it at your next Clinical Director and AMD
22 meeting?

23 A. Not that I remember.

24 543 Q. So it seems as if this plan, which at this stage seems
25 to have the backing of most of the hierarchy of The 16:09
26 Trust just, in effect, withers, is that fair, is that
27 what happened?

28 A. I think Mr. Weir would have been unlikely to go ahead
29 without my support.

1 544 Q. And why do you say that?
2 A. Mr. Weir was -- he would have been reticent.
3 545 Q. You did make it clear in your response to Mr. Weir you
4 thought his plan was absolutely excellent. Should he
5 not have been encouraged by your positive endorsement 16:09
6 of these proposals?
7 A. I hope he was. That was my intention.
8 546 Q. And yet, it still doesn't appear that Mr. O'Brien was
9 ever met or communicated with?
10 A. I was keen that Mr. Weir would take responsibility and 16:09
11 go forward with this on an ongoing basis. Whatever
12 happened, I wasn't going to be there after April.
13 547 Q. Then rather unexpectedly you end up leaving your role
14 as Associate Medical Director in October 2016. Had you
15 had any further engagement with Mr. O'Brien or the MHPS 16:10
16 process after that date?
17 A. No, apart from Amy Crilly in Tughans emailed me asking
18 for a testimonial this for Mr. O'Brien in around
19 December '20.
20 548 Q. And that's the reference that we discussed? 16:10
21 A. It was for the GMC. Then a year later she emailed me
22 again asking for my permission, well, would it be okay
23 if they use the reference for this Inquiry.
24 549 Q. Just so we're clear, that is the reference we have had
25 on the screen a couple of times which we discussed 16:10
26 earlier?
27 A. Correct.
28 550 Q. I don't want you to give away any personal material,
29 but it appears as if your case was discussed in the

1 Oversight Committee in October 2016, and yourself might
2 have some involvement with an MHPS process from
3 a slightly different angle. I don't want to go into
4 the specifics, I don't think it is relevant to our
5 Terms of Reference.

16:11

6
7 But this Inquiry's Terms of Reference ask us to look at
8 the MHPS framework and see if there's any issues. As
9 a person who has been on the other side of the fence,
10 and been investigated under the framework, how did
11 you find the kind of doctor experience in the process?

16:11

12 A. It was certainly stressful.

13 551 Q. Do you think that was the way that your specific
14 process was conducted, or the way the process is set
15 up?

16:11

16 A. I think probably both.

17 552 Q. Having had a foot in both camps to a certain extent,
18 what changes could be made to MHPS to make it work
19 better? I'm mindful it's ten-past-four, so...

20 A. I think, and I put it in my Section 21, that the
21 informal approach should be used much more often with
22 a much clearer structure at the early stage with the
23 view that -- which is in the policy, which isn't
24 followed -- of getting engagement from the individual
25 and having an agreed process going forward. Although
26 you didn't reference it, it's interesting that NCAS
27 followed exactly the same suggestions that I did. They
28 suggested a positive engagement with Mr. O'Brien,
29 getting an agreed plan going forward, and relieved of

16:12

16:12

1 his duties, including theatres, until he was able to
2 catch up.

3 553 Q. That's the NCAS advice on 13 September 2016 that you're
4 referring to?

5 A. Which I hadn't seen until this Inquiry, I think. 16:13

6 554 Q. Just one or two points almost to finish.

7 A. Can I just go back to one point?

8 555 Q. Yes, of course.

9 A. I did listen to Mr. Weir and he said that somebody from
10 outside should be involved, but there's the 16:13
11 availability of somebody outside, NCAS will sit in on
12 any meetings if you wish.

13 556 Q. So perhaps then, as opposed to a fundamental reform,
14 you're saying perhaps a better use of the services
15 which are already there? 16:13

16 A. Well I think blaming the process is like blaming the
17 patient when it doesn't go well. If you don't use the
18 process and follow the steps recommended in the process
19 with all the safeguards, it's hard to blame the
20 process. The process, looking through all this 16:14
21 documentation, was not followed appropriately in this
22 case.

23 557 Q. On the utilisation of the informal stages of MHPS, you
24 know, today we have discussed your various engagement,
25 you became aware of these concerns in April '16. You 16:14
26 sent an email to the Medical Director in May '16. You
27 met with Mr. Weir in June '16. There were further
28 discussions taking place in August '16. There were
29 further discussion again with the backing of the

1 Medical Director and Mrs. Gishkori in September 2016.
2 ultimately, throughout your entire tenure as Associate
3 Medical Director, Mr. O'Brien is never once engaged
4 with informally. Why was that the case?

5 A. Because that had been done multiple times previously 16:14
6 and it hadn't worked. What I wanted to do was -- I was
7 only going to be there -- this was not a life job,
8 I was going to be there for a year or less. Dr. Wright
9 announced in May that the jobs were going to be -- all
10 the MD posts were going to be advertised and 16:15
11 re-interviewed. So it was only going to be a short
12 period. There was no sense of we had to sort this out
13 this month or next month.

14
15 Between the meeting with Dr. Wright and handing the 16:15
16 letter to Mr. O'Brien was three-and-a-half months.
17 There wasn't a sense of a Doomsday clock ticking here.
18 My concern was to put something in place that would be
19 lasting.

20 558 Q. But, ultimately by the end of your tenure, nothing was 16:15
21 in place, do you accept that?

22 A. Correct. So in the six months I was there, it was not
23 sorted.

24 559 Q. I'll ask you one last time to offer any further
25 reflections you have on why that was the case, what 16:15
26 stopped that work taking place?

27 A. Well, I've tried to say that I was trying to get all
28 the various parts into place so that there would be
29 a sustained system put in place to ensure that this

1 wasn't a recurring theme which had been going back for
2 many years.

3 560 Q. Was there anything stopping you trying to put that
4 system in place during your time as Associate Medical
5 Director? 16:16

6 A. Well I needed a Clinical Director, I needed engagement
7 from the Clinical Director with Mr. O'Brien, and
8 I needed him to take ownership of it and go forward,
9 which I was fully supportive of.

10 561 Q. Were all those conditions not in place by 16 September 16:16
11 2016, whenever Mr. Weir produces his plan?

12 A. Yep!

13 562 Q. Yet Mr. O'Brien still wasn't spoken to or met with to
14 address these issues?

15 A. As I say, by 23 September, I was involved in something 16:16
16 else and my focus was not on that.

17 563 Q. I do promise you this is the last question. I think
18 I've given you a few false dawns. You didn't end up
19 giving evidence to Dr. Chada's --

20 A. Yes, I noticed that. 16:17

21 564 Q. We have noticed that too. Is there any particular
22 reason why you didn't give evidence to Dr. Chada?

23 A. Well you would need to ask them. I would expect that
24 they would give the reason that I was on sick leave,
25 however, I wasn't on sick leave for 17 months, and 16:17
26 I wasn't asked. I would presume they didn't want to
27 hear what I had to say.

28 565 Q. No doubt the Inquiry Panel will pick that up with
29 Dr. Chada when we hear from her. Madam Chair, I have

1 no further questions, thank you.

2 CHAIR: Thank you Mr. Beech. I'm sorry we can't
3 release you just yet. We have some questions for you
4 ourselves, Dr. McAllister.

5
6 DR. McALLISTER WAS QUESTIONED BY THE INQUIRY AS
7 FOLLOWS:
8

16:17

9 566 Q. CHAIR: One of the first things you say in your
10 statement to us was you talked, and Mr. Beech drew this
11 to your attention, about the tsunami of policies and
12 protocols that were produced by the Department between
13 2005 and 2016. I just wondered what time, as a busy
14 clinician, you would have had to read, assimilate those
15 policies and protocols?

16:18

16 A. You wouldn't.

17 567 Q. You wouldn't, and would all those policies and
18 protocols -- well, would any of them have training
19 attached? I mean you don't recall the training you had
20 in MHPS, but you do remember there was some now?

16:18

21 A. I think, and I said it in my statement, I think that
22 for something as fundamental as MHPS and the Trust
23 Guidelines, just to fire out guidelines and maybe to
24 train one or two people misses the whole point.

25
26 It is important that every permanent medical employee
27 is aware of the guidelines, aware of the process, and
28 gets training in it so they understand what they are
29 facing into if they are subject to either informal or

16:19

1 formal, what their rights are and what the correct
2 process should be.

3 568 Q. In terms of how that could be achieved?

4 A. well, there's mandatory training. Every year we had
5 fire training, every year. And the fires didn't change 16:19
6 from year to year. Every year we had infection control
7 training and, again, that didn't change from year to
8 year. But something as fundamental as this I think it
9 should be provided to all new starts within their first
10 year and then it should be renewed at least every three 16:20
11 year. I think it should be mandatory. This is their
12 employment. It is expected of them. How they should
13 behave. I think it's important.

14 569 Q. In terms of a more specific point about the removal of
15 Aidan O'Brien from his operating list, or removing the 16:20
16 operating list from him, why did you think that would
17 work?

18 A. Because it would give him time, because it would give
19 him motivation.

20 570 Q. When you say it would give him motivation, was that 16:20
21 because of your personal experience that he actually
22 enjoyed operating on patients or --

23 A. Surgeons are not like normal people. Everything they
24 do is geared to supporting their lists in theatre. All
25 the outpatients, all the letters, all the ward rounds, 16:21
26 all the pre-op and the follow-up, that is all for that
27 half-day, day in theatre. It is their raison d'être,
28 and that's what they -- I'm sure the adviser would
29 agree with that. Otherwise, why would you become

1 a surgeon?

2 571 Q. Well I'm sure there are many people that can certainly
3 answer that question. I'll certainly ask Mr. Hanbury
4 afterwards. So you felt this was a good way of getting
5 him, perhaps, to change his ways on a more permanent 16:21
6 basis than had been previously tried?

7 A. It was one part of it. Mr. O'Brien was 62 at this
8 stage. He was still seeing new patients. The obvious
9 thing was to stop that and just do the reviews. He
10 had, theoretically a very long list of review patients. 16:21
11 Yes, but he had been there for 24 years, so of course
12 he had a lot of review patients. The three consultants
13 that were there in 2012, 2013, they had not built
14 up the body. Mr. O'Brien's review patient backlog was
15 no different from Mr. Young's, but Mr. Young had been 16:22
16 there six years less, so his review patients weren't
17 the issue. The problem was, there wasn't capacity.
18 But for Mr. O'Brien to go on seeing new patients at 62,
19 in my mind, there's no logic to it. You want the new
20 patients to go to the young guys so that they get 16:22
21 follow-up over a longer period of time. You don't want
22 to change surgical horse mid-stream.

23 572 Q. You seem to be expressing a view that you didn't seem
24 to express from the information we have been shown this
25 afternoon. For example, when Mr. Weir came along with 16:22
26 his plan, you weren't saying: why not take away all
27 the new patients? You weren't adding to that?

28 A. No. The important thing was to get Mr. Weir onboard
29 and take ownership of it. Then you can add and modify

1 it as you go along. I was also planning to do a Paddy
 2 Loughran and ask Zoë Parks to become involved.

3 573 Q. Zoë Parks is HR?

4 A. Yes. Zoë Parks is really excellent. I had done some
 5 work with her before. She has always been helpful. 16:23
 6 That would give some intestinal fortitude to Mr. Weir
 7 going forward. She is non-threatening, very calming,
 8 and she would have been a real asset.

9 574 Q. I'm just curious, because I am listening to what you
 10 are saying, Mr. McAllister, and it is quite clear that 16:23
 11 you did have, in your head, a plan as to how to address
 12 these issues. I just wonder how much of that you
 13 shared with Mr. Weir, or did you just ask him to do
 14 this by himself?

15 A. Mr. Weir was a reluctant bride. He had kept on his AMD 16:24
 16 role in Education. He wasn't all-in on the CD. He was
 17 dipping his toe in. I was conscious that I didn't want
 18 him to be so perturbed that he wouldn't continue going
 19 forward.

20 575 Q. Might I suggest that by putting it on to his shoulders, 16:24
 21 as it were, had a counterproductive?

22 A. I'm not asking him to do an Inquiry. I'm not asking
 23 him to do what he had been through before. I was
 24 asking him to be supportive, constructive and to
 25 provide follow up with add-ons from -- I was more than 16:24
 26 happy to provide all the support I could give but
 27 I wanted a successful result.

28 576 Q. Forgive me maybe I'm misunderstanding this, but it
 29 seems to me that if you wanted a successful result and

you had a plan of how to achieve that successful result, then it was incumbent on you to communicate that to the person you were asking to deliver that result?

A. The important thing was to start the process. There was an urgency here. We were given three months. The important thing was to get it going and off the ground rather than coming up with the perfect plan that everyone could agree on beforehand.

577 Q. You're saying there was an urgency, and we know that
this was a problem of longstanding, yet you seem to be
taking the same approach that had been taken all along
in trying to deal with this long standing issues,
dealing with them softly rather than trying to address
them in a whole?

A. No, no, I didn't say we would deal with it softly. I said we would deal with it constructively, positively and firmly. No theatre lists. If Mr. O'Brien refused to do that then, as far as I was concerned, that was straight to formal process. If that meant --

578 Q. Do you feel you communicated that clearly to Mr. Weir?

A. I can't say how firmly. Well, I did say he should be removed from theatre. For a surgeon that is as big a sanction as you can do.

579 Q. Yes.

A. Because then you have to do all the out patients, all the other bits but not the --

580 Q. The part you want to really be getting on with?

A. Yes.

1 581 Q. You say in your statement that you felt the Trust
2 underused the formal approach at an early stage. It
3 strikes me that the one thing they have done -- are you
4 saying by that the informal approach under MHPS?
5 Because it strikes me they had tried many, many 16:27
6 informal approaches to resolve this?

7 A. A structured approach under MHPS.

8 582 Q. We have seen that was what they were planning to do
9 after that Oversight Committee meeting in September.

10 A. That wasn't what was communicated to me. Also, if you 16:27
11 look at the emails, if you look at the Section 21s from
12 Ronan Carroll, he thought it was formal. If you look
13 at the Section 21 from Simon Gibson, he thought it was
14 formal. If you look at the minutes of the Oversight
15 Committee in December, the approved minutes, it was 16:27
16 described as formal.

17 583 Q. Yes. I think one of the things that may be said, and
18 I would be interested in your view on this, is that
19 people's understanding of MHPS, having an informal and
20 a formal element to it, is maybe not that clear. would 16:28
21 that be fair?

22 A. They should have. Those people in those positions.

23 584 Q. Yes. Thank you. I'm just curious, you talked earlier
24 this afternoon about the list, and we've seen the email
25 of all the difficulties that you had when you took on 16:28
26 this role of AMD, did Esther Gishkori, for example,
27 give you any steer as to which part of the elephant to
28 chew?

29 A. No.

- 1 585 Q. Did anybody ever give you any steers as to which part
2 of the elephant to chew?
- 3 A. No. Or a time scale that it was expected to be eaten
4 by.
- 5 586 Q. You clearly had worked to some extent with Mr. O'Brien 16:28
6 and it's clear that you thought highly of him, you were
7 asked to give a reference, and we've seen that. You
8 considered him to be a good surgeon. Were you then
9 surprised to learn about all of these issues relating
10 to his practice? 16:29
- 11 A. Yes. Until I took over as surgical I knew nothing
12 about this. You have to realise there was another
13 surgeon there who was a subject of restrictions within
14 the practice. He couldn't do open surgery. Well, he
15 tried to do open surgery, his post operative care, 16:29
16 I met him once and he gave me instructions about what
17 he wanted about the management of a patient in there
18 with renal failure. It was complete rubbish. Michael
19 Young came along afterwards and he asked me has the
20 Surgeon been in, I said yes, this is what he said. 16:29
21 Mr. Young said just forget that and do whatever you
22 think, and if he comes back again give me a call. This
23 was a surgeon who was not competent in this surgery.
- 24 587 Q. Yes, but I think the question I'm asking you is you
25 knew Mr. O'Brien to be a competent, indeed more than 16:30
26 competent surgeon and, therefore, what I'm asking you
27 is when you learned that there were all of these other
28 issues with his practice, in terms of the triage, in
29 terms of not dictating letters, in terms of keeping

1 files at home, I just wonder how shocked you were or
2 were you surprised?

3 A. I mentioned Mr. Young, Mr. Young is also an absolutely
4 outstanding surgeon. Mr. O'Brien is the slowest human
5 being I have ever seen. Everything, everything is 16:30
6 slow. Everything. So was I surprised when I heard?
7 It added up.

8 CHAIR: Thank you. I'm just checking my notes here to
9 make sure there's nothing else I want to ask you before
10 I hand you over to my colleagues. Yes, I think you've 16:31
11 answered the questions I had for you. Thank you very
12 much. Dr. Swart?

13 588 Q. DR. SWART: I'm particularly struck by your letter
14 about the 21 things you discovered in your first couple
15 of weeks as AMD that you wrote to the Medical Director 16:31
16 and others and the lack of response to that. When
17 you said there's no ineffective governance, basically,
18 what was it you were particularly thinking about? What
19 was the thing that shocked you the most or you thought
20 was the most important in that big long list? 16:31

21 A. What shocked me the most?

22 589 Q. Yes.

23 A. It would be hard to choose what shocked me the most.
24 It was the lack of overall structures for ensuring
25 practical and effective governance. 16:32

26 590 Q. For example, did you think there was any effective
27 mechanism for assuring Patient Safety, quality of
28 outcome, that kind of thing?

29 A. Sorry, Patient Safety?

- 1 591 Q. Patient Safety, clinical outcomes?
- 2 A. The clinical outcomes -- we were very fortunate that
- 3 the vast majority of surgeons were excellent. I never
- 4 saw any results from reported outcomes, but I certainly
- 5 saw all the complications of all the surgery because 16:32
- 6 they came to us. I wasn't aware of any trends that
- 7 were causing any concerns so that wasn't a major
- 8 concern of mine.
- 9 592 Q. What were you concerned about? What did people not
- 10 know? 16:33
- 11 A. Well, that's the problem. You didn't know what
- 12 you didn't know. That was the problem. If you don't
- 13 go looking for it you can't find it and you
- 14 can't find it and you don't know how you can improve
- 15 the situation if you can't measure it. 16:33
- 16 593 Q. I would say we haven't seen a lot of measurements of
- 17 things?
- 18 A. No.
- 19 594 Q. We haven't seen a structure of meetings whereby --
- 20 A. Correct. 16:33
- 21 595 Q. -- you go to a meeting, you have data to look at, you
- 22 don't have to wait for somebody to tell you a tale
- 23 because the data is telling you the tale. Would
- 24 you agree with that?
- 25 A. Yes. The triage system, this was changed from a normal 16:33
- 26 triage system to what they called an unofficial
- 27 switching of the triage system where, instead of being,
- 28 if they weren't triaged they would go on to the waiting
- 29 list. Also the patients who were triaged, if they went

1 up or down there was no audit of that to figure out the
 2 trends in that and to point out the GPs who were
 3 getting it wrong and feeding back to those GPs why it
 4 was wrong. For instance, that case of the prostate.
 5 It was obviously a red flag. How any GP could put that 16:34
 6 down as routine is extraordinary. So there's something
 7 wrong there. But did that GP ever get feedback? Do we
 8 have the figures on the numbers being regraded up or
 9 regraded down? There was none of that and there was no
 10 feedback of it. 16:34

11 596 Q. Do you think that was something confined to that
 12 section of the Trust or was this the case in other
 13 Directorates, as far as you know?

14 A. I think there were significant issues in Radiology.

15 597 Q. When you produced that list, which a very significant 16:34
 16 list, receiving that -- if I had been receiving that as
 17 a Medical Director, I would have thought perhaps some
 18 conversations needed to be had. You didn't have those
 19 conversations. What were your options in terms of doing
 20 something with your concerns, bearing in mind your 16:35
 21 duties as a medical manager and so on? Did you feel
 22 you had anywhere else to go with it?

23 A. No. I thought it was to do with it what I could.

24 I know this is a Urology Inquiry but, believe it or
 25 not, that back in June, July, August 2016, there were 16:35
 26 lots of other issues that could easily have ended up,
 27 certainly in Coroner's court if not other court or an
 28 Inquiry. It just so happens that we were lucky and
 29 we got urology instead of something else.

- 1 598 Q. I understand that. That's partly why I'm asking these
2 questions. You have picked something up which came
3 partly on the back of urology but there were other
4 things that you noticed. You go to the Medical
5 Director, you don't get an immediate meeting. You 16:36
6 don't get what you consider to be an open door. Where
7 else could you have taken it, you're not sure. Did you
8 feel there was any ongoing mentoring for this kind of
9 issue for Associate Medical Directors or any forum
10 where you could say, look, you know, I'm really 16:36
11 struggling with this, should we be doing something
12 different?
- 13 A. The forum for Associate Medical Directors was the AMD
14 meeting, which was every month. I think it was the
15 first, second Friday of the month, something like that. 16:36
16 Previously, up until February 2016, there was always an
17 agenda item for governance issues for the various
18 specialties. That went through John Simpson and Paddy
19 Loughran. That was the meat of the meeting. I had
20 intended to bring up the state of the nation email and 16:37
21 go through some of those issues at that meeting on
22 9th May. I hadn't been at the AMD meeting in April,
23 I was in London, and there wasn't one in March, and the
24 standing order on the agenda of governance issues for
25 AMDs had been removed. So there was no option to bring 16:37
26 it up at that section. That was the first time -- it
27 had, in fact, been removed in April, but I wasn't
28 wasn't at the April meeting, and it never appeared
29 again.

1 599 Q. Do you know why?

2 A. I can't say. That option of bringing it up and having
3 people in similar roles with similar problems of
4 discussing it was removed. That's all minuted, it's
5 all there. I don't know whether you have seen that,
6 but it is there. 16:38

7 600 Q. I looked at some of those meetings.

8 A. There was a distinct trend from 2015 right through to
9 September 2016 when it became, essentially, a useless
10 meeting. 16:38

11 601 Q. Something slightly different. There has been a lot of
12 mention of the Oversight Committee in the discussions
13 that we've had. What was your understanding as AMD of
14 the actual role, purpose, status, hour, of that
15 Committee? Was it something that everybody understood
16 well or? 16:38

17 A. No, not at all. It was basically -- it wasn't really
18 a Committee, it was the Medical Director.

19 602 Q. So it was -- how did you see it then? Can you give us
20 your view of how that operated? 16:38

21 A. The Medical Director -- this was a committee that
22 looked at Maintaining High Professional Standards, GMC
23 issues, and it was the Medical Director and it was the
24 HR. The HR role, as I understood it, my experience of
25 HR is they don't take responsibility. They give
26 advice, they give you options, and then you make the
27 decision, and then they ensure that due process is
28 followed, ostensibly so it is fair but really so there
29 is no chance of any comeback in any appeal or legal 16:39

1 process. Then there's a Director from whatever
2 division is involved. But these are medical issues so
3 the divisional director really has less of a call.

4 603 Q. So as Divisional Medical Directors it is my
5 understanding in looking at the minutes that there was 16:39
6 no attendance at these meetings even when it involved
7 something in your division; is that right?

8 A. You mean for me?

9 604 Q. Yes?

10 A. No. 16:40

11 605 Q. So it was done without you?

12 A. I was never involved, ever, in Oversight Committees.
13 That was always at Director level.

14 606 Q. What's your view of that? The appropriateness of that?

15 A. Totally inappropriate. But you need to have -- if 16:40
16 you're going to have a Clinical Director there, they
17 need to be someone who is prepared to be robust and to
18 be prepared to be robust. I think for a Clinical
19 Director it would be difficult. I think for an AMD it
20 would be easier. 16:40

21 DR. SWART: Thank you. That's all from me.

22 CHAIR: Thank you. Mr. Hanbury?

23 MR. HANBURY: Thanks very much for your evidence and
24 your remarks about surgeons! Many would say that
25 a successful surgeon is a physician who operates. 16:40
26 Modern urology is a conversion rate of no more than
27 20 percent, so actually don't operate on more than
28 we do.

29 I would also like to go back to your May, email, or

1 your May 2016 email. And we've already discussed
2 aspects under section 6, urology. There are a few
3 other sections which were interesting because those
4 themes were flagged-up in everything we have done
5 already. One was the sign-off of results, did you see 16:41
6 that pertaining to urology or not?

7 A. I was quite clear that the responsible -- the
8 responsibility for consultants on the wards was to
9 ensure that results were signed-off. Some surgeons
10 believed that if they hadn't ordered the test 16:41
11 themselves, that it wasn't their responsibility, it was
12 the trainee's responsibility. The trainee's
13 responsibility was to do 12 hours and then leave. So
14 there wasn't any continuity, so there was a problem
15 there. 16:42

16 607 Q. Okay. Did you have a view on results on an outpatient
17 basis or radiology results? We've seen that in
18 a couple of cases.

19 A. Well, as regards radiology results, the two issues that
20 I'm aware of with the SAI, with the retained swab, and 16:42
21 the SAI with the hypernephroma, there should have been
22 direct contact from -- with something like that, well,
23 if you're aware that there's an issue then you should
24 contact the surgeon involved and not
25 a gastroenterologist. 16:42

26 608 Q. Thank you. Another comment about backlogs of IRIs or
27 SAIs, and seemingly no action on IRIs. Did that affect
28 urology or was that other specialties?

29 A. That was everywhere.

1 609 Q. And also mortality, morbidity meetings being somewhat
2 dysfunctional, again, that was other?

3 A. That was in general. They weren't very constructive
4 and there weren't a lot of lessons coming out of them.
5 I mean the purpose of M and M is you get a light bulb 16:43
6 moment, then you change something.

7 610 Q. So on a similar theme, you made interesting remarks in
8 your witness statements about critical incidents and,
9 perhaps not spending more time looking at near misses,
10 as opposed to things that do cause actual harm or 16:43
11 death. Could you expand a little bit more on that for
12 the Inquiry?

13 A. That required going through a formal structured process
14 with Maintaining High Professional Standards with
15 proper documents, with all the documents with 16:43
16 Mr. O'Brien there wasn't even an email or a minute
17 taken. There was no record. So for follow-up and to
18 see how things were going, there was nothing there. So
19 it needs to be far more structured and with a clear
20 plan of follow-up. So, basically, you address the 16:44
21 problem before it becomes a big problem and this has
22 turned into a big problem.

23 MR. HANBURY: And that should be discussed at
24 Departmental level? You'd agree with that?

25 A. (Nods). 16:44

26 CHAIR: Thank you very much, Mr. McAllister. I know
27 we sat on quite late and we didn't take a break, but
28 I thought you would prefer that to get finished today.

29 A. Good plan.

1 CHAIR: So 10 o'clock tomorrow, everyone.

2
3 THE INQUIRY WAS ADJOURNED UNTIL WEDNESDAY, 22ND
4 FEBRUARY 2023 AT 10 O'CLOCK