



Oral Hearing

Day 60 – Thursday, 14th September 2023

Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

WITNESS

PAGE

MS. PATRICIA THOMPSON

DIRECTLY EXAMINED BY MS. MCMAHON 3

QUESTIONED BY THE PANEL MEMBERS 77

THE HEARING COMMENCED ON THURSDAY,
14TH DAY OF SEPTEMBER, 2023 AS FOLLOWS:

CHAIR: Good morning everyone.

MS. MCMAHON: Good morning. Chair, the witness this morning is Patricia Thompson who is a Urology Nurse Specialist with the Southern Trust, she is going to give her evidence but first of all she's going to take the oath. 10:00

MS. PATRICIA THOMPSON, HAVING BEEN SWORN, WAS DIRECTLY EXAMINED BY MS. McMAHON AS FOLLOWS: 10:00

MS. MCMAHON: Good morning.

THE WITNESS: Good morning. 10:00

1 Q. Thank you for coming in to give evidence to the Inquiry. We have already met, but my name is Laura McMahon and I'm junior counsel for the Inquiry. You see the Panel here and I know your legal representatives have familiarised you with the layout. So I'm going to take you through your evidence? 10:01

A. Yes.

2 Q. And first of all we will go to your Section 21, the reply that you sent in and if I could have that brought up on the screen, it starts at WIT-86640. And you see your name at the top. It's notice No. 75 of 2022. And if we go to WIT-86670, we should see your signature? 10:01

A. Yes.

3 Q. Do you recognise that as a statement you made on

1 14th November last year?

2 A. That is, yes.

3 4 Q. And you wish to adopt that as your evidence?

4 A. It is.

5 5 Q. For the Panel's note, the enclosures to that statement 10:01
6 can be found from WIT-86671 to WIT-86880. The Panel
7 has heard quite a lot of evidence to date and I just
8 want to make a few points to put your evidence in
9 context so you'll understand why I'm only asking you
10 certain things and that you have included it in your 10:02
11 statement. The Panel has already heard from four
12 members of the SAI team, Dr. Hughes, Mr. Gilbert,
13 Patricia Kingsnorth and Fiona Reddick and you make up
14 the fifth member?

15 A. That's right. 10:02

16 6 Q. And that's why we have brought you along today, so you
17 can share your experience and your expertise and,
18 perhaps, your learning around that.

19

20 We have also heard from Jenny McMahon and Leanne 10:02
21 McCourt in witness form but we have heard orally from
22 Kate O'Neill as well, the other CNSs with whom you
23 work?

24 A. Yes, that's right.

25 7 Q. And the Panel has heard evidence on the SAIs that were 10:02
26 undertaken, the nine SAIs, they have heard evidence and
27 looked at those at length?

28 A. Okay.

29 8 Q. They have heard about the role of the CNS and the key

1 worker and from those who have worked with Mr. O'Brien.
2 Because, as I understand it, Mr. O'Brien had already
3 retired by the time you joined the Southern Trust?
4 A. He did. He retired in June 2021 and I started the
5 Southern Trust on August 2020. 10:03
6 9 Q. So you weren't, you didn't know him, you didn't meet
7 him at all in that capacity?
8 A. Not in the key workers Clinical Nurse Specialist
9 capacity. I did meet Mr. O'Brien when I sat in NICaN.
10 He was chair of the NICaN group and I was a 10:03
11 representative for the South Eastern Trust when I was a
12 CNS with the South Eastern Trust at that time.
13 10 Q. And that was your previous employer. When you worked
14 with them you had reason to attend the NICaN meetings
15 and Mr. O'Brien was part of that and that's the extent 10:03
16 of your connection with him?
17 A. Yes.
18 11 Q. We have also heard of the way in which staffing is
19 allocated around the CNS and the key worker. The
20 reason you are being called is to provide evidence on 10:04
21 the use and effectiveness of the governance process
22 that was instigated by the Trust, namely the SAI
23 process?
24 A. Yes.
25 12 Q. And before we get to that we'll just look at some 10:04
26 aspects of your statement. So for your understanding,
27 the areas I'm going to cover, I am just going to
28 generally look at your background?
29 A. Okay.

- 1 13 Q. Then your role. You have given us some communication
2 examples, I just want to look at those to see if there
3 is any learning there. Then the challenges you faced
4 within the unit; concerns; the SAIs. And reviews, you
5 have mentioned some reviews and then some learning and 10:04
6 we'll just touch on those at the end.
- 7 A. Okay.
- 8 14 Q. So hopefully that's clear?
- 9 A. Yes.
- 10 15 Q. I'll take you through your background and we can then 10:04
11 move on to your role, if that's okay?
- 12 A. Yes.
- 13 16 Q. You were first introduced to urology speciality upon
14 taking up a post in the Surgical Operating Theatre
15 Department at the City Hospital in 1999? 10:05
- 16 A. That's right and I would have worked between gynae
17 theatres and urology theatres. In 2002 I took up a
18 Senior Staff Nurse post and this was within urology day
19 care, urology day procedure units, urology theatres.
20 The main purpose of the post was the nurse-led 10:05
21 urodynamic service, also assisting in day surgery
22 urological procedures, and also being a scrub nurse or
23 anaesthetic nurse in the surgery in the urological
24 theatres. And that would have been for procedures such
25 as radical prostatectomies or bladder cancer surgery. 10:05
- 26 17 Q. Is that while still in the City or was that once you
27 moved to the South Eastern in 2005?
- 28 A. That was in the City. I then was accepted as a
29 Macmillan Clinical Nurse Specialist in the South

1 Eastern Trust. It was the Ulster Hospital at that
 2 time. In 2005 my post was Macmillan Clinical Nurse
 3 Specialist and I was autonomous with one urological
 4 consultant. 50% of my post was dealing with benign
 5 patients and also 50% was dealing with cancer patients. 10:06
 6 I was trained up in flexible cystoscopies. I carried
 7 out lower urinary tract symptoms assessments, prostate
 8 assessments, cancer liaison and complex, changing of
 9 complex catheters and intravesical treatments.
 10 10:06
 11 The post, when I left the South Eastern Trust I had
 12 been a CNS for about 14 years and the service had
 13 really progressed to being a four CNS nurse-led
 14 service. My job still got very busy, I was carrying
 15 out more nurse-led flexible cystoscopy for patients 10:07
 16 with bladder cancer surveillance and prostate cancer
 17 review and renal cell cancer review. When I left there
 18 was four CNSSs and five consultant urologists.
 19 18 Q. And that was in the South Eastern?
 20 A. That was in the South Eastern Trust. 10:07
 21 19 Q. Then you say you moved in August 2020 to the Southern
 22 Trust?
 23 A. Yes.
 24 20 Q. So for most of your nursing career, over 20 years, you
 25 have been focussed on urology? 10:07
 26 A. That's right, yes.
 27 21 Q. And particularly around the cancer aspects of that?
 28 A. Yes. I like the cancer aspects of urology.
 29 22 Q. Do you remember what date in August 2020 you started?

1 A. It was the 3rd August.

2 23 Q. The 3rd August. Thank you. You have also given us
3 details of your line management. You say that you had
4 no issues with line management and you have always
5 found them to be supportive within the Southern Trust? 10:07

6 A. Yes, that's right. And Martina Corrigan would have
7 been my line manager and then it would have been Sarah
8 Ward. At present, now, it is Wendy Clayton would be
9 the operational line manager and Paula McKay would be
10 my nursing manager. 10:08

11 24 Q. She's your Clinical Manager?

12 A. Clinical Manager, yes.

13 25 Q. And you have set out and we have heard details around
14 the weekly departmental meetings?

15 A. Yes, we had the weekly departmental meetings. These 10:08
16 were via Zoom. Now these meetings are on a monthly
17 basis and they are on the first Thursday of every
18 month. They are very informative and it keeps us up to
19 date of any governance issues or any new initiatives in
20 urology. 10:08

21 26 Q. We'll just go to the description of your current role
22 at WIT-86644. Paragraph -- sorry, just at the top of
23 that page where the sentence begins "My current job
24 plan. . ."

25 A. Mm-hmm. 10:09

26 27 Q. "My current job plan is structured and my roles
27 specialise in cancer liaison, key worker, nurse-led
28 renal cancer review and flexible cystoscopy service for
29 patients with red flag symptoms of bladder cancer, and

1 cancer surveillance with patients with known bladder
2 cancer. "

3
4 And you say then:

5
6 "If I had any concerns with fulfilling my role or in
7 regards to patient safety, I can speak to both Paula
8 McKay and Wendy Clayton. "

9
10 So we're talking about the August 2020 period when you
11 started. It would be your experience - and if it is a
12 different experience having worked there now let us
13 know - but it was your experience that there were
14 people to talk to, you felt supported and you felt you
15 had the capacity to carry out the required roles for
16 your job?

17 A. Yes. I found management very, very supportive and when
18 I first started the Southern Trust it was at Covid so a
19 lot of services was restricted. It's only within,
20 maybe, the past 18 months services have started to go
21 back to normal as what they had been pre-Covid.

22 28 Q. Because you do mention the issue of Covid in your
23 statement. For the Panel's note at WIT-86656,
24 paragraph 25.2. And what you have said is:

25
26 "Lack of CNS provision at the time when CNSs were
27 redeployed in January 2021 for a period of six weeks
28 meant that meetings were not quorate. "

1 You are talking about MDT meetings at this point?

2 A. That's right.

3 29 Q. And you say:

4

5 "The systems should have been in place for CNS to be 10:10
6 available to be present, such as a rota, to attend
7 MDT. "

8

9 So you're talking about a specific period in time.
10 Covid hit not long after you had taken up post, just at 10:10
11 the start of 2021, it started to impact around the
12 March and you are saying that that had an impact on
13 attendance at MDT?

14 A. It did. Myself and Kate O'Neill and Leanne McCourt, we
15 had been redeployed. I was redeployed to theatres and 10:11
16 Leanne and the Kate were redeployed to the wards. We
17 were out for a period of six weeks and we were unable
18 to attend MDT. When Covid first came, in March 2020,
19 when I was a CNS in the South Eastern Trust some of our
20 services we had to be redeployed for a period of maybe 10:11
21 four weeks but we were still able to do a rota of
22 attending the MDM meetings. And I felt maybe at that
23 time when we were redeployed at the Southern Trust, in
24 January 2021, there should have been, maybe, provisions
25 made in place that one of us could attend the MDT on a 10:11
26 Thursday afternoon.

27 30 Q. Looking at just those comparisons and management around
28 the MDT attendance and the possibilities given the
29 pandemic, who was responsible or what way was it

1 organised in the South Eastern Trust when you were
2 there in the early 2020, how did that come about, that
3 there was a rota?

4 A. I worked -- the urology nursing service was under
5 Cancer Services and our manager at that time was Mary 10:12
6 Joe Thompson, she would have been the lead, the Head of
7 Service for Cancer Services. And we would then -- most
8 of the nurses who were -- when Cancer Services were
9 redeployed, however she did allow us to attend MDTs.
10 So myself and another colleague, we took that in rota. 10:12

11 31 Q. Now, the Inquiry has heard evidence around urology
12 sitting just outside the Cancer Services in the way
13 that the structure was divided in the Southern Trust?

14 A. Yes, that's right.

15 32 Q. So when you came to the Southern Trust, that link with 10:12
16 Cancer Services wasn't there?

17 A. That's right.

18 33 Q. Was that something, because you had come from a Trust
19 where it had been sitting under the same umbrella, if
20 I can put it that way, did you notice that it not 10:13
21 sitting under Cancer caused a bit of a breakdown in
22 communication?

23 A. I don't think so. It seemed to be the management, the
24 communication and the management structure when I came
25 to the Southern Trust is still very good. We are kept 10:13
26 up to date of any changes. It was good to sit under
27 Cancer Services because we were able to sit in the MDM
28 and multidisciplinary team meeting when we were
29 redeployed. There was some, in my team in the South

1 Eastern Trust there was a nurse who specialised in
 2 benign but she still sat under Cancer Services. But
 3 I don't think it really - it didn't make a difference
 4 when I attended, when I started at the Southern Trust.
 5 It's a question really that would be hard to answer. 10:14

6 34 Q. I suppose if I put it in this context. If the South
 7 Eastern Trust urology sat under Cancer Services during
 8 the pandemic and, if I'm understanding your answer
 9 correctly, that allowed them then to ensure there was a
 10 rota for the MDT? 10:14

11 A. That's right.

12 35 Q. Southern Trust didn't have that particular structure.
 13 You are saying that it wasn't because they didn't sit
 14 under Cancer Services that they didn't have a rota. So
 15 what was the reason why there was no rota during those 10:14
 16 six week redeployment?

17 A. From what I can remember, we had a departmental meeting
 18 prior to us being redeployed at that time and it had
 19 been discussed amongst the multidisciplinary team and
 20 they felt that maybe the nurses, it wasn't required for 10:14
 21 us to attend the meetings while we were redeployed at
 22 that period of time.

23 36 Q. Do you know who made that decision or at what level?

24 A. I'm not too sure. I can't recall. I think it was the
 25 medical staff that came out, felt that they could 10:14
 26 continue with the meeting without us being present.

27 37 Q. And it would be your view that you could have been
 28 attending and perhaps should have been?

29 A. Yes, we could have been, yes, we could have attended.

- 1 38 Q. You have mentioned a specialities, areas that you now
 2 cover within your role and if I have picked up
 3 correctly from that, you carry out flexible
 4 cystoscopies. Bladder cancer surveillance I think also
 5 falls within your remit? 10:15
- 6 A. That's right. I would carry out an all-day flexible
 7 cystoscopy service and this covers patients who are on
 8 the non-muscle invasive bladder cancer pathway, and
 9 also for patients who have red flag symptoms. I also
 10 have -- I would have a session in the morning and a 10:16
 11 session in the afternoon and each session would have
 12 ten patients. Eight of those patients are either
 13 surveillance patients or red flag patients. And I have
 14 two protected slots for removal of ureteric stents
 15 under local anaesthetic. 10:16
- 16 39 Q. So you are actually running your own clinics?
- 17 A. I'm running my own clinics. Now, the clinic is under
 18 the code of a consultant, it's not under a nurse-led
 19 code so any investigations that I request, such as
 20 upper tract imaging or cytology the results would go 10:16
 21 back to the consultants. Even though I am the
 22 referrer. But the results, they will be highlighted on
 23 NIECR to the consultants. However, the consultants are
 24 very good and very supportive, they would contact me if
 25 a CT urogram has come back that I have requested on a 10:16
 26 patient and they would notify me that the result is
 27 available and I would then dictate on that results to
 28 the GP and to the patient.
- 29 40 Q. We'll just work through that because it touches on a

couple of issues, one of them is communication, just by way of an example. So you have your own clinics. The gateway to your clinics is when the consultant asks you to do a certain procedure or recommends certain care for a patient. They then get sent to you; is that right?

10:17

A. The patients are on a waiting list. The red flag patients are on a red flag patient waiting list and they are appointed by the red flag partial booking office. The patients who are on -- the surveillance patients, these patients are on the waiting list to have their cystoscopy repeated maybe in six months or in 12 months. These are normally appointed by the consultant's secretary. However, now there has been a new urology scheduler has been appointed, so the responsibility will lie with that person.

10:17

41 Q. And does that person make clinical decisions or just provide pathways for people?

A. No, she will not make clinical decisions, it will be -- if a red flag referral has come through for a patient with frank haematuria or a visible haematuria, that will be triaged by the consultants and that will then be referred to the haematuria service.

10:18

42 Q. So it is still the consultant who is the gateway to filter what's the most appropriate pathway?

10:18

A. Yes, that's right.

43 Q. Perhaps send patients to you, wait for those results to come back and then see the patient, having that information. Is that the system, roughly the way the

- 1 system works?
- 2 A. If it is a patient that has red flag symptoms and there
3 has been a tumour, a potential tumour has been noted on
4 the flexible cystoscopy, I would inform the patient at
5 that day of their procedure. Then I put them on the 10:19
6 waiting list for a TR, for the resection, bladder
7 resection. I would request their imaging. The patient
8 would have their surgery. Pathology would come back.
9 They would be discussed at the urology MDM and then
10 they will see the consultant with regards to the 10:19
11 results of that procedure.
- 12 44 Q. So you would give people information like that at the
13 point, at investigation, if you suspected that?
- 14 A. I do, yes.
- 15 45 Q. Would that be something you do with the consultant or 10:19
16 is that something you do as a sole worker?
- 17 A. I would do that, if I'm doing the flexible cystoscopy
18 service I would do that as a loan worker or
19 autonomously.
- 20 46 Q. Yes. 10:19
- 21 A. I would be with the consultants at the post-MDM clinics
22 or the results clinics, I would be with the consultant
23 at that point as a point of key worker. But if I do
24 see anything suspicious or a patient needs procedures
25 and I am autonomous or I'm doing my own clinic I would 10:19
26 inform the patients myself.
- 27 47 Q. And at that point it is potential or suspected and
28 other tests will reveal whether it is actually
29 confirmed?

1 A. Yes, that's right.

2 48 Q. And the Panel have heard evidence around the point at
3 which the key worker issue becomes crystallised and
4 when that person should be appointed. You have
5 mentioned that post-MDT you would perhaps be the key
6 worker? 10:20

7 A. Yes. When I do see something that is a potential
8 tumour, I would give the patient my contact details and
9 they are aware that this is probably a potential
10 cancer. I would give them the relevant information for 10:20
11 their procedure. The patient, obviously following
12 service surgery, will be discussed at the MDM and
13 I would make a note of that patient. I would try my
14 best to be at that particular clinic that the
15 consultant is giving the results so there is that 10:20
16 continuity.

17 49 Q. Just in relation to the MDT and the allocation of key
18 workers, the Trust policy indicates that it is a joint
19 decision from the core member, the nurse and the chair
20 of the MDT and it should be decided at that point. The 10:21
21 Panel has heard from Kate O'Neill and through other
22 evidence that that isn't always practical because of
23 scheduling and because of people's duty rota to know
24 exactly who is going to be on at a certain clinic. But
25 is it your understanding that that is, the allocation 10:21
26 of a key worker is a jointly responsible role for both
27 the chair of the MDT and the core nurse member?

28 A. Myself and Leanne McCourt are the core MDT nurse
29 members and when patients are discussed at the MDT they

1 are allocated an appointment with the relevant
2 consultant. So the consultants would have a post-MDT
3 clinic. This clinic could have between six to ten
4 patients. We would in advance have a rota made out or
5 our off-duty rota made out and we would be aware of 10:22
6 each consultant's MDT clinics, the dates of these
7 clinics. We would allocate staff to be at that clinic.
8 Now, if there is patients who I have maybe carried out
9 flexible cystoscopies on and they are going back a
10 clinic of, for example, Mr. Haynes, I would -- and 10:22
11 obviously that day I don't have any clinical
12 activity -- I will ask can I be at that clinic because
13 I know the patients are going to be there. But we do
14 tend to allocate the nurses in advance to attend
15 consultants clinics so they can be the key worker. 10:22
16 50 Q. Your evidence refers to post August 2020, when you
17 commenced your role?
18 A. Yes.
19 51 Q. That's the system you are referring to?
20 A. That's the system I am referring to, yes. 10:23
21 52 Q. I suppose just prior to that, because of the Trust
22 policy, and there has been some evidence and some
23 uncertainty around the responsibility of the allocation
24 of key worker, I just want to understand what you
25 thought to be the process whenever you were involved in 10:23
26 the SAIs. Did you understand that it was Trust policy
27 to have both the chair of the MDT and the core nurse
28 member jointly responsible for the allocation of key
29 worker or did you think that it operated where the

1 nurse would look at the rota and see who was on and
2 allocate? What was your sense of understanding then?
3 A. It was difficult when I started because the services
4 weren't as what they had been pre-Covid. A lot of
5 services had been restricted. I was unaware that 10:23
6 really it was responsibility of the MDT core nurse and
7 the chairman to allocate the key worker. When I came
8 into post a lot of the consultants would have had what
9 they called maybe hot clinics and these were clinics to
10 see the patients post-MDT. I note that Kate O'Neill 10:24
11 and Leanne McCourt would have tried to allocate these
12 patients to the clinics and would have contacted the
13 secretaries. But it was difficult because services
14 were restricted prior to me -- when I started at the
15 Southern Trust. I do feel that maybe it's run 10:24
16 differently to what it had been before I started
17 Craigavon.
18 53 Q. And post-Covid?
19 A. And post-Covid, yes.
20 54 Q. You have mentioned a couple of things in passing, just 10:24
21 moving on to the communication aspects, to see if there
22 are possible some rooms for improvement, the Panel
23 maybe get a better understanding of the practicalities
24 of your job and from a governance perspective, how any
25 breakdown in communication or difficulties may impact 10:25
26 good governance. So that's the context for these
27 couple of questions I want to ask you.
28 A. Okay.
29 55 Q. If we can go to WIT-86649. This is your Section 21

reply and you have set out at paragraphs 14.1 to 14.3, "Improvements to methods of communication and action planning". At 14.1, I'll just read out the paragraph for the transcript:

"In my role as a Urology Nurse Specialist I request imaging for patients who are currently under surveillance for bladder cancer surveillance, renal cell cancer review and for any patients presenting with symptoms suspicious of cancer. As previously mentioned, I request these investigations through Sectra or ECR."

Just pausing there. They are obviously internal programmes by which you would order examinations --

A. That's right.

56 Q. -- or investigations. Then back to your Section 21:

"However, when the examination has been completed and reported, I am not notified but the consultants are informed. The consultant would write to me or notify me of the completed investigation. This is not an issue with the Southern Trust but is a regional issue. However, I can see if a result is available and this has been signed off and actioned by a consultant."

So from the start of the paragraph the issue is you request a certain investigation but when the result comes back it doesn't come back to you

1 A. No.

2 57 Q. Or you're not copied into the result?

3 A. No, it goes to the consultants. Because the patient's

4 consultant is responsible for their care. This is a

5 regional issue, this is across Northern Ireland, it's 10:26

6 not to do with the Southern Trust.

7 58 Q. Just in relation, is that because of the way the

8 software, the system operates, do you know, or is it

9 because there is a decision taken that results are for

10 consultants only? 10:27

11 A. I feel it is a decision for the consultants only.

12 Because even if registrars or speciality doctors or

13 staff grades request investigations it does not go back

14 to them, it goes back to the consultant.

15 59 Q. And so the consultant has to actually read it in order 10:27

16 then to send it on?

17 A. They do. They have to read it and they would have to

18 sign it off. They have to write a comment. Normally a

19 comment would say, Patricia Thompson emailed or

20 Patricia Thompson notified and it would be sided off on 10:27

21 certain dates. And then when I am notified I would

22 then action any, if a letter has to be dictated to the

23 GP or to the patient, or if the investigation has to be

24 brought to MDM.

25 60 Q. So you can't do the next part of your pathway until the 10:27

26 consultant has read the report and indicated to you

27 what any further action needs taken?

28 A. Yes, I can see the report. The report is available on

29 NIECR or on Sectra. I mean, if I was concerned about

the report and the consultant hasn't signed it off, I could notify the consultant to say I carried out a flexible cystoscopy or I requested a CT urogram or a CT scan on a patient, the result has come back. And, obviously, then I would communicate with the consultant. But for sign-off it has to be carried out by the consultant.

10:28

61 Q. So you can notify them but they still have to action any further steps?

A. Yes, I can notify them.

10:28

62 Q. Is there anything in the system, either for you or for the consultants, that flag up when results have been sitting a while or waiting or if there is any delay in look at them?

A. I know the secretaries, they would, if a patient has been seen in an out-patients clinic and they are having an investigation, they are put on to the patients administration systems as what they call DARO which is discharged awaiting results. This is placed on the PAS. The secretaries would run reports then monthly and this will show if there is any outstanding results that needs to be actioned. So the secretaries could contact the consultants or even myself, if I have requested anything or if there is results available they could contact me.

10:28

10:29

63 Q. Now you speak about DARO at 14.3 and you say that the CNSS don't have access to the DARO functions?

A. No, that's for the secretaries would have access to that.

10:29

- 1 64 Q. Do you think that it would improve follow-ups if you
2 did have access? Give us a bit of background to that,
3 why you have said that?
- 4 A. I think it would improve my follow-up. You know, if
5 nurses had, maybe, or Nurse Specialist had access to it 10:30
6 we could be notified if there is results outstanding or
7 if the result has become available. It would probably
8 be around the same as what NIECR or Sectra would be and
9 it could notify us if we have put in a request and
10 results are available. 10:30
- 11 65 Q. I just want to take you to WIT-86645 and paragraph
12 8.1(a). Maybe the page before that. Just the next
13 page please. Sorry, it might be 8.3. I will just read
14 a summary of the question just so that -- I just cannot
15 find the link where it is. But in relation to DARO you 10:31
16 have stated that:
- 17
- 18 "Consultant secretaries can DARO and that if a
19 consultant's patient is awaiting results prior to a
20 decision regarding follow-up treatment being made, they 10:31
21 must be regarded as discharged and not added to the
22 outpatient waiting list for review."
- 23
- 24 A. That's right. The patient, they are recorded as
25 discharged awaiting results and they are put down, they 10:32
26 are recorded as an out-patient discharge. They are
27 not -- and then once the result is available, the
28 consultant will make a decision if the patient needs to
29 be reviewed. Then the patient is, out-patient is then

1 re-registered again as an out-patient and either they
2 could be put on a protective review or put on the
3 waiting list for a review for three months or six
4 months. If the results has come back and the patient
5 doesn't need to be reviewed, then the patient can be 10:32
6 discharged from the out-patients clinic and a letter
7 will be dictated by the consultant.

8 66 Q. So your evidence is that the decision by the consultant
9 to either review or follow-up brings the patient back
10 into the live system? 10:32

11 A. It can, yes.

12 67 Q. Now did you have experience of DARO or any similar
13 system in the former post either in the South Eastern
14 or Belfast?

15 A. I didn't have any experience of DARO but I would have 10:33
16 had experience of NIECR and Sectra. I was able to
17 request upper tract imaging in my last post. Again
18 I wouldn't have not notified with regard to any imaging
19 results that became available. But again I would have
20 been informed by the consultant of the results. 10:33

21 68 Q. So the other Trusts that you worked at didn't have this
22 system of DARO where people were moved slightly over,
23 discharged awaiting results and then brought back?

24 A. I am unaware if they did have that system. They would
25 have had patients administration systems so it could 10:33
26 have been on their software.

27 69 Q. But you were never aware of it?

28 A. I was never privy to it.

29 70 Q. So you don't know how they managed people who were

1 awaiting results, you have no knowledge of that in your
2 previous Trusts?

3 A. No, no knowledge.

4 71 Q. You also make a reference again - we'll just go back to
5 WIT-86649, we're back to the communication issues where 10:34
6 you have mentioned about the delay in typing.

7 A. That's right.

8 72 Q. At 14.2:

9

10 "In the G2 dictation system, as previously stated, some 10:34
11 typing is delayed due to low staffing levels. I don't
12 get notified if letters are not typed in a specific
13 timescale. Again as previously mentioned, I can place
14 the letter as urgent or email the secretary or audio
15 typist. I find out if letters have not been typed by 10:34
16 looking into the G2 system to view my dictation."

17

18 Now your phraseology there, that's a problem that
19 existed when you were there in August 2020?

20 A. It was a problem. This time last year that was a 10:34
21 problem with my dictation. I had to mark on the G2
22 dictation system if it had have been urgent and again
23 email the secretary. For my nurse-led clinics my
24 dictation was delayed up to a period of four to six
25 weeks because we didn't have the administration 10:35
26 support. We do now have, administration support has
27 been appointed.

28 73 Q. When was that? Do you know when that was?

29 A. They were appointed around about three months ago.

1 Three to four months ago, there has been more
2 administration support available for the urology CNSS.

3 74 Q. What's the turnaround now on dictation?
4 A. My renal cell cancer clinics is typed within that week,
5 within that day. 10:35

6 75 Q. So naturally that must increase the turnaround of
7 patients?
8 A. Very much so.

9 76 Q. So your capacity has increased since even three months
10 ago? 10:36
11 A. Yes, it has increased. Even the typing of the flexible
12 cystoscopy letters, which is done by the consultant's
13 secretaries or the audio typists, they do have a new
14 audio typists been appointed so the turnaround for
15 those letters is a lot quicker than what it had been. 10:36
16 The turnaround would be around about a week following
17 my flexible cystoscopy list.

18 77 Q. So you consider the delay problem you have identified
19 in your statement to be sorted?
20 A. To be sorted, it seems to be resolved. 10:36

21 78 Q. In relation to communication with patients, you have
22 mentioned a couple of examples in your statement, one
23 of which is that you would be available at the
24 nurses -- sorry, at the consultants results clinic and
25 you would introduce yourself as the Urology Nurse 10:36
26 Specialist?
27 A. That's correct.

28 79 Q. And advise of your role as the key worker.
29 A. Yes.

1 80 Q. I think you have mentioned earlier and you have
2 mentioned in your statement that you would give people
3 a card so they would have contact details?
4 A. Yes, when I am present at the consultant's clinic we
5 would introduce ourselves and explain our role and 10:37
6 explain our role as the key worker as we would be a
7 point of contact for support, for the support of the
8 patient and support for the family. We would provide
9 our contact details. We would also provide information
10 such as the Macmillan Cancer Core Pack which would have 10:37
11 information with regard to the multidisciplinary team.
12 We would also provide site-specific information, such
13 as maybe prostate cancer information or kidney cancer
14 information. They would also give any information for
15 any procedures the patients may need to undergo. When 10:37
16 we introduce ourselves as the key worker we do record
17 this consultation on NIECR, on progress notes. We also
18 record this on the cancer patient pathway system, which
19 is called CaPPS and there is a section in this system
20 that is for CNSs and AHPs to record their consultations 10:38
21 with, episodes with the patients. This is generated,
22 so this will be generated on the MDM report and this
23 will also be generated on the MDM outcome letter, that
24 the patient was seen by a specialist nurse.
25 10:38
26 We also have a CNS pro forma that we also complete.
27 The reason we will complete this CNS pro forma, because
28 all new cancer diagnosis, it's advisable that they are
29 offered a holistic needs assessment so we complete a

1 pro forma in the time that if the patient would like to
2 have a holistic needs assessment appointment.

3 81 Q. That is a description of the service as it was at the
4 time you started, in August 2020, or has developed?

5 A. It has developed. 10:39

6 82 Q. We'll take from what you have said that there is now a
7 thread from the moment the key worker is introduced
8 right through the system, so that it's apparent to all
9 people who have contact with that patient subsequent to
10 that introduction that they have in fact got a key 10:39
11 worker. And it is also searchable on the system, I can
12 go into NIECR and see the key worker. I presume the
13 pro forma is available on the system as well?

14 A. You can go into NIECR and check progress notes for the
15 Southern Trust and you would see what has been 10:39
16 documented by myself or by Leanne or by Kate O'Neill.
17 If you went into CaPPS and you went into the patient's
18 record, you could see that there has been an episode
19 with a CNS and you can go in and generate the reports.
20 We also for the Southern Trust, and this has been for 10:39
21 about six months, we have a spreadsheet that we are
22 notified every month of every new cancer diagnosis. We
23 each in turn go through that spreadsheet and ensure
24 that the patient has had a key worker.

25 83 Q. And in relation, just so we're clear, in relation to 10:40
26 the key worker introduction, is that only at clinics
27 where patients receive results or reports confirming
28 cancer or is it any -- does it happen in the benign
29 clinics?

- 1 A. It wouldn't happen in the benign clinics. If there was
2 a patient attended the benign clinic and there was
3 maybe a concern there could be a suspect cancer, that
4 patient will be referred to the consultant and referred
5 to the relevant investigation clinic. They may have 10:40
6 contact with the nurse and they may have, maybe, their
7 contact details to keep them up to date, that they have
8 referred them on to a consultant or to the haematuria
9 clinic, whatever the investigation needs to be.
- 10 84 Q. Does the scenario now exist, if it did at all before, 10:41
11 where you had to wait until the consultant invited you
12 to introduce yourself to the patient or do you do that
13 autonomously?
- 14 A. We do that autonomously. And we ensure that, when we
15 are attending the consultant's clinic we ensure that we 10:41
16 are present at the clinic. I wouldn't want to say
17 we're available because we want to ensure that we are
18 present there, that we will be in the clinic when there
19 is a consultation with regards to a patient who has a
20 cancer diagnosis. 10:41
- 21 85 Q. And is it your current experience that that works well
22 with other consultants, they understand your role, they
23 understand the significance of that and the patients
24 are leaving with the relevant information following a
25 diagnosis? 10:41
- 26 A. Yes, that works very well with the consultants.
- 27 86 Q. Now that's the system as it is now and you have
28 explained that very helpfully. In August 2020, when
29 you started, a lot of that process would have been

absent, would that be fair, a lot of that certainty around allocation, around the CNS pro forma, around the marking on the NIECR, around the MDM notes being clear, the key worker being allocated, none of that existed at that time?

10:42

A. It didn't exist, no, the pro forma didn't exist at that time. CaPPS, to be honest, I feel that CaPPS really has made progress in the Southern Trust in urology since I came into post because it would have been a system that I would have used in the South Eastern Trust so I was able to bring that experience when I started in the Southern Trust. The NIECR, the progress notes wouldn't have been used either when we first started. It's only that we have been introduced to it really, we would say it was probably around the wintertime of 2020 progress notes became available on NIECR.

10:42

87 Q. You have mentioned a couple of fail safes, and we'll go back to that word later on, it's been mentioned a few times, but you have mentioned CaPPS progress notes, CNS pro forma. You have mentioned that CaPPS existed in your previous job in the South Eastern, that was already in use?

10:43

A. Yes.

88 Q. Was the CNS pro forma or the progress notes part of the system in the South Eastern Trust?

10:43

A. No, there wouldn't have been the progress notes. But we did have -- we would have had -- a Cancer Operational Manager would have sent us CNSs the weekly

1 spreadsheet of newly diagnosed patients and we would
2 have had our own database of patients who had a urology
3 cancer diagnosis and we would have marked if they had a
4 key worker or who had been in contact with the patient.

5 89 Q. So when you came to the Southern Trust what was your 10:44
6 view of the way in which the key worker allocation was
7 dealt with and documented and visible? Did you have a
8 view, having come from the South Eastern Trust where
9 the process was different?

10 A. Well, obviously they didn't have the database or the 10:44
11 spreadsheet, what we have now in the Southern Trust,
12 that wasn't -- but we did have that in South Eastern
13 Trust. I note the Leanne and Kate O'Neill were very
14 unfamiliar with CaPPS so I was able to discuss CaPPS
15 with them and get them a password for CaPPS. 10:44

16 90 Q. Is that something that's freely available across all
17 Trusts?

18 A. It is, yes.

19 91 Q. Could you tell me what that stands for because I can't
20 recall? Sorry. 10:44

21 A. It's Cancer Patient Pathway Systems.

22 92 Q. Thank you. And did you ever understand why it wasn't
23 being utilised in the way that it might be for key
24 workers in the Southern Trust when you came along? Did
25 anyone say we don't use CaPPS because X, Y, Z? 10:45

26 A. No, they didn't say we don't use CaPPS because of, they
27 never said.

28 93 Q. Just a lack of awareness, was that your sense?

29 A. I think it was just their awareness of it. They do

1 find it is very useful. They found it is a very useful
2 system.

3 94 Q. Did you find the staff open to suggestions from you
4 about how these processes may be improved?

5 A. Yes. They were very open. They were happy that 10:45
6 I showed them the system and they use it very
7 regularly. And it is also a system, too, that you can
8 view MDM attendance and also what patients are going to
9 be discussed at MDM. So if I have a patient had
10 contacted me concerned with regards to a recent 10:45
11 investigation and he is discussed at the urology MDM,
12 I can go on to CaPPS and I could look at dates of
13 upcoming MDM and I can see if that patient is going to
14 be discussed.

15 95 Q. So is it your view that CaPPS helps oversight and then 10:46
16 helps governance because of that?

17 A. It does, yes.

18 96 Q. Now you said the nurses were receptive to anything,
19 obviously, that improved the process and oversight.
20 When you were - and we'll go on to look at the SAI, 10:46
21 just generally your role in that, but just while we're
22 on this point of allocation and the process that was
23 used prior to you coming in. Were you able to really
24 explore the way in which key workers were allocated or
25 understood before you took up post and as a result of 10:46
26 your role in the SAIs? Did you go away and really look
27 at that or was that not part of something you felt was
28 expected?

29 A. I didn't feel it was something that was expected.

1 I was asked by Martina Corrigan could I sit on the
2 Panel of SAI because of my experience and also coming
3 from another Trust. I didn't explore, didn't know that
4 this was something to do with key worker or was it
5 because there was maybe a concern with regards to key 10:47
6 worker within these SAIs.

7 97 Q. We'll come on to look at the email from Mrs. Corrigan
8 in a moment. But when you did find out what it was
9 about, was it ever the case that someone said, look,
10 find out how this process of key worker allocation 10:47
11 works because we need to look at different parts of the
12 pathway where it might have been triggered to give us
13 an understanding, was there anything like that?

14 A. No, there wasn't, no.

15 98 Q. One other example of a communication, you just 10:47
16 mentioned and I just wanted to ask you about it in
17 passing, you mentioned that you completed the advance
18 communications skills training in October 2010, which
19 you said is essential for any clinician whose role
20 involves working with patients who have a cancer 10:48
21 diagnosis, it was a two-day course and it helped you in
22 your urology nurse role to communicate with people?

23 A. That's right.

24 99 Q. And I presume to break bad news as well is part of that
25 package? 10:48

26 A. That's right.

27 100 Q. Now that was in 2010. Have you had any training since?

28 A. I've had motivational interview training and that was
29 provided by Macmillan and that was in 2019. It's

1 something like the communication skills training and
2 again it was a two-day course.

3 101 Q. In relation to communication skills training, is that
4 something that do you know is currently mandatory in
5 the Trust? 10:48

6 A. Advanced communications skills training is to be
7 mandatory for any cancer nurse. It is provided by the
8 Trust, by Cancer Services. There is a waiting list at
9 present for any clinicians or any new Cancer Nurse
10 Specialist who needs to attend this. 10:49

11 102 Q. Do you know what that waiting list is at the moment?
12 A. I don't know, I don't know what the waiting list is
13 like.

14 103 Q. There's been no refresher training for you? Given
15 there is a waiting list for the core training, has 10:49
16 there been no refresher training?

17 A. No, there's been no refresher training.

18 104 Q. Do you think you would benefit from refresher training,
19 given it was 2010?

20 A. Yes, I would benefit. It would be useful to have 10:49
21 refresher training for advanced communication. Maybe a
22 day course as a refresher. However, we have had a new
23 nurse had been appointed permanently and she was
24 appointed in January of this year and she still is on
25 the waiting list to have the advanced communications 10:49
26 skills training.

27 105 Q. So it is mandatory to do your job but not having it
28 doesn't stop you starting your post?

29 A. Yes, it doesn't

1 106 Q. You have mentioned that you have good communication
2 with the consultants that you work with, you have
3 mentioned that certainly systems are in place and
4 processes are in place to improve that from what it
5 might have been prior?

10:50

6 A. Yes.

7 107 Q. I just want to move on to the challenges, some of the
8 challenges you have mentioned. Again you started in
9 August, but since September 2020, just after you
10 started, there was an uplift in CNSs to five and you
11 have said that you feel that's properly resourced at
12 that number. Is that currently the position?

10:50

13 A. Currently the position, we had five. Kate O'Neill had
14 retired in October 2022 and we had appointed her
15 replacement in January 2023. Kate does come back two
16 days a week for 16 hours. We also have appointed two
17 expression of interests CNSs. One of the nurses,
18 Ciara, is 24 hours and the other nurse, Nuala, is
19 30 hours per week. With these two nurses we're looking
20 at maybe getting them into training, getting them into
21 being interested in the Urology Nurse Specialist post,
22 one maybe to veer towards the benign side and the other
23 nurse to work on the cancer side. We want to look at
24 this nearly like succession planning. Because maybe in
25 about, maybe, three or four years time a couple of us
26 could be looking at retirement so it would be good to
27 train people who have taken up a post as an expression
28 of interest so they can step in to the service when...

10:50

10:51

10:51

29 108 Q. And do you feel supported by the Trust in that

1 succession planning? And the training that needs to be
2 delivered so that people can segue over if anyone
3 leaves, is the training available?

4 A. Yes, I do feel supported by the Trust. Now, I, myself,
5 I am creating a document for induction for any new 10:52
6 specialist nurse, especially if they are an expression
7 of interest or a permanent member of staff and it's to
8 go through the training of to be a urology CNS. So
9 it's putting them through nurse-led clinics, it's
10 letting them see what lower urinary tract systems 10:52
11 assessments and they would have to need to do this and
12 have competencies. I would like them to maybe attend
13 different clinics, such as oncology clinic, maybe
14 attend the Cancer Centre, attend such things as
15 urodynamic clinic, the cystoscopy, to maybe attend the 10:52
16 ward rounds, also maybe attend theatres. And once they
17 have gained their competences, discuss where they would
18 like to work, do they want to go down the cancer side
19 or do they want to go down the benign side. But also,
20 it would be ideal to look at education for them, such 10:53
21 as maybe looking at the non-medical prescribing course,
22 looking at -- one of the new appointees is actually
23 doing a P cert on the foundations of urology in which
24 she will go through the likes of the prostate
25 assessments, how to set up a nurse-led clinic and also 10:53
26 look at flexible cystoscopies and TP biopsies.

27 109 Q. What is the buy-in with consultants in all of that? Do
28 you work parallel with them to identify training and
29 deliver it or is this nurse-led training?

- 1 A. The consultants, yes, do buy in with the training.
 2 I think the consultants would value if they do do the
 3 basics first. And they would like the nurses to look
 4 at where service provision is, where there is a need
 5 for the service. Yes, they are very open and managers 10:54
 6 are very open if there is any specific training that
 7 needs, such as if they need to be sent for a flexible
 8 cystoscopy course or if they need to be sent for the
 9 non-medical prescribing, the consultants are very
 10 supportive. And also the Nurse Managers would be, 10:54
 11 there would be support from the Nurse Managers as well.
 12
 13 There is also training at present for myself and that
 14 would be for the transurethral laser ablation. A girl
 15 had come out to assess the Urology Service and they had 10:54
 16 recommended that this would be an ideal opportunity for
 17 the Urology Nurse Specialist to be trained.
 18 110 Q. What stage is that at? Is that something there has to
 19 be separate funding sought for or what way does that
 20 work? 10:55
 21 A. There will be funding for the equipment and there will
 22 be funding for training. The company will provide
 23 training and myself and Jenny, who will be trained in
 24 this, will be sent to centres in England to be trained
 25 up and to assess for the transurethral laser ablation. 10:55
 26 We will also have consultants will assess our
 27 competencies and we will probably have sign off
 28 competencies to be able to do this procedure.
 29 111 Q. But your view is that the Trust are motivated for this

1 to go forward?

2 A. Yes, to bring this forward. Because this will reduce
3 patient waiting time. If they have small bladder
4 cancer reoccurrence, rather than be on a waiting list
5 we can provide this nurse-led service. Also, there are 10:55
6 maybe patients who are not fit for general anaesthetic,
7 so we can provide the service for those group of
8 patients.

9 112 Q. The Panel may recall that we had looked at a document,
10 quite a while ago now, where Ms. O'Neill was 10:56
11 presenting, I think, a paper to the Board and she
12 referred to "innovation overload" and I think that was
13 based on the fact that there was so many new skills
14 they were able to take on but were stymied slightly by
15 capacity. The position now seems to be you are running 10:56
16 at optimum capacity, that allows then for others to
17 undertake training that helps reduce patient waiting
18 lists. Is that the sequencing?

19 A. Yes, there is a capacity for the training to reduce
20 patient waiting lists. Also with the new appointees, 10:56
21 with the new expression of interest and the new member
22 of staff that has been appointed, they will be trained
23 up at present to carry out even services such as a
24 holistic needs assessment, lower urinary tract symptoms
25 assessment, urodynamics in order for myself and Jenny 10:56
26 to carry out more extended roles, such as the
27 transurethral laser ablation. Also, this will allow
28 Leanne to also carry out a further TP biopsy list.

29 113 Q. One of the things you mention around communication is

the absence of quoracy at the MDTs, you have said that was a problem, but what is the position now? Because you say you attend, you and Leanne McCourt are core members?

A. Yes, it was an issue when I initially started at the Southern Trust that there was one consultant radiologist and when he was not available there was no radiologist to stand in for him. So a lot of patients who needed imaging to be discussed at the MDT was rolled over to the following week. That is now not an issue as there is two radiologists are available at the MDT and so if one radiologist is off, the other radiologist would be at the MDT. Pathology is not an issue. There is always a pathologist at the MDT. For oncology, we now have a clinical oncologist and she attends virtually at the MDT. And the medical oncologist attends weekly as well.

114 Q. So the rollover that you mentioned just a moment ago, that doesn't happen any more?

A. No, it doesn't happen any more. Unfortunately, it did happen a couple of weeks ago. There was -- the clinic -- or the MDT, there was a few patients had to be rolled over because there was no radiologist available. But that was very rare, that hasn't happened in a long time. But the two radiologists will always try to be available at the MDT.

115 Q. So what was previously routine is now the exception?

A. Yes.

116 Q. Just to clarify your understanding of MDM outcomes.

The MDM meeting, is it your understanding that they recommend a course of treatment that they then subsequently may alter based on new information, new clinical information, but that the actual MDM decision is actually a recommendation?

10:59

A. The MDM decision is a recommendation. It's a team recommendation. That outcome is recorded and the patients are informed at their out-patients clinic. It's a recommendation obviously from other, maybe for a course of treatment, such as if a patient has a high grade non-muscle invasive bladder there is always a debate should the patient have a cystectomy or should the patient go for intravesical treatment and that is discussed at the MDM. I have never come across any differences of opinion. If there is maybe anything, it would be a healthy debate, but there has never been a difference of opinion.

11:00

11:00

117 Q. Do you feel you can participate okay in the MDMS?

A. Yes.

118 Q. That your role and your view is valued?

11:00

A. Yes, I can participate in the MDM. I have brought patients to the MDM, such as with a flexible cystoscopy, if a patient who has intermediate risk bladder cancer and they are on the pathway and they are due to be discharged, I can bring that patient so it is agreed that the patient is suitable for discharge. If I am concerned about, maybe, an imaging result, I can bring it to MDM. And also our opinion is very much valued.

11:00

- 1 119 Q. If there is a recommendation made in relation to, say,
 2 one of the patients that you are managing and
 3 subsequently you get a result that may impact that
 4 recommendation, or change the potential pathway or mean
 5 that the recommendation no longer is possibly the right 11:01
 6 way to go, what way would you handle that? would you
 7 go back to the MDM or what would you do?
- 8 A. If I brought a patient to the MDM and they decided the
 9 pathway or the patient could be discharged, I would
 10 notify the patient, I would dictate a letter to the 11:01
 11 patient to say. I would have already informed the
 12 patient that I am bringing their case to the MDM.
- 13 120 Q. But in relation to specifically if there is to be a
 14 change from the MDM recommendation or the
 15 recommendation no longer holds good because of new 11:01
 16 information?
- 17 A. Yes.
- 18 121 Q. So maybe patient has an infection, there is other tests
 19 have revealed other information that wasn't known at
 20 the MDM, how would you deal with that particular issue? 11:01
 21 A. I would bring it back to the MDM. If there was
 22 something that wasn't present I would bring it back to
 23 the MDM.
- 24 122 Q. And allow a new recommendation to be considered?
- 25 A. Yes, allow new recommendations to be considered. 11:02
- 26 123 Q. would you present that? would you give the new
 27 information and say this is why it is back, is that the
 28 way it works?
- 29 A. Yes, I can. I have presented, if I have brought a

patient I have said why. The patient will be under a consultant but I would suggest - I would say that I have presented this patient because of recommendations or could we do a change in treatment or recommend a change in treatment.

11:02

124 Q. What if a patient, you bring the recommendation to them from the MDM and the patient refuses treatment, or says that's not for me, or I don't want that, or I'm not taking part, that's me, what do you do with that information?

11:02

A. If the patient doesn't want treatment I would maybe advise the patient and discuss it with the consultant. The consultant will see the patient as well and I would be present at that clinic.

125 Q. And would you record that anywhere in your particular notes?

11:02

A. Yes, I would record that. I would record that in my progress notes and I would dictate a letter to the GP to update the GP that the patient has been discussed at MDM, a course of treatment has been recommended and the patient does not want this treatment, however I am referring the patient back to the consultant. So that would be dictated. And it would be recorded in progress notes or in the patients' notes.

11:03

126 Q. The letter you send to the GP, would the patient get a copy of that?

11:03

A. Yes, the patient would get a copy of it or I would dictated another letter to the patient to say that I've -- you know, I'm referring you to see the

1 consultant as you may not be happy, want the treatment
 2 that was recommended.

3 127 Q. Is that your particular practice or does it happen that
 4 when the GP's letter is sent out that the patient
 5 automatically gets a copy? Is that process in 11:03
 6 existence yet?

7 A. That process is -- patients do -- normally we would say
 8 would you send a copy of the letter to the patient and
 9 that would then get sent. I know the recommendation is
 10 now that patients do get sent a copy of their 11:04
 11 consultation. But when I am dictating the letter and
 12 I would like the patient to have a copy I would ask for
 13 the copy to be forwarded to the patient.

14 128 Q. Do you know when that process came in, where there was
 15 an automatic sending out with the GP's letter a copy to 11:04
 16 the patient? Is that relatively new?

17 A. That's relatively new, yes.

18 129 Q. You mentioned the progress reports, just so I have it
 19 straight in my head, are the nursing notes and the
 20 medical notes kept separately or does the progress 11:04
 21 sheet from your intervention sit within the medical
 22 notes?

23 A. The progress notes sits on NIECR. If I'm documenting
 24 in the medical notes I would document in the same, as
 25 the same as the medical notes are documented. 11:04

26 130 Q. So you would chronologically follow on from the last
 27 entry?

28 A. Yes.

29 131 Q. So if I was reading them I could see one was written by

1 the consultant, one was written by you?

2 A. Exactly. If I'm carrying out a flexible cystoscopy

3 there is a difference pro forma to fill in and to

4 document and that would be filed in the patient's notes

5 as well. 11:05

6 132 Q. I just want to mention this CNS forum that you have

7 mentioned. That was a regional meeting facilitated by

8 NICA. I think that's when you mentioned, at the start

9 of your evidence, when you first became aware of

10 Mr. O'Brien through attendance at those meetings. You 11:05

11 were every three months meeting to discuss the service

12 and new developments and then due to poor attendance

13 those meetings fell away. Did you find those meetings

14 useful?

15 A. Those CNS forum meetings is when I first started as a 11:05

16 urology CNS, in 2005, and yes, it was useful. Because

17 we, especially with me being new to post, it was useful

18 to be speaking to other urology CNSs. We did try to

19 streamline the services so that we were singing more or

20 less from the same hymn sheet. But, unfortunately, due 11:05

21 to poor attendance, the meetings didn't continue. The

22 meetings were supported by drug companies so that

23 probably wasn't available either.

24 133 Q. And I think from 2021 there have been another CNS forum

25 for urology CNSs from all Trusts again? 11:06

26 A. Yes. That has been carried out by NICA. Now,

27 unfortunately, we haven't had a urology CNS meeting

28 I would say for nearly a year.

29 134 Q. April 2022, was that the last one?

1 A. Yes, that was April 2022.

2 135 Q. 28th April?

3 A. Yeah.

4 136 Q. Just when you mention there in passing, and thinking
5 about the CaPPS example, are these meetings potentially 11:06
6 the forum at which you could talk about standardising
7 approach to, for example, the allocation of key
8 workers? Is that an opportunity for you all to sit
9 together, what are you doing in the Belfast Trust,
10 what's the South Eastern Trust, doing we have CaPPS, 11:06
11 let's use it the way you are, is it that sort of idea?

12 A. Yes, it is. We would discuss each Trust and what
13 services we are providing. And if maybe on the agenda
14 there is about key worker, we would discuss how we
15 would record our key worker activity. If another Trust 11:07
16 maybe has their own pro forma of recording it we would
17 say we would record ours on progress notes. We also
18 discuss with regard to nurse-led clinics. It's a
19 discussion of each Trust to see what we are doing and
20 where we are at. 11:07

21 137 Q. And the aim is to develop best practice?

22 A. Best practice, yes.

23 138 Q. So if you come back with the example of what could be
24 best practice, if you were to do that now, say
25 something some come up in April 2022 at the meeting and 11:07
26 you thought, okay, Belfast are doing that, who would
27 you take that idea back to in your line management?
28 what's the route for you to feed back good ideas or
29 potentially best practice?

1 A. I bring it back to my Nurse Manager and also bring it
2 back to the consultants to inform them that Belfast
3 Trust are carry out this type of practice and it seems
4 to work very well for their patients.

5 139 Q. Is that still done informally? Would you say 'I was at 11:08
6 a meeting and they mentioned this' or is there a way
7 for you to report that formally and request that
8 certain procedures are implemented?

9 A. I could send an email to my Nurse Line Managers,
10 I could email the consultants. We could discuss this 11:08
11 at the MDT. We also have a business meeting for the
12 urology MDT and this could be brought to the urology
13 meeting to say that the Belfast Trust are carrying out
14 a practice that we feel would benefit our service.

15 140 Q. So you are doing this under your professional 11:08
16 obligation to look for best practice?

17 A. Yes.

18 141 Q. And you feel that there are avenues that you can bring
19 new ideas to. And do you feel that those ideas are met
20 receptively? 11:08

21 A. New ideas are receptive.

22 142 Q. Just in relation to the concerns, you have never
23 reported any problems, you have never had any reason to
24 report any issues?

25 A. Not since my tenure starting in the Southern Trust, 11:09
26 I have had no concerns to bring.

27 143 Q. And you also say that in your previous work in the
28 South Eastern and the City you didn't have any concerns
29 with any practitioners so you didn't have any reason to

1 instigate any governance processes yourself?

2 A. No. I had a very good working relationship with my

3 colleagues in the South Eastern Trust and in the

4 Belfast Trust and there was never any concerns about

5 their practice so I was never -- I had no reason to 11:09

6 incorporate any governance with regards to their

7 practice.

8 144 Q. Now you have said in your statement - just for the

9 Panel's note, at paragraph 30.1 - your views on raising

10 a concern and you say: 11:09

11

12 "Raising a concern can be difficult. I believe that a

13 personal grievance may arise from raising a concern.

14 But nonetheless the focus should be on patient safety."

15 11:10

16 A. Yes.

17 145 Q. Could we unpick that just a bit? You believe that a

18 personal grievance may arise, does that indicate that

19 you or others or there is a general sense of, perhaps,

20 reluctance about raising concerns? 11:10

21 A. I wouldn't have reluctance in raising a concern. If

22 I felt patient safety was jeopardised due to practice

23 I would raise the concern. I know if you did have to

24 raise it, the person that you are raising a concern

25 about could take a personal grudge against you because 11:10

26 they feel that you are maybe taking a dislike to them.

27 And it's not taking a dislike. You're looking at

28 patient safety, you're looking at staff safety, you're

29 looking at the person themselves safety as well.

1 146 Q. So it's more just a reflection on the fact that if
2 you're close enough to someone or have a close enough
3 working relationship to identify a concern --
4 A. Yes.
5 147 Q. -- that may impact on personalities and personal 11:10
6 relationships?
7 A. It could impact on personalities.
8 148 Q. But you don't have any experience of that happening to
9 you?
10 A. No, no experience. 11:11
11 149 Q. And you feel that you have a free pathway to raise
12 concerns if any were to arise?
13 A. I would have no problem with raising concerns. And if
14 I was concerned about patient safety I would have no
15 problems in raising it with management. 11:11
16 150 Q. And just as a final point, it may be a convenient time,
17 you do say in your statement that you found Mr. O'Brien
18 to always be professional in the NICaN meetings.
19 A. That's right.
20 151 Q. He engaged with other people's opinions and without any 11:11
21 difficulty?
22 A. Yes, that's right.
23 152 Q. And your first introduction to potential areas of
24 concern around his practice or the practice of others
25 was in the SAI process? 11:11
26 A. That's right. That was the first I was made aware of
27 his practice.
28 153 Q. We'll move on to that shortly because it's the sort of
29 final topic but one and it might be a convenient time,

1 chair?

2 CHAIR: Okay. we'll all come back then at 25 past 11.

3

4 SHORT BREAK

5

11:12

6 THE HEARING RESUMED AFTER THE SHORT BREAK, AS FOLLOWS:

7

8 CHAIR: Thank you everyone.

9 154 Q. MS. MCMAHON: Mrs. Thompson, I just want to move on to
10 the SAI process and discuss it in general terms. The 11:25
11 Panel have heard a lot of evidence around the SAIs,
12 they have looked at them in detail and various
13 witnesses have spoken to them, including your
14 predecessors on the team who have already given
15 evidence, so it is just really some points I want to 11:25
16 make out. It's really the lead-up to your involvement
17 and how you undertook your role and what you saw your
18 role as being and how you undertook that role, and then
19 just some general learning from it, to see what your
20 views might be and if the Panel feel that there may be 11:25
21 something they can look at in relation to that.

22 A. Yes.

23 155 Q. Just at the start of the process, as we have already
24 set out, Mr. O'Brien had retired by the time you joined
25 the Trust and you were effectively nominated. After 11:25
26 having started on 3rd August --

27 A. Yes, that's right.

28 156 Q. -- you received an email from Martina Corrigan and if
29 we can go to that email at TRU-303441. I just want to

1 read out the email from Martina, your reply and then
2 the introductory email from Patricia Kingsnorth and
3 that sets out the sequencing.
4

5 So we will see just the second email on this page, from 11:26
6 Martina Corrigan, sent 16th August 2020 at 12:53. And
7 it was sent to you and it copied Patricia Kingsnorth
8 in. The subject "SAI Panel" and she writes:
9

10 "Hi Patricia, I hope all is well and you are settling 11:26
11 in. Firstly, apologies, as I haven't got to spend any
12 time with you, which hadn't been my attention but as
13 you will have seen last Thursday, it is all a bit mad
14 at the moment. Hoping for things to settle and I will
15 get up to see you for a proper welcome. 11:27
16

17 I had hope to speak with you direct about some serious
18 adverse incident panels that we have nominated you to
19 sit on in relation to some urology cases. Dr. Dermot
20 Hughes (retired Medical Director) is chairing the Panel 11:27
21 and had asked for a urology CNS to input. After
22 discussion, it was agreed that since you are new to the
23 team but have the knowledge and experience that you
24 would be best placed to sit with him and Fiona Reddick
25 (Head of Cancer Services). Patricia Kingsnorth (Head 11:27
26 of Governance) will be in touch with you next week to
27 arrange the date and time of initial meeting. Speak
28 soon, and thanks."
29

1 And then just move on please. It is signed at the
2 bottom, "Martina". And we know she is the Head of
3 Service.

4
5 So that was your first introduction to the possibility 11:27
6 of you becoming involved. It seems to not have been a
7 possibility but you have been put forward?

8 A. Yes, that's right.

9 157 Q. And you reply on the same date. From you on
10 17th August, the next day, sorry, at 2020 at 11:43, you 11:28
11 reply to Martina and copied in Patricia Kingsnorth. And
12 you say:

13
14 "Hello Martina. All is well and settling in very well.
15 Everyone is very helpful. I would be happy to sit on 11:28
16 the Panel for SAI with relation to urology. Hope to
17 speak soon. Many thanks, Patricia."

18
19 Mrs. Corrigan had put into her last email that the
20 reason they asked you was because you were new to the 11:28
21 team and you didn't know anybody, you didn't know if
22 there were any issues or not and you seemed to be, for
23 their purposes, a natural fit to look at this through,
24 perhaps, fresh eyes.

25 A. Yes, that's right. 11:28

26 158 Q. You had no awareness of any problems at that stage.
27 This was exactly two weeks, I think, after you took up
28 post?

29 A. That's right, I had no awareness that there was any

1 concerns.

2 159 Q. So if we move to the preceding page, TRU-303440. And
 3 this is an email sent to you from Patricia Kingsnorth,
 4 who we know is the Head of Governance. She sends it to
 5 you and copies Martina in and Fiona Reddick. And she 11:29
 6 says:

7
 8 "Hi Patricia, many thanks for agreeing to assist with
 9 the SAI process. We have a number of cases to be
 10 discussed and will measure them against the existing 11:29
 11 pathway. Can you be available to meet with the review
 12 team on Thursday, 10th September at 9:30am in the
 13 meeting room, Trust headquarters."

14
 15 And signs it off, "Many thanks, Patricia". So that was 11:29
 16 the start of your involvement in the process?

17 A. That's right.

18 160 Q. And that was the first meeting that you attended, that
 19 was your first introduction. I just want to ask you in
 20 general terms, we have looked at the notes and we have 11:29
 21 looked at the minutes and we have discussed this, in
 22 relation to your introduction at the meeting, did
 23 anyone set out your role and what was expected of you
 24 and what you brought to that particular process in
 25 relation to the make-up of the team? 11:30

26 A. No. I never had any information of what my role was to
 27 be with the team. I gathered that because I had
 28 experience of a urology CNS from another Trust, and a
 29 lot of experience, it was to sit on to see if there was

1 any key worker involvements. But I was never given any
2 task to say this is the expectation we would like you
3 as being part of the Panel for the SAI process.

4 161 Q. When you say key worker involvement, was it indicated
5 to you that that was the purpose for you being 11:30
6 involved, was the key worker issue?

7 A. No, I don't think it was the purpose of why I was
8 involved. I think it was the purpose because of my
9 experience and what I could bring to the SAI. But
10 there was no criteria or no particular road plan was 11:30
11 given to me.

12 162 Q. Did you have any knowledge at that meeting or after of
13 the terms of reference of the SAI?

14 A. There was no terms of reference was formalised at the
15 first meeting. But terms of reference was formalised 11:31
16 following that first meeting. And they were written
17 both by Patricia Kingsnorth and Dermot Hughes.

18 163 Q. Did you have any input into those terms of reference?

19 A. I didn't, no.

20 164 Q. Do you recall those terms of reference Doctor 1? 11:31

21 A. Yes, the terms of reference were referred to Doctor 1.

22 165 Q. Now you had no previous knowledge of SAIs or you had
23 never been previously involved in any?

24 A. No, I had no knowledge of SAIs. I wasn't involved in
25 any or I had never been the subject of an SAI. I never 11:31
26 had any training either with an SAI. However, I do
27 note that my role was just to sit on the Panel. It
28 wasn't to be a chair or a governance part of the SAI.
29 But no, I had no previous experience.

1 166 Q. Just so we get a feel of it. Something that we're not
2 familiar with, but the SAI, was there a feeling that
3 everyone was an equal member of the team and everyone
4 brought a different lens to it or what was your feeling
5 about it? 11:32

6 A. My feeling about the whole team, I wasn't given -- only
7 my -- I felt that I didn't have a lot of input into the
8 team. I would have liked to have maybe had more of an
9 input. Such as with my experience and my experience of
10 being a key worker and an experienced Urology Nurse 11:32
11 Specialist, I felt my input would have been better if
12 I could have liaised with families and with patients
13 along with Dermot and Patricia Kingsnorth. Because
14 I could have maybe found out more information, I could
15 have spoken to the patients, I could have found out -- 11:33
16 because the particular issue and it would tend to be
17 that there was no key worker involvement, I could have
18 maybe spoken to the families and maybe found out more
19 specific information.
20 11:33

21 My role really was to look at the likes of the patient
22 administration system, the appointments process, the
23 DARO, the protective review, but it was never anything
24 such as, you know, being involved with the patients or
25 the families. 11:33

26 167 Q. So it was more data-led?

27 A. It was more data-led.

28 168 Q. You were good for figures rather than facts of
29 processes?

1 A. It was more of timelines, you know, timelines of
2 patients' appointments and was there a key worker at
3 that clinic and when was the patient seen, was there a
4 letter typed for that particular episode, that was more
5 of my involvement. 11:33

6 169 Q. Now you have been through that process as a team
7 member, do you think that training into how SAIs should
8 be carried out should be mandatory before anyone
9 undertakes such a role?

10 A. I think it would be useful if training was to be 11:34
11 advised for anybody who wishes to sit on an SAI
12 process. Also, too, it would appreciate what type of
13 SAI is it, is it a Level 1 or 2 or 3. And also, too,
14 what each team member brings to the SAI, such as the
15 chair of the SAI or the governance person of the SAI. 11:34
16 But I do think it would be a very useful training for
17 anybody who wants to sit on an SAI process is to do the
18 two-day training.

19 170 Q. I think we established earlier in your evidence that
20 you weren't tasked with or you didn't go away and 11:34
21 unpick the process by which key workers were allocated
22 and understand the different, perhaps, nuances that
23 this Inquiry has had the benefit of hearing around how
24 people might record that or how they may consider a key
25 worker is being allocated, the point at which that was 11:35
26 done, the individual's understanding of that process,
27 none of that analysis was either asked of you or
28 undertaken?

29 A. No, none of that analysis was asked of me.

1 171 Q. And, as I said, the Panel have looked at the notes and
2 your voice is quite silent in the notes, if I put it
3 like that, there is very little reference to you or
4 contribution. Does that reflect in any way how you
5 considered your role as viewed or valued or considered 11:35
6 by the other team members?

7 A. I felt the team, I think it was more -- a lot of the
8 lead was taken on with Dermot. And with Hugh Gilbert
9 and Patricia Kingsnorth, they would have taken more of
10 a lead on the SAI. I wasn't asked anything about -- 11:36
11 you know, for my input. It was only really to look at
12 the data or the timelines. Maybe I should have spoke
13 up more. But I don't know what's -- I just felt that
14 they didn't ask me to contribute more to the team.

15 172 Q. I suppose, from a learning perspective, would it be 11:36
16 your view that it would have been helpful and perhaps
17 allowed you to step forward more had you had a
18 designated set out role and you knew what was expected
19 of you, everyone else knew what was expected of you and
20 you were given help in undertaking the role to bring 11:36
21 back to the team, would that be helped?

22 A. Absolutely. I think if I had have been set tasks and
23 what was to be expected of you would have been a better
24 contribution on my behalf.

25 173 Q. I think you have accepted that you didn't go in 11:36
26 formally, as part of your role in SAI, go and speak to
27 Leanne McCourt, Jenny McMahon or Kate O'Neill for the
28 purposes of your role at all on the SAI?

29 A. No, I wasn't asked formally to speak to the nurses. It

1 was really an informal query with the nurses with
2 regards to Mr. O'Brien and his -- you know, did he use
3 key workers in his oncology clinic? Did he invite
4 nurses to sit in with him on his consultations?
5 174 Q. Did that involve you looking at rotas or anything or 11:37
6 looking at notes to see if records had been marked
7 about anything?
8 A. No, I didn't look at rotas. But I knew from -- Kate
9 O'Neill wouldn't have worked on a Friday so she
10 wouldn't have been really privy to what Mr. O'Brien 11:37
11 would have...
12 175 Q. And he held his clinic on a Friday?
13 A. He would have had his clinic on a Friday. But no, it
14 wouldn't have involved me looking at rotas or
15 investigating or even reading the patient's medical 11:38
16 notes, because some consultants maybe would document if
17 there was a nurse presence in the room. I wouldn't
18 haven't been...
19 176 Q. You didn't look at any of that?
20 A. I didn't look at that. I really took it from the likes 11:38
21 of the GP letters that, maybe, Mr. O'Brien had dictated
22 and he would dictate that he had the patient's -- you
23 know, he had been in consultation with the patient.
24 But in those GP letters there was no evidence that a
25 nurse was present in the consultation. Consultants now 11:38
26 would say in their letters that they had seen a patient
27 and they had -- in attendance with a Urology Nurse
28 Specialist and who the Urology Nurse Specialist was.
29 177 Q. Did you look at the other consultant's notes to get a

1 feel of whether the problem was systemic?

2 A. No. I have had looked at some notes and consultants,
3 the other consultants would document that if there was,
4 they would document that they had seen the patient and
5 who was present in with the patient. 11:39

6 178 Q. Just in relation to the SAI and your role in that, did
7 you look at that then?

8 A. No.

9 179 Q. Did you do it by comparisons?

10 A. No, I didn't. 11:39

11 180 Q. So there was no consideration of whether this was a
12 unit-wide problem?

13 A. No, I didn't look at notes to see if it was a unit-wide
14 problem.

15 181 Q. Now, you've said you have no experience of SAIs and you 11:39
16 have no training in that, and you have been clear about
17 that from your earlier evidence. Did you understand
18 SAIs to be investigations into events or into people?

19 A. I understood it to be an investigation into events as
20 opposed to a person. My knowledge of SAI is to look at 11:39
21 an incident or an event that's happened that maybe has
22 caused or potentially caused harm to a patient or to a
23 client or service user or to a member of staff and it's
24 to look at the process to see how it happens, why it
25 happens, what systems could be put in place to prevent 11:40
26 this happening again, what learning we can have from
27 this, and also to any recommendations.

28 182 Q. So if, for example, you were looking at the
29 availability or non-availability or non-allocation of a

1 key worker, you could start at the entry point for the
2 patient, follow their pathway, lead you to the SAI, and
3 track, perhaps, key moments in that journey at which a
4 key worker could have or should have been allocated?

5 A. Yes. That's right, yes. 11:40

6 183 Q. So if there were various consultants, district nurses
7 or nurses within that pathway --

8 A. Mm-hmm.

9 184 Q. -- then, would it be your view that it might be fair to
10 reflect that they had the opportunity also to allocate 11:40
11 a key worker and didn't do so?

12 A. Yes. It would be my reflection if there was other --
13 if the patients had seen another consultant or if they
14 had been admitted as an in-patient or if they had maybe
15 consultation with another Nurse Specialist from a 11:41
16 different, maybe, tumour site or a community nurse. If
17 they felt that a patient needed to be introduced to a
18 key worker with regards to their cancer, that could
19 have been, you know, I felt that could have been,
20 maybe, referred to the urology nurses. 11:41

21 185 Q. Just so I am clear, for example, there may have been
22 multiple opportunities for Mr. O'Brien to have
23 allocated a key worker that were missed and equally --

24 A. And equally.

25 186 Q. -- on some of the evidence, for example Patient 9, 11:41
26 there would seem to be key points in that patient's
27 care pathway in which other medics or nurses were
28 involved in which they also could have allocated a key
29 worker?

1 A. Exactly.

2 187 Q. And would it be your view that, given SAIs are into
3 events and not individuals, that the findings and
4 learnings from those SAIs might have better represented
5 those points were key worker rather than just
6 collectively refer to Doctor 1?

11:42

7 A. Yes, I felt that it was very much blaming Doctor 1.
8 whereas if you looked at some of the SAIs, there was
9 events, there was times that a key worker could have
10 been introduced by, maybe, another doctor or a 11:42
11 registrar or another Nurse Specialist. And that's
12 learning from the SAI that maybe there could be systems
13 put in process for referral to key workers from other
14 nurses or other doctors if a patient is presented
15 through their journey. 11:42

16 188 Q. So for learning, if the Trust were to roll out learning
17 --

18 A. Yes.

19 189 Q. -- it's better if they see all the weak spots in the
20 system, as it were?

21 A. Yes, exactly.

22 190 Q. If there are any. And try and address those as the
23 patient's journey continues?

24 A. Exactly.

25 191 Q. For example, if an individual patient has more than one 11:43
26 primary site and they are attending two specialist
27 clinics - and sometimes for people that happens almost
28 simultaneously - is there any communication or pro
29 forma or standardised approach to who should allocate

1 the key worker? Should they have one key worker?
2 should they have two key workers? Give us a flavour of
3 how that operates in practice?

4 A. If a patient has a prostate cancer and they also,
5 maybe, have a lung cancer, they do see the two 11:43
6 different Nurse Specialists with regards to their
7 particular cancer sites. If I had a patient that I was
8 reviewing, such as lung cancer, but had no key worker,
9 I would contact the lung Nurse Specialist to say I am
10 reviewing a patient and he has a newly diagnosed lung 11:44
11 cancer, I don't feel this patient has a key worker,
12 could you make contact with the patient.

13 192 Q. So you can do that?

14 A. I could do that, yes.

15 193 Q. You yourself can do that? 11:44

16 A. Yes.

17 194 Q. And any nurse or medical practitioner can do that,
18 healthcare practitioner?

19 A. Any nurse, yes, they could do that. There's not really
20 a pro forma. They could send an email or they can send 11:44
21 a letter to say I've had this patient and he has no key
22 worker, he is newly diagnosed cancer within your
23 speciality, could you see the patient.

24 195 Q. And you have mentioned earlier what could be considered
25 a safety net with the systems now in place, the CaPPS 11:44
26 and the documentation and reflection of key worker
27 allocation in parts of the Trust's own system?

28 A. Yes.

29 196 Q. So you would be able to look it up?

1 A. Yes. If this was recorded on NIECR and progress notes
2 you could see if the patient has been seen by another
3 Nurse Specialist. You can also look at CaPPS because
4 the patients would have different episodes recorded in
5 CaPPS. Such as if a patient has a lung cancer they 11:45
6 would be the lung MDT and you can view that lung MDT if
7 a CNS has been in contact with the patient.

8 197 Q. So there are different inbuilt fail-safes throughout
9 the system now that allow that to be picked up?

10 A. There is. That's right. 11:45

11 198 Q. In relation to the fail-safe issue around CNSs and
12 whether they in fact do represent a fail-safe for
13 follow-up treatment and community care, the tone of
14 your evidence is they are part of a system that allows
15 those processes to be accessed and for follow-up to be 11:45
16 looked at or triggered or phone calls to be made, but
17 there has been some pushback from some of the nursing
18 staff against the idea of, essentially, the buck stops
19 with them, if they are not involved then things
20 shouldn't be done, what's your view on that? 11:45

21 A. I felt that when the word of fail-safe, the other CNSs
22 felt that they were being blamed if a patient got lost
23 or wasn't followed up and that wasn't really the term
24 what Dr. Hughes was referring to, that the CNS is
25 throughout the patient's journey. They have good 11:46
26 contact with the patient and their relatives. They
27 will be aware of if the patient has been referred for
28 radiotherapy or for any treatment, such as, for
29 example, if a patient had been referred for

1 radiotherapy and they have not received an appointment,
 2 that patient can contact me and I could follow that
 3 query up of why the patient hasn't been referred yet or
 4 is there maybe a waiting list or maybe there is a delay
 5 in the referral. Also, too, such as if a patient needs 11:46
 6 palliative care, we can refer the patient to the
 7 palliative care team and that's done by an online pro
 8 forma form.

9
 10 It wouldn't be a safety net but it is a good standard 11:47
 11 of care for the patient to have when they are going
 12 through their cancer journey.

13 199 Q. And you would know all of the issues and care pathways
 14 that people might need to explore even within hospital
 15 or in the community, so it's that link? 11:47

16 A. It's that link, yes, that we can refer to, the likes of
 17 palliative care. Also, too, with the likes of the
 18 holistic needs assessment, we can refer patients out to
 19 -- such as if they have finished their treatment and
 20 they complain of fatigue they can be referred to the 11:47
 21 Move More programme, they can be referred to a
 22 rehabilitation programme, they can be referred to
 23 counselling. If there needs to be a referral to the
 24 community nurses to follow-up, we can access and put
 25 that referral in process. 11:48

26 200 Q. Now you have mentioned about the communication and we
 27 talked about that earlier, the importance of that and
 28 Fiona Reddick, in her evidence, commented that she felt
 29 underutilised on the team. who do you understand to

1 have been the person who contacted the families during
2 the SAI process?

3 A. It was Dermot Hughes and Patricia Kingsnorth were the
4 two that contacted the families.

5 201 Q. Do you know what they were told or what was discussed 11:48
6 with them specifically?

7 A. They were discussed with regards to the investigation
8 into their care that was managed by Doctor 1. They
9 went through the process of what their care and how it
10 could have been managed better. They asked had there 11:48
11 been any evidence of a key worker involved in their
12 care.

13 202 Q. Now Patricia Kingsnorth, in her evidence, said that you
14 had been asked to sound out, in an informal way, from
15 the nurses the way in which key workers were used, do 11:49
16 you recall that being asked of you?

17 A. I can recall it being asked just to say -- to find out
18 just how did Dr. O'Brien use key workers. It wasn't
19 written or it wasn't asked to me to ask specific
20 questions or to interview each nurse. I would have 11:49
21 asked informally with the likes of -- with Kate O'Neill
22 and Leanne McCourt and Jason Young, who had worked in
23 the Thorndale Unit as a Clinical Sister and then left
24 for a period of time and then came back as a CNS, did
25 Mr. O'Brien, on a Friday, did he call in the Nurse 11:49
26 Specialist when there was an oncology consultation.
27 And Kate O'Neill, obviously, didn't work Friday's so
28 she wasn't privy to that information. But with Leanne
29 and Jason and also with Dolores Campbell, they had

mentioned that no, he wouldn't have called the patients in to the consultations.

Now I am aware that Jenny McMahon did run a clinic parallel with Mr. O'Brien and that would have been with urodynamics and flexible cystoscopy, so he would have maybe had an input with Jenny. But after urodynamics was carried out on the patient he would have brought the patient back in for the consultation, so that Jenny wouldn't have been brought in to that certain consultation.

203 Q. Did you ask those individuals, in relation to clinics that are breaking bad news, clinics effectively where some people are getting results about cancer diagnosis, did you ask does Mr. O'Brien bring a nurse in or does he stop them coming in, what way were you querying that? I just noticed the word "informal" and I just wonder the way in which you maybe approached that?

A. I asked him would he have brought nurses in. I wouldn't have said did he stop nurses. I would have asked did he bring nurses in or invited them in. And they would have said no, they wouldn't have been brought in to the consultation.

204 Q. And they were people that had direct contact on the Friday clinic?

A. On the Friday clinic, yes.

205 Q. Now there has been some evidence to the Inquiry, Ronan Carroll, in one of his interviews with Dr. Hughes said that many of the nurses were afraid of Mr. O'Brien.

1 Now I know you didn't work with him, he had retired by
2 the time you joined so, obviously, anything you are
3 hearing is hearsay from others. Did you get a flavour
4 of that at all or did you hear anything about that?
5 A. I never heard that they were afraid of Mr. O'Brien. 11:51
6 They said he was very set in his ways, his culture.
7 But they never would say that they were afraid of him.
8 And I think they were just used to his delivery of
9 care, how he managed the key workers, I think they were
10 just used to that. It wasn't a case of they were 11:52
11 afraid of Mr. O'Brien.
12 206 Q. Now in relation to your involvement in the SAIs, is
13 there anything else you would like to add that might
14 assist the Panel in considering whether the
15 effectiveness of SAIs generally as a governance tool or 11:52
16 what you think, as having been on a team, might help
17 beyond what we have already discussed, is there
18 anything further?
19 A. I feel, obviously, training is very important for the
20 SAI. I think even informing a person what the SAI is 11:52
21 about. Because I had no knowledge really of the SAI
22 until I attended the day of the meeting. Now, the day
23 before I note that Kate O'Neill and Leanne McCourt were
24 doing a pathology Lookback Review on Mr. O'Brien and
25 they had discussed that with us and I had mentioned to 11:53
26 both Kate and Leanne that I was asked to be involved in
27 an SAI and I was querying would this have been about
28 Mr. O'Brien. They were unsure. But, obviously,
29 when I attended that meeting on 10th September, looking

1 at the SAIs then I realised or worked it out that it
2 was about Mr. O'Brien.

3
4 I think it is good to be notified what the SAI is about
5 because I did find the SAIs was very, very 11:53
6 comprehensive and very complex. A lot of it was very
7 emotional because a couple of the patients did --
8 I felt was very emotional about a couple of the SAIs.
9 And I think, too, counselling, if somebody could maybe
10 be very upset with regards to an SAI, because a patient 11:53
11 could have catastrophically been harmed and maybe
12 counselling may be something to consider.

13 207 Q. Some sort of outreach around patients who have been
14 involved in that process?

15 A. Sorry? 11:54

16 208 Q. Some sort of outreach in relation to patients who might
17 have been affected by the SAI process itself?

18 A. Yes, for the patients been affected by the SAI process.
19 And also staff as well, staff could value from
20 counselling. 11:54

21 209 Q. So while maintaining the confidentiality of the SAI,
22 when someone is asked they should be given a general
23 flavour of what it is about, what it might entail so
24 that you can make an informed decision as to whether
25 you want to be part of that team? 11:54

26 A. Yes, I would think that. But if I was informed of what
27 the SAI was about I would still have sat on the Panel,
28 because those patients and relatives were looking for
29 answers and it was something that needed to be

investigated and I didn't want to delay the investigation process. And it was also to look out, to look for another Nurse Specialists because they would have had to go outside the Trust or maybe had to go across over to the mainland to look for a Nurse Specialist.

11:55

210 Q. Thank you for that. Is there anything else about the SAIs that you would like to take the opportunity to say?

A. Nothing, no.

11:55

211 Q. The Panel may have more questions on that. But I just wanted to briefly touch upon the review and some of the updates you mentioned in your statement. One of the things you mentioned was a Urology Cancer Service Patient Engagement Report?

11:55

A. Yes.

212 Q. Could you give us a bit of background to that, is that a new development or is that something?

A. Sorry, that was carried out by Macmillan and this was like a peer review from -- we gave a list of patients who had a urological cancer, we gave a list of patients who had bladder cancer, renal cancer, prostate cancer, these patients were interviewed by a group of - patients who had been affected by cancer - on their journey and were they happy with the key worker role, did they feel that a Nurse Specialist was helpful in their journey.

11:55

11:56

213 Q. Has that report been published?

A. It has been published, it had been published last year.

1 214 Q. Perhaps we can get a copy of that?

2 A. Yes.

3 215 Q. And that's a reflection on the service as it was last
4 year based on peer review and patients?

5 A. It was based on Macmillan. 11:56

6 216 Q. Macmillan. Macmillan peer facilitators, is that it?

7 A. Yes.

8 217 Q. So they spoke to the patients one-to-one got their
9 feedback on what the service was like and the
10 engagement, especially in relation to -- or it includes 11:56
11 in relation to the CNS and that report has now been
12 completed?

13 A. Yes.

14 218 Q. So that would give us a snapshot of what was happening
15 at that time? 11:56

16 A. Yes, that report was about, you know, with the service
17 and with the key worker, it was with Macmillan. And
18 the interviews were carried out either via telephone or
19 by Zoom from the facilitator to the patients. The
20 patients were notified beforehand, where there had been 11:57
21 sent information to see if they want to consent?

22 219 Q. Take part in it?

23 A. Take part in it.

24 220 Q. Okay. So that's the update in relation to review. In
25 relation to learning, if I could just go to WIT-86667. 11:57
26 Hopeful that's paragraph 58.1. Yes, just down at the
27 bottom. You have been asked: "What do you consider
28 the learning to have been from a governance perspective
29 regarding the issues of concern within Urology Services

and regarding the concerns involving Mr. O'Brien in particular?" And you reply at 58.1:

"I consider the learning from a governance perspective regarding the issues of concern within Urology Services and regarding the concerns involving Mr. O'Brien to be strong leadership. A manager or a leader needs to have a skill to ensure staff don't overstep boundaries that can have an impact on the service. These need to be addressed. However, strong personalities can be difficult if issues have to be addressed by managers. I have mentioned issues in my answer to Question 56.

There was no capability process in place. I am aware that nursing staff go through a capability procedure if there have been concerns with their performance. Do procedures exist in this case for medical staff underperforming? There needs to be learning from this such as the use of the whistle blowing. Each Trust has a policy on whistle blowing but unfortunately staff are reluctant to use this, as they do not want to be seen as a trouble maker."

Let's just stop it at that one. The capability process that you refer to, is that specific to nurses?

A. There is a capability process for nurses if they are not performing.

221 Q. what does it involve?

A. It involves, from what my knowledge would be, that they

1 would undergo supervision, they would have a period of
2 mentorship and then this would be reviewed on a regular
3 basis to ensure that their practice has improved or
4 hasn't, you know, hasn't got any worse. They would
5 report to their mentors and report to their Nurse 11:59
6 Managers and then they would decide if the capability
7 process, then that can be finished.

8 222 Q. So someone is supported to address the concerns that
9 have been raised?

10 A. Yes. 12:00

11 223 Q. So that they can stay in post and patient safety is
12 paramount?

13 A. That's right.

14 224 Q. And you don't know if that mirror process applies in
15 any way to medics in urology and where you work at the 12:00
16 moment?

17 A. I wasn't aware when I was completing my Section 21.
18 However, I do -- I was made aware during the Inquiry
19 that Mr. O'Brien had been under a period of
20 supervision. 12:00

21 225 Q. In relation to the issue about whistle blowing, where
22 you have said that staff are reluctant to use this, is
23 that a general feeling that you have or is that just
24 something that because you don't really know any
25 whistle-blowers you assume that maybe people aren't 12:00
26 keen on going down that route?

27 A. Yeah. I feel I don't know a lot of whistle-blowers.
28 So people maybe are afraid to go down the route. If
29 there could be maybe a particular clinician or nurse

could have a very good personality or a big personality and liked by their staff, by their peers but their practice may be concerning, if somebody has maybe raised an issue, they may feel victimised because they have raised that issue about the person. But I don't know any -- I haven't come to any whistle-blower that has raised any issues.

12:01

226 Q. So the example you gave is an example of group think, where someone might be a popular member of staff or, perhaps, a very powerful member of staff in some staff's eyes and you say that the culture doesn't lend itself to someone standing up against those individuals?

12:01

A. Yes.

227 Q. Given that you work in the Trust and you have a lot of experience, is there anything that you can do about a culture like that? I mean, what would you suggest would be ways of getting around people's fear of raising issues because of the potential personality culture?

12:01

A. I feel that, maybe, such as, maybe, learning. Maybe sending staff on to courses such as leadership courses could, maybe, look at this, how to deal with conflict courses. In my last post I did a leader management course which I found was very useful and that looked at how to carry out appraisals, how to carry out maybe wanting to speak to a patient or to a member of staff and I did find that very useful. But I do think that maybe more training should be involved if somebody

12:02

12:02

- 1 wants to raise an issue or has a fear, maybe looking at
2 policies and highlighting and bringing policies to
3 staff.
- 4 228 Q. Ownership around policies, if people feel involved in
5 policies and then they feel more comfortable seeking 12:02
6 them to be enforced perhaps, is that what you mean?
- 7 A. Yes, taking more ownership in the policies, such as
8 policies dealing with working well together or policies
9 on conflict or policies on bullying or harassment and
10 looking at the policies on whistle blowing or raising a 12:03
11 concern.
- 12 229 Q. I think you mentioned the management course you were
13 on, do you think that raising staff confidence
14 generally through courses like that allows them then to
15 perhaps have a stronger voice when they feel they need 12:03
16 to use it?
- 17 A. Yes, I do. I found it a very useful course. It was a
18 two-day course that I attended and I found it was very
19 useful with the likes of, maybe, staff appraisals.
20 Also, too, with the service, looking at if staff wanted 12:03
21 to maybe look at service provision, seeing where the
22 need was. And it was just I found it a very useful
23 course that a colleague in my previous post attended
24 the course. And even other courses such as managing
25 your emails, they are all useful courses that could 12:04
26 help with any issues.
- 27 230 Q. Courses that are more to do with your role than your
28 actual professional training?
- 29 A. Yes, exactly.

1 231 Q. You don't need those tasks until you come into that
2 professional capacity. In relation to the learning
3 from the SAIs, was there or is there a way in which any
4 learning or findings are rolled out to staff so that
5 people know what happened and what needs to be done so 12:04
6 that it doesn't happen again?

7 A. In the SAIs, the nine SAIs?

8 232 Q. Those ones specifically and then your understanding now
9 if it has changed?

10 A. Yes. The overarching report obviously was rolled out 12:04
11 to the team and now what learning has come from that is
12 we ensure that, especially for the key worker, a key
13 worker is always available at the clinics. Obviously
14 the more members of staff that's available. We have
15 more members of the medical team. We have more middle 12:05
16 medical staff available. We have physician associates
17 available. We look at competencies.

18 233 Q. You have a greater use of the computer systems to mark
19 when, for example, a key worker has been allocated?

20 A. Yes. 12:05

21 234 Q. Would it be fair to say there has been a general
22 filtering out of the concerns that were identified in
23 the SAI in the hope that they can be limited, that any
24 repetition will be reduced?

25 A. For the likes of our documentation, the likes of the 12:05
26 progress reports and CaPPS, that is an excellent way
27 that we can look at. If there was an issue about a key
28 worker, we can look at this and see that there has been
29 a key worker available because we can go back and

1 that's recorded.

2 235 Q. Do you think, given that you were in a unique enough
3 position to be on the team and to be part of the
4 department that was to be involved in rolling out the
5 learning, do you think, on reflection, it would have 12:06
6 been better to embed the learning in a different way or
7 to inform staff in a different way of what had been
8 discovered and how that can be remedied? With
9 hindsight, do you think they should have maybe had a
10 meeting or spoke to managers and really, really drilled 12:06
11 down into what the issues were?

12 A. I think, yes, I think there should have been a meeting
13 with the CNSs from Dermot Hughes and Patricia
14 Kingsnorth, the interview with regards to any issues
15 that have come up with the SAIs. The overarching 12:06
16 report was discussed at a meeting in February 2021,
17 that was the first really information that the CNSs had
18 received about the SAIs or about the outcome of the
19 SAIs.

20 236 Q. And that was post the outcome? 12:06

21 A. That was post outcome.

22 237 Q. And they were given a copy of the report and they
23 provide their own feedback so there was that route?

24 A. Yes.

25 238 Q. But are you saying that there should have been a more 12:07
26 formal look at this, this is the issue, how are we
27 going to address this sort of meeting?

28 A. Exactly, I think there should have been. Well, I do
29 feel there should have been a more formal meeting with

1 the chair and Patricia Kingsnorth of the SAIs to speak
2 to the Nurse Specialists with regards to any issues
3 that they felt with regards to the key worker.

4 239 Q. And having been closely involved in those nine SAIs, 12:07
5 how confident would you be that the issues that were
6 raised in those SAIs and the fallout, perhaps, from
7 those issues wouldn't be repeated today?

8 A. I am very confident it wouldn't be repeated today as we
9 have more members of staff, we ensure that clinics are
10 covered for a key worker to attend. Medical staff. A 12:07
11 couple of the consultants do have outreach clinics or
12 satellite clinics in Daisy Hill Hospital in Armagh
13 Community Hospital, we ensure that those clinics are
14 also covered with a key worker so no patient, just
15 because that's -- 12:08

16 240 Q. Their location?

17 A. Yes, their location. Also, if, unfortunately, a key
18 worker cannot be available at the consultant's clinic -
19 and this could be due to sick leave or study leave -
20 the consultant is made aware, the consultant copies us 12:08
21 into the letter and we are cc-ed and we are sent the
22 letter to make contact with the patient and to send out
23 the relevant information.

24 241 Q. So there is much greater communication, much greater
25 awareness of where things might fall down? 12:08

26 A. A lot better awareness. And it's a lot tighter now
27 than what it had been prior to the nine SAIs.

28 242 Q. Mr. Devlin, the former Chief Executive, gave evidence
29 and he does indicate in his statement, just for the

Panel's note, at paragraph 74, what he considers to have been the outworking of the SAIs - and I can discuss that with Mrs. O'Kane - but from your practical level, you feel assured that any gaps in provision or weaknesses in the system have been addressed?

12:09

A. Yes, these have been addressed. We ensure that all our key worker clinics are covered or their post-MDM clinics are covered. Even if a consultant needs to see a patient, that's what they call a hot clinic, it's an ad hoc that has maybe come in that needs to be seen urgently, such as a patient with metastatic prostate cancer or a testicular tumour, we still ensure that there is a nurse available and we will provide information. We also make sure that information is available, especially at the outreach clinics. We have a surplus supply of Cancer Core Packs and site-specific information with our contact details.

12:09

12:09

MS. MCMAHON: I don't have any more questions in relation to that. Unless there is anything you would like to add or anything you think from your statement we should discuss. But I think I have tried to cover most of the areas. But if there is anything else you would like to say this is the opportunity to say it?

12:09

A. Just that since the nine SAIs, since I started, the service has developed more with the additional of the new CNSs that we are having available at the key worker clinics. We also, again as I mentioned previously, we're looking at succession planning. We're looking at training. Also with myself hopefully being trained up

12:10

1 in the transurethral laser ablation, that will give me
 2 more scope to have more flexible cystoscopy clinics.
 3 Also, the new appointments of staff has given Leanne
 4 more scope to have her TP biopsy service. We did come
 5 up very, very well with the GIRFT report and we were
 6 noted to be one of the top CNS teams who had developed
 7 the roles, no other nurses in Northern Ireland was
 8 carrying out TP biopsy service. There was very few
 9 nurses in Northern Ireland that actually have a
 10 flexible cystoscopy service. Jenny also is the only
 11 nurse that carries out flexible cystoscopy with
 12 administration of botox as well in Northern Ireland.

12:10

12:11

13 MS. MCMAHON: Thank you for all of the information.
 14 I am sure the Panel can consider that. And they might
 15 have some questions for you, but I'm finished with my
 16 questions. Thank you.

12:11

17 CHAIR: I can't let you go just yet, Mrs. Thompson.
 18 Mr. Hanbury will have some questions first of all.

19
 20 MRS. PATRICIA THOMPSON WAS THEN QUESTIONED BY THE PANEL
 21 MEMBERS, AS FOLLOWS:

22
 23 243 Q. DR. HANBURY: Thank you very much for your evidence.
 24 You will be pleased to know you have answered quite a
 25 lot of my questions already, so I'll stick to a few
 26 clinical things. You say when you started the kidney
 27 cancer follow-up was a little bit ad hoc, could you
 28 just expand on that? You mentioned about patients not
 29 being seen perhaps as regularly as they should have

12:11

1 been?

2 A. In the kidney cancer follow-up?

3 244 Q. Yes.

4 A. The kidney cancer follow-up, these patients had been
5 reviewed by the consultant, they had never seen a 12:12
6 consultants face to face. They would have had their
7 annual or their surveillance scans and they would have
8 attended the scans and received a letter from the
9 consultant informing them that their scan results shows
10 a stable disease and they will have a repeat scan in 12:12
11 12 months. Those patients never really had any other
12 contact except within they attended for their scans and
13 received the letter from the consultant. Having the
14 kidney cancer follow-up, these patients now have a
15 contact with myself. They would have a contact within 12:12
16 six months, every six months or every year. I would
17 discuss with the patients with regards to is there any
18 concerns about, if they are maybe feeling that they
19 have got unexplained weight loss or if they have any
20 night sweats, any fatigue or new symptoms such as the 12:12
21 blood in the urine. They like to have that contact
22 with the nurse on a regular basis, so it has improved.

23 245 Q. Thanks. And you actually see them face to face or is
24 that remote?

25 A. It's both. Some patients are face to face and some 12:13
26 patients are virtual. It all depends, if it is an
27 elderly patient who is unable to attend hospital, yes,
28 I would see them face to face or, sorry, see them
29 virtual. If it is a patient who requires an

1 interpreter, it's better to see the patient face to
2 face. Some patients maybe prefer to attend a hospital
3 appointment rather than have a phone call or virtual.

4 246 Q. You say you organise the bloods and the CTs or
5 ultrasounds yourself? 12:13

6 A. That's right.

7 247 Q. But there is still this frustration that the results
8 don't come back to you primarily?

9 A. That's right.

10 248 Q. Is that something that you can fix or? 12:13

11 A. For the imaging unfortunately, as I had previously
12 mentioned, it's a regional issue with NIECR. However,
13 I have completed a form to the labs, so I can get a
14 code that, when I'm carrying out any bloods or anything
15 such as urine for cytology, I can be notified myself 12:14
16 with regard to the results would be available.

17 249 Q. Thank you. Your protocol for this is very impressive,
18 is that your own work, is that a protocol thing? Have
19 other colleagues used that?

20 A. That is my own work. I had completed that protocol, 12:14
21 that guidelines when I worked in the South Eastern
22 Trust and then I transferred the protocol and adapted
23 it to the Southern Trust.

24 250 Q. Does that use sort of BAUS or European guidance is
25 embedded with that, I think I saw that? 12:14

26 A. It is, yes.

27 251 Q. Okay. Just looking at, not all patients are post
28 nephrectomy and some you are following small kidney
29 matters, and we have seen problems with that in one of

1 the SAIs that you looked at. If patients, for example
2 you're following a small kidney mass, it gets bigger do
3 you have easy access back to MDM, is that discussed at
4 a regional level, what's the process?

5 A. If I had CT results that come back and is showing an 12:15
6 increase in the kidney mass, I would bring this to our
7 local MDM. However, they may suggest that it goes to a
8 small renal mass meeting to be discussed to see if the
9 patient would require at that stage maybe a partial
10 nephrectomy or a nephrectomy or ablation. 12:15

11 252 Q. How is that actually done, is that part of your MDM or?
12 A. When I bring it to our local MDM.

13 253 Q. The small renal mass?
14 A. And the small renal mass, the small renal mass gets
15 referred on another pro forma and that is sent by the 12:15
16 cancer tracker. Then that is sent to the small renal
17 mass meeting, which is held twice monthly.

18 254 Q. And that's at?
19 A. At the Belfast City Hospital.

20 255 Q. At Belfast. So that's sent as an intra-trust transfer? 12:16
21 A. Yes, it's intra-trust. Unfortunately, we don't have
22 availability, you know we don't attend that small renal
23 mass meeting. We would receive the outcome from the
24 cancer tracker or CaPPS would give us information of
25 what the outcome was. 12:16

26 256 Q. So that's a much more robust system that was perhaps in
27 place --

28 A. It is, yes.

29 257 Q. -- leading up to your time. Thank you. Moving on to

1 sort of bladder cancer anaphylaxis - that's very
2 impressive what you say - do you also give bladder
3 chemotherapy and BCG yourself, or is that done by a
4 colleague?

5 A. That's done by a colleague. We have a full-time Band 6 12:16
6 nurse who administers the bladder mitomycins and the
7 BCGs. She also administers the cystistats and the
8 iAluRil treatments. She has a very good rapport with
9 the patients. She would be even seen as their key
10 worker, because some of these patients do require 12:16
11 maintenance treatments so they are attending this nurse
12 for a period of time.

13 258 Q. Okay. Thinking about one particular case we heard on
14 earlier this week that had an original small bladder
15 tumour, then seemed to be lost to follow-up because of 12:17
16 pathology delays and MDM, now presumably when you
17 personally pick up a new bladder tumour you can
18 introduce yourself, I mean would that happen now, do
19 you think? I mean, you don't do all the flexible
20 cystoscopies, I guess, or maybe you do, can you just 12:17
21 expand on that?

22 A. Well I wouldn't do all the flexible cystoscopies. Some
23 of the flexible cystoscopy referrals do get sent out to
24 the independent sector. They would have a contract
25 with the Trust and they would be seen by urologists who 12:17
26 either work in Northern Ireland or come over from
27 England to see these patients. I haven't been aware of
28 any patients that have been lost to follow-up, a lot of
29 patients do come back. I would actually receive

correspondence from the Trust clerical staff who deal with the patients that have been sent to the independent sector advising about the outcome of the patient's flexible cystoscopy and I would liaise with secretaries which will now have to liaise with the scheduler if the patient needs a repeat cystoscopy or if they need followed up at MDM.

12:18

259 Q. And that's the history, your comment about there being a backlog when you started and people waiting too long for their first check cystoscopies particularly?

12:18

A. That's right.

260 Q. Now that has greatly improved, is it?

A. That has improved, yes.

261 Q. Thank you. In 2015 there was a review of patient experience and the oncology specialist nurses mentioned 75% had been introduced, obviously the implication is 25% weren't, what do you think should have happened at that time?

12:18

A. They should obviously have looked at where the deficits were and there should have been maybe plans put in place such as, if 75% or 25% patients weren't introduced to a key worker, they should have looked at this and looked at maybe is there a need for more staff. They should have obviously written up a job plan or referred. They could have maybe trained up some of the Band 5 nurses to be available to give information. I know they couldn't do the role of the key worker but at least if the patient had information.

12:19

262 Q. And who should have done that? Is there someone higher

12:19

1 up in the organisation that --

2 A. For myself it would be hard for me to really answer
3 that question for the Southern Trust because I, at that
4 time I was in the South Eastern Trust. I was aware of
5 the survey of 2018. There was obviously a deficit in 12:19
6 some of the answers, and our Nurse Manager did look at
7 some of the deficits. We tried to look at job plans to
8 see -- because my job plan in the South Eastern Trust
9 was both benign and cancer, and I was Macmillan, tried
10 to see was there an area in the benign side of my job 12:20
11 plan that I could step down or allocate to somebody
12 else and I could work on the key worker.

13 263 Q. Thank you. Nearly there. Just one other question
14 about the specialist part of the MDT. You have already
15 said the small kidney masses, they go down a separate 12:20
16 avenue. Things like muscle invasive bladder cancer,
17 perhaps patients coming up to cystectomy; and another
18 group, younger patients with prostate cancer being
19 considered for radical surgery, do they also go on an
20 ITT or are they discussed at your local MDM but with 12:20
21 colleagues on the telelink or the videolink?

22 A. They are discussed at our local MDM. They can be
23 referred to the regional for discussion if the patient
24 is suitable for radical prostatectomy or if they need
25 cystectomy. Mr. Haynes, who sits on our MDM, does do 12:21
26 the cystectomies, so if patients who require that are
27 discussed in our local MDM.

28 264 Q. So you actually have specialist expertise locally?

29 A. Yes, we do.

1 265 Q. Fantastic. Just very lastly. Now you say you have got
2 a clinical oncologist and a medical oncologist there.
3 So, for example, if a new testicular cancer comes in,
4 your medical oncologist will pick that up or hear about
5 it at your local MDM? 12:21

6 A. The testicular cancer is discussed at a specialist MDM
7 and that is a testicular MDM. They are discussed at
8 our local MDM, but if they need referral they are
9 discussed or, if they are referred, they are discussed
10 at a testicular MDM and a referral is processed to the 12:22
11 testicular team in the Belfast Cancer Centre.

12 266 Q. The fact that the medical oncologist is there must oil
13 the wheels to make that happen efficiently?

14 A. It does, yes.

15 267 Q. And prevent people slipping through the net, to use 12:22
16 that expression?

17 A. Yes.

18 DR. HANBURY: Okay. Thank you very much.

19 CHAIR: Dr. Swart?

20 268 Q. DR. SWART: So I think you have described quite well a 12:22
21 complete change in culture in terms of the attitude to
22 the importance of key workers in urology in the
23 department at Craigavon from the time you started there
24 perhaps --

25 A. Yes. 12:22

26 269 Q. -- spurred on by this series of SAIs at the time. That
27 change in culture means that the whole department
28 really has to work together and support it, which
29 I think you have also alluded to, this is not a one

1 person task ever?

2 A. No.

3 270 Q. How did you feel, when you were on that SAI Panel and
 4 you discovered that all of these patients had basically
 5 not had access to a key worker for whatever reason, 12:23
 6 and, as you were feeling that, did you talk to the
 7 other nurses about it and how did they feel about it?
 8 what was your sense of the impact of this?

9 A. Well, I was upset to know that the patients, the
 10 majority of the patients didn't have access to a key 12:23
 11 worker. When it was discussed with my colleagues, they
 12 were upset to know that these patients hadn't a key
 13 worker. They did meet about two or three of the
 14 patients but this was after the issue, the concern was
 15 raised and the Datix had been completed. But they were 12:23
 16 upset as well with regards to -- that patients were
 17 lost, they didn't have the service that they should
 18 have received.

19 271 Q. Do you think the department as a whole really
 20 understood that this was a whole department team 12:24
 21 responsibility at that time?

22 A. I feel -- initially they felt that it was blamed on
 23 Doctor 1 because he didn't call patients in. But then
 24 an overview that there was maybe --

25 272 Q. Mm hmm. 12:24

26 A. -- episodes where patients could have access to key
 27 worker, such as when they were admitted to the ward or
 28 when they attended an ambulatory clinic or when they
 29 attended for another appointment such as urodynamics.

1 There is more awareness now that these patients could
 2 be --

3 273 Q. My own experience over the years is that you can
 4 always, even if you haven't got a nurse actually
 5 available, you can always arrange it afterwards, if it 12:24
 6 really is important to you?

7 A. Yes.

8 274 Q. But the thing that makes the difference is the team
 9 culture of discussing what's important for patients?

10 A. Mm hmm. 12:25

11 275 Q. Does that happen now, do you feel properly involved in
 12 framing the strategic discussions for the department?

13 A. Yes, I do feel very involved in framing the strategic
 14 [sic] for the department. There is that culture now,
 15 that they very much -- they want key worker. Our 12:25
 16 manager wants to ensure that there is key worker
 17 available.

18 276 Q. What other issues? I mean, this is the department
 19 which would have gone through a hugely difficult time,
 20 you have described lots of improvements, lots of really 12:25
 21 good nurse initiatives, the future is all about
 22 professions working together?

23 A. Yes.

24 277 Q. But you have to plan it; are you getting support as a
 25 department to plan the strategy going forward? 12:25

26 A. Yes. We are being supported as departments, being
 27 supported from the consultants, our management is
 28 supporting. Everybody is very much -- we have, at our
 29 team meeting every month, we do have a lunch prior to

1 the team meeting. We have away days to work together
2 as a team to see -- like team building days, to work
3 together.

4 278 Q. Is that having a positive impact?

5 A. It is having a positive impact because we are 12:26
6 discussing any issues or any concerns we have maybe to
7 work as a team. There isn't as many -- to my knowledge
8 I don't see any concerns as a team. I think we work
9 very well together, we're very tight.

10 279 Q. And specifically the whole issue of specialist nurse 12:26
11 development, who is giving you your professional
12 nursing leadership, mentorship, challenge, development,
13 both in the trusts and in Northern Ireland as a whole,
14 is that being taken forward in a way that you can
15 recognise or is that still something that needs some 12:26
16 work?

17 A. It is probably something that would need some work. We
18 do have good nursing support, our managers gives us
19 good nursing support.

20 280 Q. But is that in a specialist cancer field at all, is it 12:27
21 people saying, look, like this is what is happening?

22 A. There used to be -- Queen's would have done a
23 specialist nurse qualification.

24 281 Q. Mm hmm.

25 A. That would have been, especially for cancer that would 12:27
26 have been oncology. There is also the push for doing
27 the non-medical prescribing. Also there is a push for
28 the advanced nurse practitioner.

29 282 Q. So where is that coming from? Who within the Trust is

1 championing that, do you know where to go with all your
2 brilliant ideas?

3 A. I would go to the management. There is the education
4 department in the Southern Trust. There is Commission
5 courses to attend for the likes of the specialist 12:27
6 practice or the non-medical prescribing or advanced
7 nurse practitioner.

8 283 Q. Perhaps not the network in Northern Ireland wider that
9 you talked about before?

10 A. No, unfortunately we don't have that network. 12:28

11 284 Q. This issue about getting results and all of that, is
12 there a working party pushing this forward to resolve
13 some of this, because it's quite clunky, isn't it?

14 A. It is quite clunky. As I had previously mentioned, we
15 went to our managers to see and filled in forms, filled 12:28
16 in online forms to the laboratories so we could be
17 given access to blood results, to urine results and to
18 cytology results. The only unfortunate is just the
19 imaging results we cannot have access to.

20 285 Q. This is a UK-wide problem, isn't it? 12:28

21 A. It is.

22 286 Q. Are you aware of any work that's been done to unravel
23 this, because it's not really logical for nurses to
24 take on more and more specialist tasks and more and
25 more responsibility, and the system needs them to do 12:28
26 that --

27 A. Yes.

28 287 Q. -- without giving them the tools?

29 A. Yes.

1 288 Q. Or a range of tools?

2 A. I'm not aware of any work in progress at present.

3 DR. SWART: Okay. Thank you very much.

4 THE WITNESS: Thank you.

5 289 Q. CHAIR: A couple of things from me. You were saying 12:29

6 the DARO system that operates in the Southern Trust and

7 how it would be useful to have access to that, I mean

8 we're talking about the clunkiness of systems here.

9 But you can say you can find the reports that are back

10 through Sectra and the ECR, so I am just wondering why 12:29

11 then do you feel the need to have access to DARO as

12 well, because is that not just another means to find

13 out the same thing that you can at the moment?

14 A. The DARO would obviously notify, they issue a report.

15 It's only by myself that I go into NIECR, if I have 12:29

16 requested a CT scan on the patient I would go into that

17 myself to look for the patient's CT report.

18 290 Q. Okay. So you have to be proactive to go and find

19 whether the result is back whereas DARO might tell you

20 it's back? 12:30

21 A. It's back.

22 291 Q. So that would be the advantage there?

23 A. Yes. It's just me being proactive that I am looking

24 for the results.

25 292 Q. Now when you came to the Southern Trust you were 12:30

26 clearly familiar with the CaPPS process and following

27 up through that as a key worker and as a Cancer Nurse

28 Specialist, why do you think the nurses, your

29 colleagues, why did you have to tell them about it, why

1 did you have to train them, why were they not aware of,
2 do you know?

3 A. I don't know. I think it was just something that they
4 didn't use. They probably were aware of CaPPS, but
5 they probably were unaware that they could have 12:30
6 recorded their consultations with the patients. They
7 probably were unaware that they could look up MDMs that
8 maybe has future MDMs. It was something that they just
9 didn't use.

10 293 Q. My point really is why not. I mean, was that a result 12:31
11 of resources or training, why were they not aware in
12 the Southern Trust of what you were aware of in the
13 South Eastern?

14 A. It could have been for resources. It could have been
15 maybe they weren't aware of the advantage of CaPPS. 12:31
16 They maybe had a lack of training in that system.

17 294 Q. Okay. Talking about how they felt when they found out,
18 when you were sent, during the SAI process when you
19 were sent informally to speak to them and they were
20 telling you they weren't called into consultations with 12:31
21 Mr. O'Brien even if they were available to do, as you
22 said Jenny was doing a test but she wasn't then brought
23 in for the discussion about that test with the patient.
24 You say that Ronan Carroll was wrong in saying that
25 they were afraid of him, but do you think that there 12:32
26 was an issue here about the strong personality that
27 they couldn't challenge, was that something that came
28 across to you?

29 A. I believe that it could have been his strong

1 personality, that they wouldn't have challenged
 2 Mr. O'Brien why they couldn't attend his consultation.
 3 I know Jenny felt that he had done a holistic approach
 4 to his care, but I feel it was more his strong
 5 personality that they felt they could not challenge. 12:32

6 295 Q. And do you think that -- I mean in informal discussions
 7 with him do you feel that that was true of other
 8 consultants? would they have been able to say to
 9 another consultant, 'you really should have me in
 10 there' or not? 12:32

11 A. They were able to speak to other consultants and advise
 12 the consultants that I would be available or I would be
 13 present at your clinic today to see a post MDM patient.
 14 They would have just been -- they just would be
 15 present. It wouldn't have been a case of having to 12:33
 16 challenge the other consultants or to ask the other
 17 consultants could they attend.

18 296 Q. So, just to be clear then, in terms of them attending
 19 the other consultants who were there at the same time
 20 as Mr. O'Brien, there was never an issue with a key 12:33
 21 worker being present at the consultations, it was only
 22 in relation to Mr. O'Brien?

23 A. It was only in relation to Mr. O'Brien.

24 297 Q. Okay. whenever they discovered -- well, first of all,
 25 I mean you have explained to Dr. Swart how you felt 12:33
 26 when you discovered that these nine patients didn't
 27 have key workers, and your colleagues were very upset
 28 when they found out also, did anybody ever get to the
 29 root as to why that had happened and why those

1 patients, did you ever get an explanation as to why
2 that had happened?

3 A. No. Nobody looked in to see why it happened and why
4 those patients did miss out on the key worker.

5 CHAIR: Okay. Thank you very much, Mrs. Thompson.
6 I think that's it?

12:34

7 MS. MCMAHON: Yes.

8 CHAIR: I think that actually concludes our evidence
9 for today. I know there was some suggestion that
10 Mr. Wolfe was going to give some sort of opening
11 statement for what's to come, but that isn't happening,
12 Ladies and Gentlemen, so you're getting a shorter day
13 today. We'll see you again next Tuesday at ten
14 o'clock. Thank you.

12:34

15
16 THE HEARING WAS CONCLUDED

12:34