



Oral Hearing

Day 64 – Tuesday, 10th October 2023

Being heard before: Ms Christine Smith KC (Chair)
Dr Sonia Swart (Panel Member)
Mr Damian Hanbury (Assessor)

Held at: Bradford Court, Belfast

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

Gwen Malone Stenography Services

I N D E X

W I T N E S S

P A G E

MR. MEHMOOD AKHTAR

Examined by Ms. McMahon..... 3

Evidence to Tribunal..... 111

1 THE INQUIRY RESUMED, AS FOLLOWS, ON TUESDAY, 10TH
 2 OCTOBER 2023

3
 4 CHAIR: Good morning, everyone. Mr. Akhtar.

5 MS. McMAHON BL: Good morning. The witness this
 6 morning is Mr. Akhtar who was a Consultant Urologist
 7 for a time at Craigavon. I understand he wishes to
 8 take the oath.

10:02

9
 10 MR. MEHMOOD AKHTAR, HAVING BEEN SWORN, WAS EXAMINED BY
 11 MS. McMAHON, AS FOLLOWS:

10:02

12
 13 MS. McMAHON BL: Mr. Akhtar, we have met before. My
 14 name is Laura McMahon. I am junior counsel to the
 15 Inquiry. Can you hear me okay?

10:03

16 A. I can hear you okay. Can you also hear me?

17 1 Q. Yes, we can hear you loud and clear. I am going to
 18 take you through your evidence. First of all, I'm
 19 going to ask you some -- I'm going to ask you about
 20 your Section 21 notice that you filled in for the
 21 Inquiry. It starts at WIT-41831. If you can have
 22 that, please. You'll see your name at the top of the
 23 page. It is Section 21 notice, number 56 of, 2022 date
 24 of notice was 1 June 2022. If we go to pH WIT-41873
 25 you should see your signature.

10:03

26 A. Yes. 41873, yes.

27 2 Q. You recognise that as your signature that has been
 28 imposed on to that document.

29 A. Yes.

10:04

1 3 Q. Dated 29 July 2022?

2 A. Yes.

3 4 Q. You wish to adopt that as your evidence?

4 A. That is my evidence. This is the date, that is correct

5 when I submitted it yes, please. 10:04

6 5 Q. Thank you. For the Panel's note, the enclosures with

7 that are WIT-41874 to 41944?

8 A. Yes.

9 6 Q. I just want to -- the context of your evidence is that

10 for a time in your career you worked as a Consultant 10:05

11 Urologist in the Southern Health and Social Care Trust

12 and that was the period of September 2007 to 30 March

13 2012.

14 A. That's correct. I was --

15 7 Q. Just before I go in to ask you about your time there, 10:05

16 could you just set out your employment history for the

17 Panel as you've set out in your Section 21. Just your

18 various roles to that date.

19 A. From the very start I graduated in 1989 after my

20 initial training in Pakistan. I moved to Republic of 10:05

21 Ireland where I did the general surgery rotation.

22 Along with that I also passed my FRCS. I joined the

23 Urology Team in Beaumont Hospital in 1998 and completed

24 my training in 2002 when I was granted the special

25 register in Republic of Ireland. Then I worked as 10:06

26 a locum consultant in Republic of Ireland before

27 I moved to Cambridge in 2005. Addenbrook Hospital, for

28 further training. My first substantial post was the

29 one in Craigavon which I was successful in the

1 interview, I think the interview was carried out in
2 March 2007, and I joined the post in September 2007.
3 I don't remember the exact date but I think it was the
4 start of September.

5
6 Then from there I carried on as a surgical consultant
7 up to 30 March 2012, but I moved to mainland UK at
8 Halford, NHS Trust, where I am currently employed as
9 a Consultant Urologist still to date.

10:06

10 8 Q. When you left Craigavon, the post that you went to
11 you're now in.

10:06

12 A. Yes, that's the same. I am in the same post.

13 9 Q. What I would like to do with your evidence is, I want
14 to set down some background of what your roles and
15 responsibilities were when you joined Craigavon. Then
16 I want to go into some detail.

10:07

17
18 The Panel has heard a lot of evidence to date. I've
19 tried to take the key issues from your witness
20 Statement or from others that might inform their
21 deliberations and their recommendations. So obviously
22 your Section 21 stands alone as your evidence, we have
23 that, we don't need to go through that in any
24 particular detail but what we need to do is highlight
25 some parts of that. So my questions to you will be
26 directed towards information that I think the Panel may
27 make best use of. That doesn't preclude you adding
28 anything, but I'm going to try to stay nice and
29 focused. I know you have you for the day and I would

10:07

10:07

1 like to finish your evidence comfortably in that time.
 2 So with a fair wind we will perhaps be able to achieve
 3 that.

4 A. Sure.

5 10 Q. I just want to go to some parts of your statement from 10:08
 6 the outset, your Section 21, just to give the Panel
 7 a flavour of what things were like in 2007 when you
 8 were in post. If we go to WIT-41832, paragraph 1.2.
 9 You set out your role and I'm just going to read this
 10 into the record: 10:08

11
 12 "Role of Consultant Urologist: In my substantive post
 13 as Consultant Urologist, clinical duties included
 14 regular weekly clinics, theatre sessions, peer review
 15 ward round, attending to admin work in a timely manner 10:08
 16 and a weekly radiology meeting. I started to attend
 17 local and regional MDT when established in late 2009.
 18 We used to have a monthly business meeting to discuss
 19 the KPI, like number of patients on waiting list and
 20 for follow-up in clinic and arrange any extra work to 10:08
 21 reduce the WLI and the FU."

22
 23 Could I ask you about those acronyms. The KPI, "Key
 24 Performance Indicators", is that --

25 A. It's key performance indicators. 10:09

26 11 Q. And the WLI?

27 A. It is a "Waiting List Initiated work" which is done
 28 above and beyond your NHS commitment. That is
 29 reimbursed or enumerated at an agreed rate at the

1 NHS Trust.

2 12 Q. And FU, just at the end of your sentence, what does
3 "FU" stand for?

4 A. Sorry, what was that word?

5 13 Q. WLI and FU? 10:09

6 A. FU, "follow-up".

7 14 Q. Follow-up, okay. Thank you.

8 A. It means to review the patients again.

9 15 Q. We have to make sure we understand the acronyms so that
10 when we are looking back everyone knows what they mean. 10:09
11 If we could go to paragraph 34.1 at WIT-41852.

12 A. Can I pull that out on my screen or do you have it on
13 your screen?

14 16 Q. I have it on my screen. I'll read it out to you if you
15 don't have your Section 21 in front of you. 10:10

16 A. I have the screen and I can see on that, but is there
17 a screen I can see?

18 CHAIR: Mr. Akhtar, do you have a bundle of papers with
19 you that was provided?

20 A. I do. 10:10

21 CHAIR: It should be within that bundle. If we give
22 the page reference maybe?

23 A. Please do.

24 MS. McMAHON BL: The Section 21 is the first document
25 in your witness disclosure bundle. 10:10

26 A. Yes, I do have it.

27 17 Q. Paragraph 34.1 of your Section 21.

28 A. Yes, what's the page number?

29 18 Q. Page 45 of the bundle.

1 A. Yes, I am there. Paragraph number?

2 19 Q. Paragraph 34.1. This question we asked you generally
3 about your engagement with urology staff and both
4 formally and informally, and asked you to set out the
5 details of your meetings within the unit, and generally 10:11
6 how long they lasted and what the meetings might be
7 about. 34.1 your answer is:

8

9 "Apart from clinical engagement, every member had
10 a schedule of meetings weekly for discussing the 10:11
11 patient management or any operational issues. Below is
12 a schedule of the regular team meetings. Thursday
13 morning: Radiology meeting to discuss the complex
14 cases and their management. Held for 60 to 90 minutes
15 in the radiology Department; 10:11

16

17 (b) peer review ward round attended by all consultants,
18 middle grades, ward staff and clinical specialist
19 nurses. During this round we used to see all patients
20 in ward and discuss good practice; 10:11

21

22 (c) informal meetings of clinical staff (consultants
23 and middle grade) at breakfast after rounds;

24

25

26

27

28

29

1 (d) Thursday afternoon business meeting with Trust
2 Business Manager to discuss the referrals, concerns,
3 Datix and complaints;
4

5 (e) Local MDT started in late 2009 on Thursday 10:12
6 afternoons, followed by regional MDT, via video-link;
7

8 Urology Steering Group meetings started in late 2009,
9 early 2010, every Monday evening in Trust offices on
10 the first floor. These meetings were attended by the 10:12
11 Director of Acute Services, Dr G Rankin and her team,
12 Associate Medical Director, Mr. Mackle, and Urology
13 Consultant's team."
14

15 The terms of reference for that meeting included: 10:12
16

17 "Implementation of urology review plan, discuss the
18 capacity and demand issue and agree a new job plan in
19 line with the increasing workload of the Department."
20

21 If I stop there just to summarise some of that. This 10:12
22 was a time of particular change around Urology, just
23 after you joined, 2007. 2009 saw the review of Urology
24 services and then plans to implement a new way of
25 delivering that service that was hoped to be more 10:13
26 efficient and cost effective. So you were there during
27 that and at the start of that.
28

29 Could you just tell the Panel who the other Consultants

1 were in Urology when you were there?

2 A. We were three members of consultant group, myself,
3 Mr. Young, the Clinical Lead, Michael young, and Mr.
4 Aidan O'Brien, our senior member of the staff as
5 a consultant, and myself. So we were three together in 10:13
6 the group at the time.

7 20 Q. I just want to check with the IT people. The screen
8 seems to have frozen. We can hear you okay, so I'll
9 carry on. I just wanted to draw that to their
10 attention. 10:14

11
12 So Mr. Young and Mr. O'Brien, and you were the third
13 member of the team at that point?

14 A. Yes, I was the third member. We joined the team in
15 September 2007 and I believe -- I'm not sure how many 10:14
16 members were prior to me there.

17 21 Q. We'll hear from Mr. Suresh next week and he took over
18 from you in 2013, so you didn't cross over with him.

19 A. No. When I left, I don't think so, there was any other
20 appointment made at the time. But I'm not sure what 10:14
21 happened after March 2012.

22 22 Q. Now, there's a couple of things in that paragraph that
23 we're going to come on to, the MDT setup and the
24 Urology Steering Group meeting. You have just given us
25 a flavour there of the quantity and the breadth, 10:14
26 I suppose, of the meetings that you held during your
27 time, that you were part of while you were there.

28
29 Just as a general question, what was your feeling

1 around the way in which the consultants and medical
2 management communicated with each other, did you have
3 a good experience of that?

4 A. It was totally -- can you hear me now and can you see
5 me?

10:15

6 23 Q. Well, we can see a version of you that's frozen. We
7 could see a version of you that's frozen, but we can
8 hear you. If you can hear me and you're comfortable
9 enough to answer, please do.

10 A. Yes. I will. I can hear you. Yes.

10:15

11
12 when I joined and the changes were happening so
13 obviously there were a few issues in communication at
14 the time or arranging the things in an appropriate way
15 which I would like. Like, for example, setting up my
16 MDT -- I can't hear you.

10:15

17 24 Q. Sorry, I think the last thing you said -- the sound
18 isn't particularly great this end, I'm just having
19 trouble hearing.

20 A. Can you hear me now?

10:15

21 CHAIR: I think we are going to take a short break,
22 Mr. Akhtar, and hopefully the IT can be solved by the
23 time we get back. Let us know when you're ready.

24 MS. McMAHON BL: Thank you.

25
26
27
28
29
10:16

(Short adjournment - 10:16 a.m.)

28 CHAIR: Technical Tuesdays, ladies and gentlemen.

29 MS. McMAHON BL: I've checked Mr. Akhtar can hear us

1 and see us. If the sound is weakened or goes again, if
2 we cut the visual link the WiFi is apparently weak at
3 the other side. We want to see what we can do.
4

5 Perhaps, Mr. Akhtar, that gives me the opportunity to 10:31
6 focus very much on what I need to ask you about so
7 we make best use of everyone's time. So rather than
8 take you through the scene-setting issues, the last
9 paragraph we looked at in your statement mentioned
10 a couple of things that I would like to ask you about. 10:32
11 I'm going to deal with them in topics rather than in
12 chronological order.
13

14 The first thing mentioned in that paragraph 34.1 of
15 relevance is the MDT. I would like to start with that. 10:32
16 You've said the local MDT started in late 2009 on
17 Thursday afternoons, followed by the regional MDT via
18 video link. Now, this was the start of this
19 formalisation of multi-disciplinary teams during your
20 time. 10:32

21 A. Yes. This was as the part of IUG, the Trust was now
22 going to centralise some of the services as well as to
23 see the cancer patients combined so there could be
24 a better decision made out for the management of the
25 patient according to the Guidelines. So that was the 10:32
26 remit of the MDT. It was organised. There should be
27 a quorum of the team and we -- as you know, when
28 we start a new service or a new development, it always
29 takes time. I don't remember the exact date but

1 I think it was towards the end of 2009 and the start of
 2 2010 when we got up and running. It used to start at
 3 half, quarter-past-2 in the afternoon and go up to
 4 5 o'clock sometimes. The last part of the MDT was to
 5 have a video link with the Belfast Trust where the
 6 Oncology will join us. 10:33

7 25 Q. If we go to an email at TRU-282723. This is an email
 8 from Patricia McConville to you and others. What it
 9 does is set out that you had been agreed to act as
 10 Interim Chair. 10:33

11 A. Yes.

12 26 Q. It gives us a sort of starting point. That's
 13 TRU-282723, just at the bottom. We'll see -- just back
 14 up. Thank you. Patricia McConville, sent on 18 May,
 15 2009, to you, Mr. Young, Mr. O'Brien, Kate O'Neill, MJ
 16 McClure, Jenny McMahon, Grainne McCusker, Gareth
 17 Maclean and others are copied in. It reads as follows: 10:34

18
 19 "Dear all, Thursday, 11 June, 12-1:30 p.m., Seminar
 20 Room, ground floor, MEC. To confirm meeting to discuss 10:34
 21 the implications of moving the MDT to Thursday
 22 afternoon to fit in with the regional agreement on the
 23 three local MDT structure feeding into the regional
 24 meeting for complex case discussion as part of the
 25 preparation for Peer Review. This also fits in with 10:35
 26 the recommendations of the Regional Urology Review
 27 which we expect to be communicated to The Trust in the
 28 near future.
 29

1 Need to define what would be required with regard to
2 the job plans, support, et cetera, for the MDT at that
3 meeting before we arrange to meet with the senior
4 managers to discuss this further. Mr. Akhtar has
5 agreed to act as Interim Chair until we have a formal 10:35
6 MDT established to enable a formal nomination and
7 election process (Alison Porter)."

8
9 Then it says:

10
11 "Agenda to follow in due course. Regards Patricia". 10:35
12

13 The 18 May, 2009, gives us an indication of when there
14 was at least an informal gathering in anticipation of
15 a more formal process and you were to act as Interim 10:35
16 Chair.

17 A. That is correct. I think that is the date I remember.
18 Not exactly, but that's the time I remember when
19 we decided to meet and that came from Patricia and
20 I think Alison Porter was the clinical nurse at the 10:36
21 time, a senior cancer lead. The plan was to get all
22 the stakeholders into one room and then decide.

23
24 Because, as she mentioned in her email, it requires
25 quite a logistic IT Support, as well as job planning 10:36
26 for all the consultants and other stakeholders. This
27 was, I think, the initial meeting that was convened in
28 order to go into the future when the meeting start.
29 The actual meeting started later.

1 My role as an Interim Chair or to take it as a lead
2 role, because I was coming from Addenbrook, I have some
3 experience of attending the MDTs and arranging with my
4 colleagues at Addenbrook. That's why I was asked,
5 nominated to take as an interim. It was not an
6 election process, it was a nomination process. Later
7 on it was converted into an election, when I left.

10:36

8 27 Q. Were you asked to take it on or did you volunteer, what
9 was the process?

10 A. I think everybody was asked, so I volunteered, that's
11 what I remember.

10:37

12 28 Q. Did you say - I'm sorry, the link is good enough but
13 not brilliant - so you'll bear with me if I ask
14 anything again. Did you say you had previous
15 experience of MDTs?

10:37

16 A. I do have an experience of MDT, because in Addenbrook
17 the MDT was started some time in 2005 or '6, already
18 going on to discuss the cancer cases where I used to
19 attend regularly as a member of the team when I was at
20 Addenbrook. So I know how it works, how the cases were
21 prepared, and what other stakeholders need to be
22 involved.

10:37

23 29 Q. So you came to this role with knowledge and expectation
24 of what was required to make this a successful and
25 fully functioning MDT?

10:37

26 A. At the time when I joined, at that time, that was not
27 anticipated. But when, in 2009, when the process
28 started and the IUG Guidelines need to be implemented,
29 then certainly my previous experience counted in order

1 to establish this.

2 30 Q. Now you agreed to act as Interim Chair. Do you know
3 how long that interim-ship lasted for?

4 A. I think it lasted until the very end. I left in
5 March 2012, for almost two, two-and-a-half years. 10:38

6 31 Q. Just from this remove, can you recall why you stayed in
7 that post on an interim basis or perhaps you were
8 formally nominated and elected. Was that the case or
9 was it always interim until you left?

10 A. I don't remember exactly, but I think it was always 10:38
11 interim when I left. I never pursued it to become
12 permanent, because the work was happening and I was
13 quite willing to do that. So I wasn't actually fussy
14 about that it should be a permanent or an elected one.
15 Everybody was happy for my work to carry it on, so 10:39
16 I have never given any thought about the designations,
17 honestly, at the time.

18 32 Q. Now, the Panel has heard evidence around the MDT and
19 the functioning of that, and MDMS, and the way in which
20 decision-making operated. I would like to ask you some 10:39
21 general questions around that to get your take on that,
22 given you were the Interim Chair for a three and a half
23 year period. Now obviously this was in the early days
24 when it started up.

25 10:39
26 You did mention in your previous answer a few moments
27 ago about quoracy and the importance of everyone being
28 around the table. What was your experience from the
29 beginning and during your chairmanship of the MDT, what

1 was your experience of quoracy?

2 A. My experience was quite mixed to start with because it
3 was a new venture we were starting, and we needed to
4 have other consultants. Like as I said, it involved
5 the Consultant Medical Oncologist, Clinical Oncologist, 10:40
6 X-ray Radiologist, and Pathologist, and also
7 a Consultant Urologist, a couple of them being members
8 of the team, CNS team. So it is quite a big
9 undertaking for the job plan.

10
11 But, once we started, gradually the thing started
12 working well, but there was always teething problems.
13 My experience about the one, especially the Oncology
14 Team on the start, the presence of them was slightly
15 difficult. I think there was nobody in the post for 10:40
16 some time. Then, linking in the problem there was some
17 time, I remember Prof. O'Sullivan used to join us on
18 the link when nobody was available. There are a couple
19 of emails which I, during the course of my leadership,
20 I wrote to Alison Porter expressing my concern that not 10:41
21 all the members were available so I advised them to
22 look at their job plans and make sure every member is
23 available.

24
25 But I believe that was the start of an MDT process, so 10:41
26 it takes usually time to arrange all the stakeholders,
27 their job planning, logistics, so that was going on.
28 But towards the end of my tenure, it was getting
29 better, the attendance.

- 1 33 Q. Now, you mentioned the MDT, the regional MDT that
 2 followed on from that. The Panel have heard evidence
 3 that services subsequently provided a pathway to
 4 Belfast depending on their complexity following the
 5 review. We will move on to that in a moment. Can I 10:42
 6 ask you, generally did you have any experience or
 7 awareness of delays in patients being referred or
 8 transferring up to other services as a result of
 9 quoracy problems?
- 10 A. My job was to have the outcome, sign it off, then give 10:42
 11 it to the relevant consultant whose patients they are,
 12 and those consultants are responsible. As far as my
 13 patients were concerned, I never had any issue.
 14 I think we were quite okay, but I was not made aware
 15 of, during my tenure, that there was any issues with 10:42
 16 other patients. If there were, I was not a part of any
 17 communication at the time.
- 18 34 Q. So if there were any delays or issues, you weren't
 19 aware of them?
- 20 A. No. I certainly was not at the time, during my time. 10:42
 21 We always gave, I think, a couple of weeks after MDT to
 22 see those patients in the post-MDT clinic because it
 23 was evolving. So there could be some delays for a few
 24 days to see those patients, but outcome was very clear,
 25 because I was very particular in writing down the 10:43
 26 outcome and made sure that they are signed on the same
 27 evening after the MDT. I spend a couple of hours after
 28 finishing off MDT to sit with the coordinators to sign
 29 each and every piece of paper which we generate as an

1 outcome, so my job was done. After that I wasn't made
2 aware that there was any delay. I expect every
3 consultant, if an agreement was made to send a patient
4 to Belfast, should act on that.

5 35 Q. well if there wasn't quoracy at a particular meeting, 10:43
6 did that, in your experience, result in the meeting
7 being cancelled or decisions being put back? If
8 we don't use the umbrella term of "delay" and just look
9 at it from practical purposes. If everyone wasn't
10 sitting around the table who needed to inform 10:43
11 a decision, was it the case in your experience that
12 that could have meant that people were referred to the
13 next meeting or a decision had to be delayed?

14 A. There are certain instances which, as a Chair, I will
15 remember. Not remember, but recall, where the patient 10:44
16 cannot be discussed, but my references were very clear.
17 I never postponed any patient if relevant, another
18 consultant patient, and the consultant is not available
19 because I spent the time prior to MDT to prepare those
20 patients' information on the piece of paper so that 10:44
21 I have all information regarding their clinical
22 presentation, their x-rays or any imaging, their
23 pathologies. So it makes it easier to make a decision.

24
25 Yes, sometimes the patients are postponed due to the 10:44
26 incomplete information available, like pathology
27 results are not available. I don't recall that I ever
28 postponed during my tenure any patients that, 'oh, the
29 consultants are not present in the case', which I think

1 was not the essence of an MDT.

2 36 Q. Thank you for that. We're just trying to get a feel
3 for the way in which the absence of the relevant
4 experts may have impacted on the operational outworking
5 of clinical decisions. From what you've said, there 10:45
6 may have been times when delay was a factor.

7 A. Yes.

8 37 Q. But for your particular patients, you had created a way
9 of working that allowed you to have all the relevant
10 information that gave that patient the best chance of 10:45
11 being able to be discussed at the MDT at the very
12 least?

13 A. Exactly. That's the purpose of MDT. It is not to
14 delay the things, because we cannot be all the time
15 present all of us, but if there is a minimum quorum of 10:45
16 the MDT present we can think and make a decision in the
17 guidelines. So I think that's the best way to do.

18 38 Q. Was it your experience -- or did you have any
19 experience of having to speak to your clinical lead or
20 any of the medical senior staff around quoracy issues 10:45
21 or any aspect of the MDT, the way it operated at all?

22 A. I think, if I recall, there might be a couple of emails
23 or communication between me and Alison Porter in which
24 I expressed a few issues regarding the presence of the
25 oncology sometimes. It is not to say that the service 10:46
26 was not present, but it was to look at the job of
27 job-planning for other specialists, like radiologists,
28 so that they should be allocated the appropriate time
29 for preparation of the cases. So those were always

1 issues and I expect those issues at the start of
2 a meeting, when you start a new meeting will be there.
3 And I believe later on they were resolved during my
4 presence, the majority of the stakeholders were
5 present.

10:46

6 39 Q. Do you have any recollection of there being a problem
7 or problems that existed at the beginning of your
8 chairmanship of MDT that were still in place at the end
9 when you were leaving in 2012?

10 A. Sorry, I didn't get it. Can you repeat?

10:47

11 40 Q. Well I'm looking for any themes of potentially
12 persistent issues in the MDT that hadn't been
13 addressed. I'll give you some context for the
14 question?

15 A. Of course.

10:47

16 41 Q. The Panel have heard evidence that quoracy was an
17 ongoing issue for quite a long time. That's recognised
18 for many reasons, including staff retention and getting
19 people in posts. There are also some issues around
20 communication, the way in which decisions were made,
21 oversight of those decisions.

10:47

22
23 I'm asking you, given you were there for quite a period
24 of time and perhaps in an oversight role, even as
25 Interim Chair, if that was the term that was used for
26 that period of time. Do you recall if there were
27 issues that threaded their way from the beginning right
28 through until you left when you thought, that's still
29 an issue, that hasn't been resolved at the MDT, that

10:48

1 problem still persists?

2 A. As I said, obviously the start was always an issue, as
3 I said due to the job planning and not having enough
4 people in the post. Like, oncology was always an
5 issue, I don't know whether it is sorted out now or not 10:48
6 but I believe it is, but I cannot now recall after ten
7 years, 12 years, what is the situation there.

8
9 Yes, oncology was an issue because that was not due to
10 any person in specific, it was due to the lack of 10:48
11 people in the post. And, yes, I did have some time,
12 not always, but sometimes, not an issue but a concern
13 about the presence of a radiologist on the meeting.
14 But, again, my radiologist Marc Williams, and another
15 Dr. Gareth Williams, they were excellent, but they have 10:49
16 to be on annual leave and things like that, so those
17 issues were related to the job plans. I believe when
18 I left some of them were resolved, but not completely.

19 42 Q. What about the level of communication among the team at
20 the MDT? Was it your experience, for example, that 10:49
21 there was open discussion around treatment plans that
22 were proposed and was that a collective decision, or
23 did the individual clinician state what their
24 preference was and the MDT only got involved if they
25 felt that there should be another way? 10:49

26 A. The purpose of MDT is to provide, given the information
27 about the patient, and the staging of a particular
28 cancer, according to the Guidelines what could be the
29 best treatment for that particular condition. Then

1 this is conveyed via a communication to the outcome
2 sheet to the relevant clinician to discuss with the
3 patients.

4
5 In some diseases there are more than one choices and 10:50
6 we mention alternative treatment options, but it is
7 between the clinician and the patient to discuss those
8 options and come to a conclusion, based on the
9 patients's understanding, to give a best -- a treatment
10 to the patient. 10:50

11
12 So we were not there to manage each individual's
13 practice, but we were there as an MDT group to give an
14 outcome which, in the form of a guidance, could be
15 conveyed to the patients by a clinician in charge of 10:50
16 the patient. But I never had any issues because my
17 communications were very simple, straightforward, and
18 conveyed within 24 hours after finishing the MDT.

19 43 Q. Thank you.

20 10:50
21 Just again for context, we heard a lot about the way in
22 which MDTs operate and I know you are explaining that
23 in your answer. If it helps at all for your answers,
24 the Panel is interested in your experience of how these
25 things operated in practice. We know the theory of an 10:51
26 MDT and MDM's general. We know the way they are
27 expected to operate. What we are seeking to elicit
28 from evidence from clinicians is where there might be
29 fracture lines in some of the operations that may have

1 allowed issues to emerge, either at the time or
2 subsequently, that have come to the attention of the
3 Panel.

4
5 I'm trying to focus my questions so that if you have 10:51
6 particular experience, then that would be really,
7 really helpful. But what I'll take from your answer is
8 that from your patients' perspective, this wasn't
9 necessarily an oversight, the clinicians weren't there
10 to look at another clinician's decision, but to share 10:51
11 their views on what would be the most appropriate form
12 of treatment based on the current guidelines, is that
13 correct?

14 A. That is correct.

15 44 Q. Did you have experience at all of decisions having been 10:52
16 taken at MDT and then perhaps being brought back to MDT
17 by a clinician who perhaps has changed their mind, for
18 whatever reason, on the proposed course of action?

19 A. As a general, my practice or anybody's practice should
20 be that if they notice when they go and see the 10:52
21 patients, any change in the patient condition or any
22 wishes of the patients to stray away from the
23 guidelines to bring it back, but I don't recall.
24 Honestly, it is a long time ago, that ever any patients
25 were brought back. If it is brought back, I am sorry, 10:52
26 I am not much help to recall this at this moment.

27 45 Q. That is fine, I appreciate it is a long time ago. But
28 perhaps to put that in context, how often would that
29 happen now? If you can't recall it in Craigavon, do

1 you say now, well, that very rarely happens in MDTs, my
2 experience is that it rarely happens or maybe 5% of
3 patients are reviewed again. What's your feeling after
4 all these years?

5 A. I can't put a percentage figure but as a clinician, 10:53
6 myself and my colleagues which we are working together,
7 we always feel it is much easier that if there is any
8 change in the clinical circumstances. But I said one
9 thing, patient wishes: If a patient wants to go away
10 from the guided treatment, like there is so much on the 10:53
11 internet available and they wish to go and do something
12 else, they want to do that. So we always bring it back
13 to the MDT to inform MDT or take a further guidance:
14 what should we do in a scenario like that? I think
15 this is routine practice nowadays. If you ask me, 10:53
16 nowadays we have an MDT of around 60 patients on SMDT,
17 RMDT, original MDT every week. We can say there is
18 always one or two patients, but it is always the
19 clinician who brings all the information and then asks
20 a second opinion from all of us. 10:54

21 46 Q. It may come back either through the particular
22 patient's view on what was offered and they might
23 change their mind, or the clinician may find new
24 clinician information that might inform a different
25 decision? 10:54

26 A. Yes.

27 47 Q. In your practice, what way is that information
28 recorded, if at all, in the patient's notes or with the
29 patient. If you have discussions with the patient, for

1 example, where would one expect to find the evidence of
2 that?

3 A. Okay. Now, if in a particular -- if I can highlight it
4 with a particular example, like, for example:

5 A prostate cancer is nowadays one of the majority
6 diagnosed mens cancer and get a treatment which has
7 quite varied options available, from radiation, active
8 surveillance and surgery, but also there are some
9 clinical trials going on, like focal therapy and things
10 like that.

10:54

10:55

11
12 If a patient wished to, because they get it from
13 Internet, they get it from Google, they get it from all
14 other multimedia resources nowadays available. Some of
15 them do have a cuttings of the piece of paper and they
16 want to go and see the specialist who is in the news or
17 they have information about. So I always inform my MDT
18 that this patient has taken a decision to take a second
19 opinion regarding treatment, which is not on the
20 guidelines pathway, but maybe in a clinical trial, and
21 we do document that in the MDT outcome. So if tomorrow
22 something else happened, then we have evidence that it
23 was discussed on the patient's wishes.

10:55

10:55

24 48 Q. I just want to divide my next question up into two
25 parts because of what your answer was there: First of
26 all, you mentioned "guidelines" and I just wonder if
27 you can recall, and applicable now I presume, the
28 guidelines that you adhere to as part of your practice
29 as a Urologist?

10:55

1 A. Yes, I do always adhere to guidelines. There are
2 various guidelines available for various conditions,
3 especially in the cancer. We do stick to NICE
4 Guidelines. We stick to the European Urological
5 Association Guidelines, okay. The guidelines doesn't 10:56
6 mean that we have to be -- it is just a general
7 information and also the best evidence available for
8 a particular treatment. So that's the way we deal with
9 it. But there are always exceptions to them sometimes
10 and if there was exception arise, that's what the 10:56
11 purpose of MDT is, to have a maximum information about
12 the patient.

13 49 Q. If you are adhering to the guidelines, that's fine, not
14 everyone fits within that profile. If you want to take
15 a decision to, I won't say step outside the guidelines, 10:56
16 but I will ask as a second part of that question; if
17 you were to go off guideline or seek to prescribe
18 a drug in a way it is not licensed for, and we'll move
19 on to an example of that in a moment, but just
20 generally, what steps would you take if you were to do 10:57
21 that?

22 A. I would certainly bring it to the MDT that if I feel
23 about some new treatment available, or if I'm going
24 to go -- first of all, I shouldn't do that if there is
25 something not evidenced available for any particular 10:57
26 medication. But if I -- if the patient is insisting,
27 then I should certainly go back to MDT and/or another
28 multi-disciplinary meeting, or into the Department at
29 least that, can we adopt that policy or can we look

1 into that? And I am sure in today's world, in
 2 a Clinical Governance, there are ways of introducing
 3 some new treatment if they are beneficial to the
 4 patient.

5 50 Q. I don't know if the system was the same in 2009, but 10:57
 6 was it the case that you may be the consultant for
 7 someone but one of the other consultants may review
 8 them at the Outpatient Clinic. So you didn't always
 9 get your own patients at Outpatients, other people
 10 could have reviewed your patient? 10:58

11 A. At the time when I was there it was not a common
 12 practice the majority of the time. The patients, after
 13 the MDT, are seen by the clinician who is referring
 14 them to MDT. But I believe things are changed now
 15 because of the certain targets to be achieved. So the 10:58
 16 patients are majority pooled into a category so they go
 17 to the relevant specialist after the MDT to a get
 18 appropriate and quick treatment rather than having
 19 multiple reference.

20 51 Q. would it be your view that if a patient was to be 10:58
 21 prescribed something that wasn't licensed, a form of
 22 medication or a regime that was unlicensed, that it
 23 would be more beneficial to bring that back to the MDT
 24 so if the patient got a different consultant on their
 25 next review appointment that that consultant understood 10:59
 26 why they were on that particular regime. Do you think
 27 that would be best practice for you?

28 A. Yes. For me it would be the best practice, it will be
 29 that, first of all, I will be reluctant to use a target

1 in general terms about any medication which is not
2 licensed not to use it. But if I take the benefit and
3 a patient wants some more information, I should bring
4 it back to a minimum. If MDT is available, sure, if
5 not, then an inter-departmental meeting to discuss with 10:59
6 other colleagues what their experience are under the
7 trial and take it further.

8 52 Q. Did you ever have any experience in Craigavon of
9 reviewing another consultant's patient and seeing they
10 weren't on a licensed regime that you realised as being 11:00
11 appropriate?

12 A. I don't recall any patients which I have seen because
13 everybody was seeing their own patients at that time,
14 fortunately or unfortunately. So I'm not aware of any
15 such incidents which I have seen patients with 11:00
16 something which is not approved.

17 53 Q. Now the Inquiry have heard evidence in relation to the
18 prescription and administration of Bicalutamide 50 as
19 a monotherapy. Now, are there any circumstances under
20 which you would prescribe or use Bicalutamide 50 as 11:00
21 a monotherapy?

22 A. No, not in my practice. My practice will be if
23 a monotherapy is going to be used, the clinical
24 evidence which emerged in the late 2000s, 2003 or '4 I
25 believe, was using a Bicalutamide of 150-milligrams and 11:00
26 that was also associated with some higher risk factors
27 which need to be negotiated and looked at. So not as
28 an independent, no, I'm not aware of and I never
29 practised that.

- 1 54 Q. You've mentioned in your evidence there about clinical
 2 evidence which emerged in the 2000s, I think you said.
 3 was it the case that by 2007 when you joined Craigavon,
 4 that Bicalutamide 50-milligrams as a monotherapy was
 5 already established as not being effective? 11:01
- 6 A. I don't recall any evidence. But I do recall that
 7 150-milligram was established as a monotherapy at that
 8 time when I joined Craigavon Hospital, as a monotherapy
 9 at 150-milligram, not 50-milligram.
- 10 55 Q. Under what circumstances and in what way would you 11:01
 11 prescribe Bicalutamide 150-milligram as a monotherapy?
- 12 A. Like a patient with prostate cancer who doesn't want to
 13 have any side effects of allegoric analogues or
 14 castration, number one. Number two, with the patients
 15 who want to preserve some of their erectile functions. 11:02
 16 That was the main reason for that to use it.
- 17 56 Q. Are there any circumstances that you would prescribe
 18 Bicalutamide 50 at all?
- 19 A. My own personal practice, no, I will not use. I only
 20 use it in circumstances where it is -- it is called as 11:02
 21 a "combined androgen ablation", as a part of LHRH
 22 analogues which are the other medications which
 23 decrease the amount of testosterone. So this is called
 24 anti-androgen and also called as an anti-flare. It is
 25 prescribed as a four-week medication, once-daily-dose, 11:02
 26 while a 50-milligram prior to giving the injection of
 27 LHR and HLR if they flare up due to a shortage of
 28 testosterone that should be controlled. Apart from
 29 that I never used 50-milligram Bicalutamide as an

1 independent treatment on its own.

2 57 Q. So you would use it for a limited period of time as
3 counteractive flare that might occur and then the
4 patient would come off that and continue on the hormone
5 therapy?

11:03

6 A. Exactly. This is part of the combined hormone
7 treatment and it is usually on the start of the
8 treatment.

9 58 Q. If you were to see a patient at a review clinic and
10 they were on Bicalutamide 50-milligrams as
11 a monotherapy, and you have indicated in your
12 professional opinion there are only certain limitations
13 for Bicalutamide 50, and monotherapy isn't one of them.
14 If there was a patient in front of you who was on that
15 in that way, what would you do?

11:03

16 A. I will certainly question the use of a 50-milligram and
17 I will suspect is this a prescription error of 150
18 instead of 50 used. Then I would request the clinician
19 if they started to review that back and see if we can
20 discuss.

11:04

21 59 Q. I presume the letter -- I think you said you'd write to
22 the clinician, the letter would also be copied to the
23 GP, I presume, so that there's the care in the
24 community continuity. But would your letter, in your
25 view, be better to indicate that there had been
26 a change in treatment regime and the reason for that
27 change. Would you expressly state that?

11:04

28 A. I will certainly hold on for the time being before
29 escalating and certainly question my clinician

1 colleague if they have decided to use 50-milligram and
 2 have a better understanding before I will write that to
 3 the GP and make an amendment to the medication, if
 4 required.

5 60 Q. So you would speak informally to the original 11:04
 6 prescribing clinician, try to understand their reason,
 7 and perhaps formalise that in correspondence for the
 8 record?

9 A. I think so. That is the best course in today's
 10 medicine. You should be very clear about it. 11:05

11 61 Q. Did you ever have any cause to do that while you were
 12 at Craigavon?

13 A. I never remember that ever I seen a patient. I said at
 14 that time. We were very, very, meticulous about seeing
 15 our own patients. So at the time things were changing. 11:05
 16 So I don't recall that I ever come across any patients
 17 with 50-milligram of Bicalutamide.

18 62 Q. If a patient had been put on to 50-milligram
 19 Bicalutamide as a monotherapy and they were being seen
 20 by you, and the patient believed that despite your view 11:05
 21 that that was not an effective treatment for them
 22 clinically, but the patient wanted to stay on it
 23 because they felt some benefit, even though the
 24 evidential basis for any benefit hasn't been
 25 established to your satisfaction as a clinician, if the 11:06
 26 patient wanted to stay on that medication what would
 27 you do about that?

28 A. Certainly as a clinician, my job is to advise the
 29 patient, inform him that there is no clinical evidence

1 regarding using the low dose so it may not benefit you,
2 but I have to respect the patient. But at the same
3 time I would have to inform the clinician as well as
4 the GP that this is not the correct dose.

5 63 Q. would you change the dose?

11:06

6 A. I would certainly ask the GP to discuss with the
7 patient at the moment the patient has, as you said, the
8 scenario given to me, the patient is quite happy,
9 that's what I need to inform the patient, that is an
10 incorrect dose so you should increase it. If the
11 patient wants to increase, certainly I will change it
12 in the clinic. But if he wants to think about it in
13 the presence of my discussion then I will let the GP
14 know about it.

11:06

15 64 Q. Is there a potential that you would leave the patient
16 on that treatment regime?

11:07

17 A. At the moment, that is the minimum, I will certainly do
18 that because it is not harming him in any way, but it
19 is not providing any further medication treatment. But
20 I will certainly escalate, as I said before, and ask
21 that we should make it very clear as a policy of the
22 Department to change it or see the evidence available.

11:07

23 65 Q. what do you see as the risks of Bicalutamide
24 50-milligrams -- micrograms -- as a monotherapy? what
25 risks are there of that?

11:07

26 A. I don't see that there will be any risk apart from any
27 other anti-androgen treatment risk, but rather it has
28 less of a risk factor compared to 150. If you give
29 150-milligram in monotherapy, obviously there are

1 increased risk of gynaecomastia, hot and cold flushes,
 2 things like that. But with 50 that is a little bit
 3 less as compared to 150.

4 66 Q. I suppose from a Patient Safety and Risk perspective,
 5 there arguably could be a couple of issues that arise. 11:08
 6 The first one being that the patient is on an
 7 ineffective treatment?

8 A. Yes, of course, that is something which is, as you
 9 asked me, the side effect compared to the 150. But
 10 this is also that the patient is on an ineffective dose 11:08
 11 of the treatment so it may not be helping him in any
 12 way.

13 67 Q. Yes. And being on an ineffective treatment, the
 14 corollary of that is that they're not getting the best
 15 treatment. That's also a potential because they are 11:08
 16 not being treated perhaps in a way that would be most
 17 effective?

18 A. Theoretically, yes.

19 68 Q. There's also a risk of hormone resistance therapy, is
 20 that right? 11:08

21 A. That is with every hormone treatment. Either you use
 22 150, 50 LUL LHRH analogues. There is a time period
 23 when the clonal selection happen and the cancer escape
 24 it and then there is hormone resistance. It is a
 25 common occurrence after, on an average, between 11:09
 26 18 months to 36 months at the maximum, where any
 27 hormone treatment given to the patient for treatment
 28 for prostate cancer lead to a cloning selection and
 29 hormonal resistant treatment, then you need to change

1 the treatment.

2 69 Q. You've said that it is a potential for any hormone
3 treatment that hormone resistance builds up?

4 A. Yes, of course.

5 70 Q. Surely the point really is that that's a risk you take 11:09
6 if the patient needs to be on hormones. But if they're
7 on hormones and it is not the most effective treatment,
8 then it is a risk that is being taken by the physician
9 in just keeping them on a low dose. So, for example,
10 if they needed a higher dose at a later stage, they 11:09
11 could have built up resistance to that and therefore
12 the efficacy of the treatment may be compromised.
13 Isn't that right?

14 A. We're looking at the two different scenarios. One is
15 the scenarios in which a 50-milligram of Bicalutamide 11:10
16 is used, which is not a complete hormone blockade, it
17 is just anti-androgen, as compared to the
18 hormone/hormone treatment which include Bicalutamide
19 and anti, and LHRH analogs, or anti-testosterone
20 medications. 11:10

21
22 So, in that case, which is the combined androgen
23 blockade consistent of Bicalutamide and the drugs
24 related to that, plus LHRH analogs, those medications
25 are having certainly hormonal resistance develop on an 11:10
26 average between 18 to 36 months, whereas with the
27 Bicalutamide 50-milligrams, I have no evidence how
28 quickly a resistance will develop because you are not
29 using the complete blockade of the testosterone, you

1 are using one step of it.

2
3 So, it is very difficult for me to give, will it be
4 ineffective. Theoretically I can tell you, yes, it
5 will be ineffective. But will the resistance develop? 11:11
6 Theoretically, yes, there will certainly be a
7 resistance developed for escaping the testosterone.
8 But the scenarios which we combine is slightly
9 different.

10 71 Q. Would you agree that best practice in medicine means 11:11
11 that even in the face of a patient who is very willing
12 to continue a treatment regime that may be clinically
13 ineffective and present long-term risk to them, the
14 best practice means the doctor steps up, as it were,
15 and doesn't prescribe that just to keep the patient 11:11
16 happy?

17 A. I agree with the statement, yes.

18 72 Q. I just want to ask you a couple of questions back again
19 about the MDTs, if you don't mind, just based on some
20 of the evidence, just to understand the context. This 11:12
21 is really just so we can be sure what the evidence is.

22
23 I think we have looked at this, if we go to WIT-41832.
24 This is simply paragraph 1.1. At the top line of that
25 page you have said: 11:12
26

27 "During my time as Consultant Urologist the Department
28 saw the NICA implementation of MDT meeting locally and
29 regionally (2009-2010). Implementation of the Urology

1 Service Plan (2011)."

2 Do you recall if it was Mr. Young who asked you in 2009
3 to be the lead clinician of the Southern Trust MDT? Is
4 it your recollection that it was Mr. Young.

5 A. It was Mr. Young as a lead clinician of Southern Trust 11:13
6 Urology throughout my tenure as a consultant at the
7 Craigavon Area Hospital.

8 73 Q. Did the MDMS, the multi-disciplinary meetings, did they
9 begin in April 2010, is that your recollection?

10 A. I think so. I'm not exactly sure but I can recall from 11:13
11 some of the emails and the correspondence I read. As
12 I said in my statement, I think it was the end of -- if
13 you remember, the first email went out to start
14 a planning, was in May 2009. So I think, yes, you
15 could be right, that it is towards the start of 2010. 11:14

16 74 Q. Before they started in Southern Trust, did you attend
17 the regional MDM in Belfast?

18 A. No, I never went to Belfast. I only attended via video
19 link when we started here.

20 75 Q. I think we've already established that you were the 11:14
21 Chair of all the urology meetings, except when you were
22 on leave from April 2010 until March 2012. Do you have
23 any knowledge of who might have, and I know it is
24 a long time ago, but who might have deputised for you
25 when you weren't available to act as Chair? 11:14

26 A. Usually when I went on annual leave or not available on
27 that particular Thursday, I deputised on the basis of
28 who is available. We always discussed. Because what
29 happened is that we three worked very closely together

1 and we had a scheduled meeting also actually
 2 once-a-month, which was very effectively run by
 3 Mr. Young.

4
 5 we have a spreadsheet on an Excel sheet where 11:15
 6 we assigned the duties and the roles in the case of an
 7 absence. So I'm sure we can look back on that.
 8 We always deputise either Mr. Young or Mr. O'Brien to
 9 Chair the meeting.

10 76 Q. So it was really who was available? 11:15

11 A. Exactly. Because that's the way most of the MDTs work.
 12 It is not there is a particular -- especially when we
 13 are only three urologists. If I am not available,
 14 because I have taken it on my own to lead it, which
 15 means do all the preparation. So it is my 11:15
 16 responsibility to make sure either Michael or Aidan are
 17 available to before I go on leave to deputise and do
 18 the preparation work.

19 77 Q. If we go down to paragraph 1.3(b). You said at the
 20 start of this paragraph: 11:15

21
 22 "During my time as consultant urologist at SHSCT we had
 23 significant issues regarding demand and capacity
 24 mismatch as faced by most of the NHS Trusts in NI and
 25 UK. There were always issues with the bed capacity not 11:16
 26 being available and lack of staff;

27
 28 (b) Introduction of the new MDT and cancer pathways and
 29 targets. These issues were initial teething problems

1 that would have happened in establishment of new
2 services as mentioned in my letter to Dr. Rankin and
3 Ms. Alison porter, the Head of Oncology Services in
4 Craigavon Area Hospital. These were resolved very well
5 and any new MDT would have the same issues."

11:16

6
7 I just need to check my reference for that letter.
8 I just want to ask you about that. WIT-282, sorry,
9 TRU-282770.

10
11 We'll see this letter to Gillian Rankin. Go to the
12 very end of the letter, please, to the signature.

11:17

13
14 This is from you to Gillian Rankin. You have copied
15 Mr. Young and Mr. Mackle into that. It is
16 1 November 2010. You say:

11:17

17
18 "Dear Dr. Rankin, re the implementation of regional
19 urology:

20
21 In response to your letter dated 22 October 2010
22 regarding implementation of urology services in the
23 region, you raised certain points and asked if I agree
24 to that in writing or not.

11:18

25
26 The first issue is clinic and review numbers. The
27 Trust is aware I perform 1.4 clinics per week in the
28 Trust which is once every Monday afternoon here at
29 Craigavon Area Hospital and once a month on a Tuesday

11:18

1 afternoon at South Tyrone Hospital. My clinic template
 2 had been changed some time in June 2010 here at
 3 Craigavon Area Hospital following MDT discussion.
 4 Because there was a lot of work generated from the MDT
 5 relating to the cancer patients, which include 11:18
 6 especially the prostate cancer day-four patients, as
 7 well as the new patients to be seen under the red flag
 8 target system.

9
 10 I do not have any facility to undertake a specialist 11:18
 11 clinic, hence I see mix and match of all urological
 12 conditions in the one clinic. I think the number of
 13 patients in my clinic at both sites already are above
 14 average, considering the cancer patients need more time
 15 to discuss their condition. 11:19

16
 17 We should agree to setting up a specialist clinic
 18 separately where red flag target patients, patients
 19 generated from MDM and histology, day-four, especially
 20 for the prostate cancer patient should be seen giving 11:19
 21 them due attention and time to explain and understand
 22 their disease to discuss the outcome of various
 23 treatment options. The number of patients seen in
 24 those clinics should not be six or seven per clinic.

25 11:19
 26 As mentioned in the letter about the BAUS clinic,
 27 numbers are expected to be high than what I see at
 28 present. I am sorry to say we are very selective in
 29 picking what suits us most from any guideline. It is

1 not mentioned in the letter that these BAUS clinics
2 which I am expected to undertake, should be only of
3 general urology patients as mentioned in BAUS document
4 as this is not the case in my clinic. So I am unable
5 to change the template of my clinic at present until 11:20
6 we separate the cancer patients from the general
7 clinic.

8
9 Another issue is the BAUS Guidelines which The Trust is
10 referring to is quite old and I have seen the new 11:20
11 guidelines which are expected to go for approval soon
12 and in which the general urology patient's number is
13 even less than what is mentioned in the old guidelines.
14 I am sure my senior colleagues might have provided you
15 with a copy of those changes expected in the future. 11:20

16
17 The second point was new to review ratio as you
18 mentioned, that my new to review ratio meets the old
19 requirements, but I certainly have some review patients
20 over the last two years, which at the moment I am 11:20
21 working with Martina to clear the backlog. The issue
22 about triaging of letter in line with NICE Guidelines,
23 I am the one promoting that red flag patients should be
24 triaged as soon as possible and seen within the target
25 time frame. Yours sincerely, Mr. Akhtar." 11:21

26
27 You have mentioned quite a few things in the letter,
28 there has obviously been a lot of issues rumbling on,
29 one of which is the issue of the applicability of

1 guidelines, the BAUS. I know you have mentioned the
2 new ones, but if we just move up to the previous page
3 you have said at the bottom:

4
5 "As I mentioned in the letter about the BAUS clinic,
6 number are expected to be high...".

11:21

7
8 Just at the very bottom of that page:

9
10 "...than what I see at present. I am sorry to say we
11 are very selective in picking what suits us most from
12 any guideline."

11:21

13
14 I wonder if you could can talk us through the context
15 of that sentence?

11:21

16 A. Of course. This was actually in relation to, as you're
17 aware, the new triage system was coming. We were
18 getting more and more targets for the cancer treatment
19 and cancer diagnosis and following the MDT, the patient
20 needs to be seen within a particular time period, as
21 well as we have to discuss with the patients about
22 their diagnosis.

11:22

23
24 So I was actually trying to highlight, number one, that
25 we need a separate clinic for the post MDT patients,
26 which is now quite norm actually in most of the Trust
27 nowadays, but we are talking at the time, things
28 weren't being settled. As we have the same routine
29 when I was working in Addenbrooke, that if a patient is

11:22

1 diagnosed with a cancer, he would come to a dedicated
2 clinic where he is supported by a nurse, a doctor,
3 taking the time to explain to him that 'you have a
4 cancer diagnosis'. That is breaking the news and then
5 giving them time to listen to the treatment options 11:22
6 that are available or further investigation. So that
7 is quite a passionate type of a service that you need
8 to develop. So you can have a patient for almost
9 half-an-hour, sometimes up to 40 minutes to go
10 through one patient. 11:23

11
12 So I was trying to establish that what The Trust was
13 trying to say, my understanding is, that what the
14 previously established template was, we should
15 accommodate this patient into that. So there was two 11:23
16 reasons for me to highlight it because that was not the
17 environment I would like to see my patient with cancer
18 in the General Outpatients. They should be in a quiet
19 room or something where we can see them. Then
20 we establish it later on in the Thorndale Unit where 11:23
21 we see them and take it through.

22
23 So, yes, there was some pick and choose from the
24 guidelines, okay. If my manager is saying to me that
25 your BAUS guidelines, the BAUS guidelines say that you 11:23
26 can see up to 12 or 14 patients. But when you put
27 a cancer patient into that, which, after coming after
28 MDT, that number should be reduced because cancer
29 patients certainly take more time and an explanation of

1 their disease, and giving them a time to take in all
2 those informations which we are providing to them.

3 78 Q. As a clinician in the MDT you were feeding back what
4 you saw as the operational and clinical difficulties of
5 trying to meet the guidelines while also providing the 11:24
6 best service for patients?

7 A. Of course. Of course. We actually, we actually then
8 later on developed, after this letter I think,
9 we developed a Thorndale Unit service where I used to
10 see the patients of mine after MDT and giving them 11:24
11 a diagnosis of cancer in some unfortunate patients and
12 take them through. And there was a quiet room also,
13 we established a quiet room in that area where the
14 patients and family can sit and have a discussion about
15 the diagnosis. It is a very, very, significant news 11:24
16 and life-changing for some patients unfortunately.

17 79 Q. Was there any sense from your perspective that when the
18 MDMs had been setup in April 2010 that there was an
19 expectation from the clinicians that it would be
20 resourced sufficiently to meet both the guidelines and 11:25
21 the demands of the service. I presume that was the
22 hope, but was it explicitly stated you would get all
23 the support you needed?

24 A. Of course when the changes were coming and this MDM was
25 established, it is the one part of that, it is how we 11:25
26 are going to deliver that. As you know from the very
27 beginning, even in starting MDM we need a lot of work
28 to do in bringing all the stakeholders. Similarly, the
29 work which related from MDM should be seen somewhere

1 appropriately.

2
3 So, yes, we were reassured but it always takes time the
4 way things sometimes work. We might have to change our
5 own job plans, we might have to change our own 11:25
6 practices sometimes in order to accommodate these
7 changes, which I think I did with the help of our
8 manager and operational team.

9 80 Q. I just want to take you to another letter, AOB-82521.
10 I hope this is the letter of 5 July 2010. It's to 11:26
11 Alison Porter, the Head of Cancer Services. If we look
12 at the bottom we can see who it is from. It is from
13 you and you have copied in Gillan Rankin, Mr. Young,
14 Mr. O'Brien, and several other people including the two
15 CNS nurses at the bottom. Could we go back up, please. 11:26
16

17 Now this is where you set out the issues in relation to
18 the Urology MDM. The reason why I want to read this
19 and put it on the record and ask you about it is
20 because you identify some concerns. It will be for the 11:26
21 Panel to consider whether they may have contributed in
22 any way to governance issues that subsequently emerged,
23 or whether there was an opportunity to address issues
24 early on. So the title is "Issues relating to the
25 Urology MDM meeting": 11:27
26

27 "Dear Ms. Porter, as you are aware, we have been trying
28 to establish our MDM since April 2009 and we started on
29 the ground in April 2010. The previous year we spent

1 in putting things together with promises that once
 2 we started, everything would fall into place. I was
 3 not happy to start in April as the fundamental
 4 infrastructure was not available on the ground, but
 5 we did start it on the promise that it was a trial run 11:27
 6 and things would gradually fall into place.

7
 8 Today we completed three months of MDM from the start
 9 date and the basic infrastructure and promises are
 10 still not in place which is going to create a lot of 11:27
 11 problems from Clinical Governance issues as well as
 12 patient management and safety. Please see details
 13 below for your immediate attention, as well as Trust
 14 management:

15 11:27
 16 1. Post-MDM follow-up coordination of these patients.
 17 This is a very important issue as MDM is running at its
 18 full strength at present and there are between 20 to 25
 19 patients, and most of these are prostate cancer
 20 patients who require to be seen after the MDM in the 11:28
 21 clinics. At the moment, as far as I'm aware, there are
 22 two problems:

23
 24 (a) There is no clinic formalised to see these patients
 25 at the moment. Each individual consultant, whenever 11:28
 26 they get time will see them, which could be next week,
 27 or it could be in a couple of weeks:

28
 29 (b) If these patients need any investigations this is

1 again an issue as to who is going to book them and
2 where that is going to be booked. The problem of
3 booking the investigation can be partially resolved,
4 if, as we have been saying for a long time, that
5 a computer is made available in the MDM room, as well 11:28
6 as the positions already indicated around the hospital,
7 i.e. Theatre Room 2.

8
9 Some of these patients have been neglected as there are
10 not appropriate clinic spots available or their 11:29
11 investigations were not booked because of the ownership
12 of those patients and responsibilities."

13
14 Paragraph 2 your letter:

15 11:29
16 "The availability of personnel when some specialities
17 are on holiday: I do agree that we need to take our
18 annual leave, but in the meantime we have to have
19 access to some alternative arrangements like colleague
20 cover. 11:29

21
22 3. There is an issue of availability of microscopy. I
23 have been told that the microscope has been ordered but
24 it is almost three months since the microscope has
25 become available and this is a huge Clinical Governance 11:29
26 issue.

27
28 4. Arrangements for various treatment, especially in
29 the patients with bladder cancer who require

1 intravesical mitomycin or BCG.

2
3 Streamlining this process is very important. At the
4 moment we are working on the ambulatory care service in
5 Urology, but we need someone to be present to take this 11:30
6 matter further during the MDM, as MDM generates almost
7 one-third of the patients who might require
8 intravesical mitomycin or intravesical treatment.

9
10 There should be clear-cut guidelines for those 11:30
11 patients' treatment and how they are going to be
12 followed up, because after the treatment it doesn't
13 finish there and they need further follow-up
14 cystoscopy. At the moment the patients are being left
15 without any follow-up arrangement, so they can get lost 11:30
16 in the system.

17
18 When we started in April we were promised that all
19 these issues would be resolved by 1 June. I am adamant
20 that up to now nothing has been resolved and it is 11:30
21 getting very frustrating. I am thinking that there is
22 no point to the MDM if there is no infrastructure in
23 place and the arrangements made for the above issues.
24 Your sincerely, Mr. Akhtar."

25 11:30
26 Now you'll see why I read that out, not only the
27 content but the reference specifically to Clinical
28 Governance, patients getting lost in the system.
29 Patients not being followed up. The microscope issue

1 not being available and there being obviously clinical
2 concerns. It would seem that a lot of the content of
3 what you have drawn management's attention to is
4 outside the hands of the clinicians. Would that be
5 fair? A lot of those issues can't be solved by the
6 medics? 11:31

7 A. Exactly. It is basically, what it needs is if we go
8 one-by-one to them, the first issue is about: How do
9 we organise the post-MDT coordinated clinics, that is
10 what was required. I think we achieved that gradually 11:31
11 by formalising that into some fewer slots with patients
12 to be seen with the presence of a nurse there, okay.

13
14 The second issue, as you said, availability of a person
15 when some specialist is on holiday to take up each 11:31
16 other's work so the patients are not delayed. Like my
17 point here was to make sure that if it is Aidan's
18 patient, my patient, or Michael's patient, if one of us
19 is on a period of time on annual leave, so somebody
20 should take over those patients to see them more 11:32
21 quickly, rather than they are waiting until the other
22 specialist comes. So it was trying to establish
23 a collaborative force of working together. I think we
24 are then agreed that streamlining the prostate cancers
25 or the bladder tumour cancer. 11:32

26
27 Microscope was always an issue because it was a very
28 integral part of our MDT, the pathologists need to show
29 us the slides and they need to make sure the slides are

1 seen. So that's why it was not present at the time
2 when we started. It was one of the issues which had
3 arisen and I took a time, approximately 3 to 4 months
4 before I can remind them. So this letter was
5 a reminder that some equipment was missing and we
6 should highlight it.

11:32

7
8 Similarly, arranging -- the majority of the context of
9 this letter was to arrange post-MDT clinics in a better
10 way, that the patients are seen on time and taking an
11 ownership of collectively, and then they should be got
12 back to the follow-up if they are required accordingly.

11:33

13 81 Q. There seemed to be a package of concerns that would
14 have impacted on that decision-making.

15 A. Yes.

11:33

16 82 Q. Just taking the microscope, I think you mentioned
17 a necessity for slides to be available for proper
18 informed decision-making, you said it was almost three
19 months since it has become available.

20 A. Yes.

11:33

21 83 Q. At this remove, and I know it is easy to look at that
22 as a very simple issue, but was that a case of
23 purchasing or ordering a microscope, or what in that
24 particular example would have caused a delay of three
25 months?

11:33

26 A. I don't recall what happened exactly. It was the issue
27 about some sort of funding and who is going to purchase
28 it, which Department it is coming from. So I think
29 Alison Porter wrote back to me on 26 July in the letter

1 addressing those issues. I think the majority of that
2 was resolved. It is TRU.

3 84 Q. You've said that Ms. Porter replied on --

4 A. 26 July 2010.

5 85 Q. -- 26 July. We are going to look at that in a moment, 11:34
6 the detail of that. But what is your recollection from
7 a practitioner's point of view: Did you feel that your
8 letter had galvanised some efforts to improve things or
9 to bring about the change that you hoped by writing
10 this? 11:34

11 A. You always write the things. First, the way, as the
12 majority of a clinician's work, you always give it
13 time. Nothing can be done in a short period of time.
14 So when we establish a new service, you cannot have all
15 the things available. So the things as we go along, 11:34
16 the changes we need to make, that should happen. So my
17 first letter was in July, which was approximately four
18 months after we started MDT effectively, if you can say
19 that. The purpose was to just nudge them that we need
20 to change, we need to change, we need to bring a change 11:35
21 about gradually, because it was a new way of working
22 for some of us.

23 86 Q. Perhaps, just before, if you want, it would be
24 convenient to take a break, if I could look at the
25 reply, AOB-82529. She sent on 26 July to you and 11:35
26 I will read Ms. Porter's reply, having read your full
27 letter:

28
29 "Dear Mr. Akhtar, thank you for your letter dated 5

1 July raising your issues regarding the Urology MDM
2 meeting.

3
4 Firstly, may I apologise for the delay in this response
5 due to my annual leave. Some of the issues which you 11:35
6 have raised do not come under my authority or control
7 so I will take the liberty of copying these to the
8 Urology Management Team or relevant Area Manager.
9 I will address your issues as listed in your letter:

10 11:36
11 MDM follow-up of patients: Previously patients
12 requiring appointments for review, results et cetera,
13 have been made by the consultants' secretarial teams.
14 This would still be the case as this is not a role of
15 the MDM coordinator. You may be aware that a review of 11:36
16 administrative services is ongoing and that this is one
17 of the many issues that will be discussed.

18
19 I do concede your point that these would be better
20 given in a separate letter, a separate clinic, or 11:36
21 allocated result slots, as previously, patients have
22 been significantly delayed in the routine review
23 process. At our last meeting on 10 June we had a long
24 discussion around the results clinic issue. Following
25 that meeting, I did discuss this with the Urology 11:36
26 Managers and this was proposed as something which they
27 will discuss within the new funding.

28
29 Ordering of onward investigations: As you are aware,

1 this is the responsibility of the medical staff.
2 We have been able to acquire a laptop for the MDM to
3 support this. However, on testing, there is
4 insufficient wireless access and we are currently in
5 discussions with IT to provide a second network access 11:37
6 point for Tutorial Room 1. Hopefully this
7 will facilitate the ordering of radiology live in the
8 meeting.

9
10 As you are aware, we do not have a process for red 11:37
11 flagging patients with suspected cancer and it would be
12 helpful if this was used...".

13
14 Sorry, I think I read that incorrectly:

15 11:37
16 "As you are aware, we do have a process for red
17 flagging patients with suspected cancer and it would be
18 helpful if this was used by all of the team members as
19 this helps the tracking team and the partial bookers,
20 appointment makers, to prioritise appointments for 11:37
21 these patients within radiology and pathology services.

22
23 The setup of the computer in Theatre 2 is currently
24 with that Department and the Capps Manager.

25 11:38
26 Regarding your second point on holidays, I am not sure
27 what this refers to, could you please clarify this for
28 me. If this is with regard to the medical staff, this
29 does not come under my remit and would be better

1 addressed with the medical leads for those
2 specialities.

3
4 During the week of your letter the camera had arrived
5 and was being setup and I understand that this system 11:38
6 is now working and will enable the presentation and
7 full discussion of pathology.

8
9 Regarding the management and guidelines of intravesical
10 mitomycin and BCG, the guidelines are the 11:38
11 responsibility of the clinical team within the MDT and
12 do not fall under my direct remit. I would expect that
13 the medical teams are working closely with the nursing
14 staff, pharmacy and urology managers, et cetera, to
15 produce these. I am happy to advise as able. 11:38

16
17 I would have concerns if there is no current guidance
18 as I understand that this service has been in existence
19 for some time and feel this should be addressed
20 urgently. I am unclear as to the need for "someone" to 11:39
21 be present at the MDM to "take this forward".

22
23 If the pathways, protocols, et cetera, are clearly
24 stated, this service should follow similar lines as
25 patients going on for any treatment is the role of the 11:39
26 CNS or should someone attend from the ambulatory care
27 service? A decision needs to be taken by the Urology
28 Team in discussion with their management.

1 I am disappointed that you feel frustrated with the
2 process as I feel that the Team has made significant
3 progress in the establishment of its MDM which runs
4 extremely well. The team members have full patient
5 discussion and agree very clear management plans which 11:39
6 has been very helpful for the MDT coordinator.

7
8 I hope that some of the issues raised, such as the
9 laptop, will soon be completed. However, some areas
10 are outside of my remit and I will pass these on to the 11:40
11 relevant areas. Yours sincerely, A Porter, Head of
12 Cancer Services."

13
14 So having read that in, it might be an appropriate time
15 and we can come back to that point if that suits. 11:40
16 CHAIR: we'll come back, ladies and gentlemen, at
17 five-to-12.

18
19 (Short adjournment - 11:40 a.m.)

20
21 CHAIR: Ready to continue?

22 87 Q. MS. McMAHON BL: Mr. Akhtar, I have read out
23 correspondence back and forth and I wanted to draw the
24 Panel's attention to the chronology of those, 5 July
25 2010 was your letter to Alison Porter. Her reply was 11:55
26 26 July 2010. Those corresponds were most particularly
27 in relation to the MDM and the outworkings of
28 decisions, et cetera, and the letter that I read
29 perhaps, outside chronological order, was 1

1 November 2010 which was also making reference to the
2 implementation of the Regional Urology Review, so
3 that's the correspondence on the various issues that
4 you brought to their attention.

5
6 I wonder if I could ask you, given that we've looked at
7 the potential lack of infrastructure around some of the
8 MDM provision, did you consider that inhibited
9 linking-in with the regional MDM or inhibited working
10 with the regional MDM?

11 A. I think, in my opinion, it was the start of a new
12 service or the start of a new activity. And at that
13 time, if we look at it, as you and me are talking
14 online nowadays, without me present there - thanks very
15 much for that - but if we go back 12 years and the IT
16 and all that infrastructure was not very much advanced,
17 so there was always a teething problem.

18
19 I believe towards the end of my tenure there, the
20 majority of those linking-in things were resolved.
21 I never had any issue in terms of any resistance to
22 linking-in, because once a thing has to be done and I
23 have been assigned to do that and it is for the
24 betterment of the patient then we did it. But it was
25 time and it was availability of the resources,
26 availability of various equipment, which gradually
27 include, as you see from Alison's letter as we said
28 in July, that microscope was not available. So luckily
29 at that time when she wrote back to me, the microscope

1 was replaced and fixed.

2
3 So as I said, as a leader, what you have to do is, you
4 have to gradually nudge sometimes. You don't get all
5 the things in one go, you get them bit by bit in NHS, 11:57
6 so that's the way we work. We achieved the majority of
7 the things which we were supposed to get. But if you
8 say within four months, in my view that was quite an
9 achievement within four months that we were up and
10 running and we were linking, but still having teething 11:57
11 problems which I think resolved later on during my
12 presence there.

13 88 Q. I would like to ask you a couple of questions about the
14 regional review of Adult Urology Services in
15 April 2010. 11:58

16
17 Now, there were 26 recommendations of the review, as
18 the Panel has heard. And for the note, recommendation
19 19, which can be found - we don't need to go to this -
20 it can be found in TRU-282748, stated that: 11:58

21
22 "By March 2010, at the latest, all radical pelvic
23 surgery should be undertaken on a single site at
24 Belfast City Hospital by a specialist team of surgeons.
25 The transfer of this work was to be phased in to enable 11:58
26 the City Hospital to appoint appropriate staff and
27 ensure infrastructure and systems are in place. A
28 phased implementation plan should be agreed by all
29 parties. There were ongoing discussions."

1 I just wonder, given your position on the MDT as Chair
2 at that time and as consultant within Urology, were you
3 involved in any of those ongoing discussions in and
4 around April 2010?

5 A. I had just become first-time aware of that when we met, 11:59
6 I think, with Mark Fordham, when a suggestion of
7 centralisation started, but I think it was at the
8 middle or start of 2010. I think that was the
9 recommendation.

10
11 So there are two things here: One is, if there are 11:59
12 some changes being made by NHS, we have to abide by it
13 because we are an employee for them. But, do we agree
14 the changes are done in the right way? That is
15 something that's always debatable. In my view we never 11:59
16 had any resistance in terms of -- we did have some
17 reservation the way it is done, but by the time MDT was
18 up and running, I think it was in August 2010 by that
19 time when the surgery was completely transferred,
20 pelvic surgery was completely transferred to the 12:00
21 Belfast Trust.

22 89 Q. Do you recall any reasons why there was any delay
23 around the implementation of that particular
24 recommendation? I think you said about August it had
25 progressed, but do you recall anything in particular or 12:00
26 your understanding of it?

27 A. No, I never because I will give you an example; I did
28 feel that there was some lack of clarity in some way.
29 Because the first time I became aware of the surgery,

1 I was hearing that there was negotiation or changes
2 were going to take place, but no date was given. So we
3 were listing our patients as they were coming in.
4 I think I had a patient listed some time in 2010 when
5 I was told that I can do that surgery and the 12:00
6 commissioner has now decided. I have no objection to
7 that. That's fine.

8
9 So it was slightly, what do you call that, feeling
10 frustrated that you have to speak to the patient and 12:01
11 tell them that now you are going to Belfast, when the
12 patient was waiting for the surgery in the hospital.
13 So that was quite frustrating for me being a surgeon,
14 that I'm doing a operation tomorrow and not to be able
15 to do that. Apart from that I have no reservation. 12:01
16 work which needs to be done at a better place should be
17 done there. So here you go, the things were moved from
18 there onward.

19 90 Q. So you recognised the direction of travel for the more
20 intensive or complicated surgery and although you, as 12:01
21 a surgeon, would want to be involved in that level of
22 complex operation I presume, you understood why there
23 was a need for patients to go to Belfast for those
24 operations?

25 A. Yes, I do understand and that is why we, in the NHS, 12:01
26 always work towards the better outcome for the patient.
27 It was the right decision, but I do have some
28 reservation about how it is implemented and there could
29 have been a better way of dealing with that, which

1 I did express. Like for example, at that time Belfast
 2 have only 2 or 3 surgeons. If they are going to take
 3 all the work from other Trusts also there could be
 4 a possibility of sharing some of that work. You can
 5 make a Centre of Excellence or specialisation in
 6 Belfast where surgeons from other Trusts can come,
 7 bring their patients and operate.

12:02

8
 9 So that from Clinical Governance point of view and from
 10 maintaining the IOG guidelines, it could be a better
 11 outcome for the patient and also better satisfaction
 12 for the surgeons. But I am afraid that was not
 13 discussed ever. But that is me, my reservation, and it
 14 doesn't matter when it comes to the changes which are
 15 for the goodness of the patient. I just let the
 16 patient --

12:02

12:03

17 91 Q. The Inquiry has heard evidence from some consultants
 18 from Belfast Trust and there was correspondence that
 19 did suggest that if complex radical pelvic surgery was
 20 to be done in the Belfast City Hospital then there
 21 would be a patient swapping potential, where they would
 22 offset some of their theatre time for nonradical pelvic
 23 surgery patients to Craigavon. So I think that might
 24 have been mooted at some point, but it's not clear if
 25 that was ever followed through. Is it your
 26 recollection that it probably wasn't?

12:03

12:03

27 A. I think there was some unclarity about a particular
 28 operation, about doing a cystectomy in a noncancer for
 29 benign reasons. And I -- going through the evidence

1 I came across an email, I think, from Eamon Mackle,
2 which I wasn't part of that because it was just part of
3 a bundle, that's what I looked at it, in which there
4 was an indication that it was unclear about where that
5 surgery be performed. But I think in August it was 12:04
6 decided all the surgery should be going to Belfast
7 Trust.

8
9 My point was not that on clarity, my point was slightly
10 different. My point was to have a discussion with all 12:04
11 the teams of three different Trusts in Northern Ireland
12 and making a group of surgeons who can perform the
13 surgery, either it could be at one centre where they
14 all can work together. That was my point. That is
15 slightly different than not -- it was not a resistance 12:04
16 that, okay, for me, yes, they need to be done at one
17 centre, sure, fine. That's a better outcome. But who
18 perform that surgery? That was my point.

19 92 Q. So that's a different point, thank you for clarifying
20 that. 12:04

21
22 It also lends itself to what I think you hinted at in
23 your previous answer which was, it might have been more
24 beneficial to have better communication between the
25 teams, get, perhaps, better buy-in and understanding of 12:05
26 the reason for it.

27
28 In relation to your patients, I don't get from your
29 answer that you either refused or were particularly

1 reluctant or tried to in any way stand in the way of
2 patients of yours who fell within the criteria for
3 Belfast City Hospital being transferred up. You just
4 let that happen, I presume?

5 A. That's the initial answer I said. I have no 12:05
6 obstruction to the changes and I have no resistance to
7 the changes. I have my own views to express that this
8 thing should be done slightly differently. The basic
9 point was of all that centralisation, of patients
10 having radical surgery of the pelvis in one centre do 12:05
11 better. There is no doubt about that, we all agree to
12 that, but who perform that? Can it be organised at one
13 centre in Belfast, whereas the other surgeons from
14 Craigavon or the other part of the North can come down
15 and have a rotational basis, they have a time allocated 12:06
16 to operate on their patients.

17
18 My view was, it is better for the continuity of care
19 that if I have a Craigavon patient I operated in one
20 centre, then they come back and follow-up with me at 12:06
21 Craigavon. I think that is the majority of the Trust,
22 and England have the same model of working. In this
23 way my view was, there will be better communication and
24 interaction between the surgeons from different Trusts
25 and have a good view for the patients' betterment. 12:06
26 That was my only concern.

27 93 Q. Did you make those suggestions in any formal or
28 informal way to those who were making decisions?

29 A. I did, actually. I think I must have said that and

1 that's why I still remember it, but not in a formal way
2 because we were never asked about any formal. It's
3 only in the meetings I might have discussed that, that
4 this is the way it should be.

5 94 Q. Do I take it from your answer that you didn't feel that 12:07
6 you had been engaged with properly in relation to the
7 review, the regional review?

8 A. The majority of the review happened without us present.
9 We were only present on a meeting with Mr. Mark
10 Fordham, which you might have some notes of the minutes 12:07
11 of the meeting. That's the first time I recall. It
12 was quite a feeling for me, in a way, that, yes, we are
13 meeting and we thought, my understanding is when you
14 meet you discuss the things. But the way it came
15 across on to us, I was the junior most fellow so I kept 12:07
16 quiet for the majority of the time, but the way it
17 comes to us was entirely a one-way traffic, this is the
18 things that has to be done.

19 95 Q. We will just pick up your statement at this point
20 because you said the same for the level of your 12:08
21 involvement. It seems for you and the other clinicians
22 that kicked-in post-recommendation, as opposed to
23 informing the recommendations. If we go to WIT-41837.
24 This is your statement. Paragraph 9.1 and 9.2.

25 A. Sorry, four-one-eight? 12:08

26 96 Q. 41837, paragraph 9.1. It says:

27
28 "The first ever meeting of Urology Service Review took
29 place in March 2009, with Mr. Mark Fordham, the

1 Consultant Urologist from Liverpool leading this
 2 review. The Trust management team and the Consultant
 3 Urologists, Mr. Michael Young and Mr. Aidan O'Brien
 4 Were also present. The purpose of the meeting was to
 5 discuss the recommendation from the review and agreeing 12:08
 6 an implementation process.

7
 8 After this meeting the Trust management team, led by
 9 Dr. G Rankin, Director for Acute Services, Martina
 10 Corrigan, Business Manager Urology, and Mr. E Mackle, 12:09
 11 Associate Medical Director, and all the Consultant
 12 Urologists, myself, Mr. Young and Mr. O'Brien discussed
 13 the recommendations and agreed to form a Steering Group
 14 in Trust for implementation. The Group organised
 15 regular weekly Monday evening meetings." 12:09

16 Paragraph 9.2:

17
 18
 19 "These meetings took place on Mondays (except Bank
 20 Holidays) and continued until late 2010. In these 12:09
 21 meeting we worked out the number of our clinical
 22 appointments and design and development of the
 23 Thorndale Unit, various pathways for patients'
 24 conditions, workforce issues and consultant job plan
 25 reviews according to the recommendations. Minutes will 12:09
 26 be available from the Trust.

27
 28 We also decided to have a named consultant for each of
 29 the specialty pathways. I was asked to look after the

1 oncology aspect of the Urology Service, which I did
2 until my departure in March 2012."

3
4 I want to take you to an extract now from Eamon
5 Mackle's statement at WIT-11740, paragraph 11:

12:10

6
7 "To enable the expansion of the service...".

8
9 This is to pick up the point you have just mentioned in
10 your statement:

12:10

11
12 "To enable the expansion of the service, multiple work
13 streams were set-up to deliver an implementation plan.
14 Initially Joy Youart and then Gillian Rankin chaired
15 weekly meetings with the three urologists. These 12:10
16 meetings were met with almost unanimous resistance by
17 the Urologists and it involved a huge effort and dogged
18 determination on our part to gradually achieve
19 agreement on the issues needed to modernise the
20 service. The changes in practice that were expected by 12:10
21 the Commissioners' were many and included: Management
22 of red flag referrals, triage, preoperative assessment,
23 length of stay, number of patients per clinic (and
24 thus, length of appointment), transfer of radical
25 pelvic surgery to Belfast, role of nurse specialist, 12:11
26 and team job plans.

27
28 Throughout these meetings it was obvious that the main
29 resistance to embrace change came from Aidan O'Brien,

1 although as stated above, he did get support from his
2 two colleagues. Aidan O'Brien had quite fixed views on
3 how he wished to practise and deliver a urological
4 service and these did not match those of the
5 Commissioners. My main role at the meetings was to 12:11
6 provide a clinical challenge function to the opinions,
7 re delivery of the service, that were being expounded
8 by the Urologists so that Gillian Rankin could achieve
9 the desired consensus and outcome."

10
11 Then if we go in the same response from Mr. Mackle at 12:11
12 WIT-11758. At the very bottom line there you will see
13 the word "frequently". Do you see the second line from
14 the bottom?

15
16 "Frequently, we would find at one meeting that what 12:12
17 we considered had been agreed at previous weeks'
18 meetings the Urologists would wish to negotiate.
19 I recall Gillian Rankin stating that she felt their aim
20 was to talk us into submission." 12:12

21
22 The previous information in that paragraph indicates
23 that the "their" in that sentence refers to the
24 consultants. So Mr. Mackle appears to paint a picture
25 of resistance and difficulty in trying to persuade the 12:12
26 consultants of either the need for change or the
27 recommended pathways for that change. He names
28 Mr. O'Brien as holding out particular views that seemed
29 to be contrary to the direction of travel the Trust

1 wished to go down at that point.

2
3 First of all, is that your recollection of the tone and
4 content of those meetings?

5 A. Those meetings were certainly set-up to make the 12:13
6 changes and when the changes happen in any Department,
7 it was quite a major change which was going to
8 completely change the practice and working of all of
9 us. So there is going to be a certain degree of
10 resistance, there is no doubt about it. 12:13

11
12 But our point throughout the meetings and which I would
13 still maintain was, if we are going to change we should
14 change it with all the resources provided, with all the
15 infrastructure provided. You can't just be saying that 12:13
16 you start an MDT, one example, and just go and find out
17 how you do that. No, you need all the other job plans
18 of the so-many-other consultants.

19
20 If you call it resistance or obstruction, look, it's 12:14
21 a two-way traffic. Management, if management want a
22 consultant to work in the new way of working, then they
23 should be able to provide the proper infrastructure,
24 proper resources, and if those resources are not
25 available or scarce, then it is not a resistance, 12:14
26 I will certainly feel that my patient will be -- the
27 safety of my patients will be compromised.

28
29 So if Mr. Mackle thinks that that was resistance, then

1 I'm afraid I disagree with that. I certainly said that
2 we are happy to make changes. You'll see from my email
3 to Alison Porter, sorry, my letter to Alison Porter
4 that we did start at MDT. We did ask for a red flag
5 system to put up. And we did express that we are happy 12:14
6 to send the pelvic surgery to Belfast, but this is not
7 the way it has been done. It should be done with
8 communication. So there was certainly a lack of
9 communication from the review implementation on the
10 start. 12:15

11
12 It did improve once we started the Steering Group
13 meeting. I'm not aware that they were playing with us,
14 if Eamon Mackle was challenging and Gillian was going
15 around different, that is the way of management. But 12:15
16 certainly we speak what we felt at the time is correct
17 for the betterment of our patient. I'll not recognise
18 that it was a resistance, I'll say that it was an
19 insistence to provide us the resources for to setup all
20 these new changes. 12:15

21 97 Q. If I could summarise your answer in the sense that you
22 felt any objections that came from you were based on
23 patient priority of their care and their needs, and
24 you felt that your justifications for responding in
25 those meetings in the way that you did, you were driven 12:16
26 by patient --

27 A. Of course --

28 98 Q. -- putting your patient first, and that any
29 interpretation of those objections by you as being

1 obstruction, or any other resistance, is one person's
 2 interpretation rather than what your intention was.
 3 would that be fair?

4 A. It would be fair. Can I give you an example to explain
 5 that, why it is felt. Suppose you are Mr. Mackle, I am 12:16
 6 Mr. Akhtar, you ask me 'Mehmood, from tomorrow you are
 7 going to see 12 patients in your clinic, five of them
 8 will be a cancer patient'. I will certainly say,
 9 I said 'Mr. Mackle, I'll be happy to see that, but
 10 I need this, this, this thing'. will that be 12:16
 11 a resistance? Because I don't feel safe that five
 12 cancer patients should be seen in my clinic
 13 back-to-back with seven other patients.

14
 15 As Alison also accepted in the letter, there was delays 12:17
 16 in the clinics because cancer patients take a longer
 17 period of time. So will it be a resistance? No. It
 18 will be asking for the resources to run a better
 19 service. That's what my point is.

20 99 Q. Was it your experience that Mr. O'Brien was the main 12:17
 21 source of resistance to change as alleged?

22 A. I never found him, but I believe Mr. O'Brien and all
 23 three of us were working in providing better care for
 24 the patient. So if he has objected on anything, it
 25 will be for the betterment of the patient. He never 12:17
 26 said that he's not going to do that, he always said
 27 'provide me the resources', I believe, which is my
 28 recollection. If there's any other evidence of any
 29 correspondence or communication which I'm not aware of.

1 100 Q. You also have mentioned in your Section 21 about the
 2 issue on job plans and the difficulty, and the Panel
 3 have heard some evidence around delays around job
 4 plans, difficulties finalising job plans, some job
 5 plans were never finalised and you have certainly 12:18
 6 referred to that. And also in relation to admin time
 7 that you can have for your nonclinical aspects of your
 8 role.

9
 10 what was your view of how management responded to 12:18
 11 suggestions from the clinicians that they needed
 12 greater facilitation to allow them to complete the
 13 administrative aspects of their role?

14 A. As a clinician we always are doing administration.
 15 Honestly, there is plenty of hours we put in, but what 12:18
 16 is formalised in the job plan, that needs to be
 17 negotiated. So we were asking -- now I think there are
 18 proper guidelines that if you do one clinic you deserve
 19 one-hour of admin time. So at that time there was not
 20 very clear-cut guidelines. So we are always looking 12:18
 21 for that. We are doing more and more paperwork. We
 22 are doing more and more other works which are
 23 non-clinical. So we need some type of remuneration in
 24 order to compensate for that work we spent. I think my
 25 job plan was around 1.25 to 1.5 of admin time which 12:19
 26 means I was spending around 5 to 6 hours of work doing
 27 non clinical work to sort out the patient, triage,
 28 looking at investigations, things like that.

1 So I never have any issues because those are the things
 2 that either you do a diary exercise you cannot prove
 3 and administration or medical directors are always on
 4 the side of cutting it down. So it's basically always
 5 a bone of contention between the two teams. That's the 12:19
 6 way I take it.

7 101 Q. I'll just go back to Mr. Mackle's statement where he
 8 mentions you. I want to give you the opportunity to
 9 comment on it, WIT-11773. WIT-11773 at paragraph 102.
 10 I'm just going to read this out. We can start halfway 12:19
 11 down that paragraph. I'll read the whole paragraph,
 12 actually:

13
 14 "During my tenure, Martina Corrigan, Head of Service,
 15 Heather Trouton, Assistant Director, Gillian Rankin, 12:20
 16 Debbie Burns, and Esther Giskori, Director of
 17 Acute Services, and myself, worked very well together
 18 and had a common aim and purpose. Likewise, I feel
 19 that all of the above individuals established good
 20 working relationships with most of the Urologists. 12:20
 21 Martina Corrigan, as Head of Service, had a very close
 22 relationship with them and would often act as an
 23 advocate on behalf of Urology. I have no reason to
 24 think that her relationship was not reciprocated.

25 12:20
 26 During the 18 months of Monday evening meetings, it was
 27 obvious that the three Urologists, Michael Young,
 28 Mehmood Akhtar, and Aidan O'Brien, were in agreement
 29 with each other regarding tactics and desired outcomes,

1 and while the meetings were cordial, I felt that they
 2 had an underlying mistrust of the process. I feel
 3 I have been able over the years to maintain a good
 4 working relationship with Michael Young, despite our
 5 differences in 2009/10. Mehmood Akhtar, when he was 12:21
 6 leaving in 2012, spoke to me and said that he had come
 7 realise that I had Urology's best interests at heart."
 8

9 Now, just what Mr. Mackle says at the end of that
 10 paragraph, is that something you recognise having 12:21
 11 approached him about?

12 A. No. I don't think so. I saw when I was leaving to Eamon
 13 Mackle. First of all, I don't recall that I ever said
 14 anything. As he said in his -- as I said, it is always
 15 a sort of negotiation. We never had any meeting as 12:21
 16 consultants between three of us before the meetings to
 17 make a plan to sabotage anything or to do anything,
 18 which is -- we were always good at heart. But as
 19 I said, our insistence was, we are happy to make
 20 changes but we need resources. As you know -- 12:21

21 102 Q. I understand that. I suppose, again, if I could ask,
 22 just to focus on your experience. I can understand the
 23 methodology and the justification behind that. It's
 24 just really trying to tease out what the narrative that
 25 played out rather than what should have happened. 12:22
 26

27 One of the things I want to ask you about next is; did
 28 you have any meetings with Mr. Mackle and Dr. Rankin on
 29 your own, unaccompanied by either of the other two

consultants and, if you did, what was your experience of those meetings?

A. I don't remember or recall ever meeting on my own with Eamon Mackle, except maybe in a theatre sometime, because he used to do a theatre I think on a Friday sometime. Maybe in a tearoom meeting, but that was an informal meeting. I never had any formal meeting on my own without the Departmental meeting.

12:22

103 Q. Well if we go to Mr. O'Brien's statement, WIT-82495, paragraph 27.1. I just want to ask you about this, again, because you are mentioned:

12:22

"I believe that Ms. Youart was succeeded by Gillan Rankin who remained as the Director of Acute Services for a considerable period of time during my tenure until she was replaced by Ms. Debbie Burns. I recall that in 2012 Dr. Rankin and Mr. Mackle had a number of meetings with the Consultant Urologists on an individual basis.

12:23

I found a number of meetings with Dr. Rankin and Mr. Mackle to be distressing and traumatic and believe that my two colleagues, Mr. Young and Mr. Akhtar were also distressed by the meetings which may have contributed to Mr. Akhtar's subsequent decision to leave the Trust in March 2012."

12:23

I just wonder if you could comment on that. First of all, if you found meetings with Dr. Rankin and

12:23

Mr. Mackle to be distressing and traumatic and,
secondly, if you did, did that contribute at all to
your decision to leave the Trust in March 2012?

A. Difficult to say that I have any specific distress but,
if I recall, yes, it was to some extent unsatisfactory
because they were asking us to do some things which
I did all my life, like a pelvic surgery. So it was --
not a kind of distressing, but frustrating could be
right for me to leave something which I practice.

I never had any one-to-one meeting to my recollection
with the management team. I don't think that taking
away my surgery or making those changes made me decide
to leave the Trust in March 2012. That was purely due
to my family reasons and my children.

104 Q. Thank you for that.

A. Yes.

105 Q. Again, just on the issue of communications with line
management, obviously one of the issues the Panel is
interested in is the culture that exists and the way in
which culture may help or hinder the exercise of good
Clinical Governance. Some of the correspondences may
provide some insight into that. The Panel may consider
that to be the case or not, but I just want to look at
an email chain at TRU-251051.

This is an email chain, you'll recognise the word
"boycott" is used in one of the emails I think. I can
see your face. I just wanted to say that so you'll

1 know the emails that we're moving on to, these were in
2 early December 2009.

3
4 So we start at the bottom, I think. So this is from an
5 individual to you and others. It's not to you and
6 others on this particular occasion, but it is an email
7 saying:

12:25

8
9 "Dear all, Please find attached agenda for the above
10 meeting."

12:26

11
12 Sorry, this is 30 November 2009:

13
14 "Dear all, please find attached agenda for the above
15 meeting scheduled for Monday 7 December 2009 at 1.45 in
16 Templeton House in Belfast."

12:26

17
18 Then if we move up you'll see that this is from Malcolm
19 Clegg to you and Mr. O'Brien. He says:

12:26

20
21 "Dear Mr. Akhtar, Mr. O'Brien, please find attached
22 agenda for a meeting to discuss the proposal a
23 Belfast/Craigavon crossover SPR Urology rota. This
24 meeting has been facilitated by the Board Liaison
25 Group, formerly ISG, and it will be held at 1.45 on
26 Monday, 7 December 2009 in Templeton House. Mr. Young
27 has confirmed he will be attending and I understand
28 that Chris Hagan will attend from the Belfast Trust.
29 If you are also able to attend I would be grateful if

12:26

1 you would let me know and I will inform BLG."

2
3 Now this proposal for a Belfast/Craigavon crossover SPR
4 urology rota, is that a hint of the possibility you
5 suggested earlier about sharing some of the workload? 12:27

6 A. I think if it is saying SPR, is that correct?

7 106 Q. Yes, SPR.

8 A. SPR, that actually was the finding that the junior
9 doctors working between the two Trusts, can they share
10 a rota in order to increase their numbers so that they 12:27
11 can be on-call for both sides and in a lesser, in a
12 timeframe which would be more WET Working Time
13 Directive compliance. So that's why Mr. -- what's his
14 name -- Mr. Young attended it, because he was in charge
15 of the training programme at the time. 12:28

16 107 Q. Now you have replied on the same date, 1 December 2009,
17 directly to Malcolm Clegg. You said:

18
19 "Dear Mr. Clegg, we do not intend to attend the above
20 meeting as we entirely disagree with any provision of 12:28
21 on-call cover for our Department by any junior
22 urological staff, other than those working in our
23 Department. Such a proposed cover would only further
24 compromise the standard and quality of care provided.
25 Any risk of any such further compromise is unacceptable 12:28
26 to us."

27
28 Now we have looked at Mr. Mackle's statement earlier
29 about obstruction and resistance.

1 A. That's right, this is what --

2 108 Q. I just want to ask you is this an example of that on
3 this particular issue?

4 A. Yeah. That's not issue-related to any of the clinical
5 services. This is in relation to the provision of the 12:28
6 junior doctors across the two Trusts. So if you look
7 at the geography between Craigavon, Belfast, and all
8 that, if you have a Registrar on-call between all three
9 hospitals, or four different hospitals, it will be
10 difficult for the Registrar to come to -- if there are 12:29
11 simultaneously two hospitals calling for them, where
12 will he go or she go to attend to? So that was our
13 issue. So we said that this is not safe for having it.
14 And it was something which was -- which cannot happen
15 clinically because -- and that's not a resistance, 12:29
16 that's putting the Patient Safety at the heart of it.

17 109 Q. I just wonder if, given you've explained the Patient
18 Safety context broader than you have put in the email,
19 would going to that meeting have been the best place to
20 express that, and does your reply perhaps indicate poor 12:29
21 relationships among the medics and the decision-makers?

22 A. Yes, because it was never properly discussed with us
23 that this is the agenda of the meeting you are coming
24 to, so I don't recall exactly, but in a broader context
25 that was the reason that we were never informed about 12:30
26 what is it going to be. So you are going just only to
27 discuss how the Registrars are going to work which
28 clinically was not safe. So we just said that.
29 Mr. Young is attending, that's fine, we will not be

1 coming to that. That's not obstruction or resistance,
 2 that is giving your perspective there and Mr. Young did
 3 attend that on our behalf.

4 110 Q. Well, we will look at the language used by Patrick
 5 Loughran in his reply on 10 December 2009 to Malcolm
 6 Clegg to you and Mr. O'Brien. He says:

12:30

7
 8 "Dear Mr. Akhtar and O'Brien, thanks for the email of
 9 December, 1. The purpose of the meeting was to discuss
 10 safe cover from within the EWTD limits. The notion
 11 that it is appropriate to boycott a meeting is not one
 12 that I would endorse. The agenda did not include the
 13 situation which you fear. Mr. Young attended and
 14 I will expect he will report the outcome to you in due
 15 course."

12:30

12:31

16
 17 So was this a position that you and Mr. O'Brien had
 18 decided not to attend but Mr. Young went ahead?

19 A. No. It was that Mr. Young was representing the
 20 Department on our behalf. And we never used the word
 21 we are boycotting it. We might not be able to attend.
 22 Did we say we are boycotting it? We said we do not
 23 feel it is safe to practice. That's what happened
 24 exactly when Mr. Young went to the meeting. I believe
 25 that it was feel unsafe for such a wider geographic
 26 area to be covered by one Registrar at the out-of-hour
 27 time and I think it was not safe.

12:31

12:31

28 111 Q. Do you remember the outcome that Mr. Young reported
 29 back around this issue, about the cover?

- 1 A. I have no idea, but I think it never happened because
 2 it was, as I said, clinically, geographically, it was
 3 such a big area to cover by one Registrar from three
 4 different places that it is not possible, until and
 5 unless we have some other arrangement. 12:31
- 6 112 Q. would you agree with the proposition that these emails,
 7 if you stand back from the detail of them, do suggest
 8 a certain breakdown in communication, or a resistance
 9 between medical management and the consultants for
 10 whatever reason? 12:32
- 11 A. There seems to be, if you ask me now from outside, it
 12 looks to me because my view of that was, you cannot
 13 just go on to a meeting and make an arrangement for the
 14 Registrar to cover, so there should be a preliminary
 15 work to be done with some suggestion posted to you that 12:32
 16 you work on that, some reading to be done, some
 17 suggestion taken from the consultant. So, yes, it was
 18 both ways sometime.
- 19 113 Q. Just given your experience to date, and you're a very
 20 senior consultant, would you also agree with the 12:32
 21 proposition that the culture within an organisation and
 22 the way in which people engage has an impact on the
 23 efficacy of Clinical Governance?
- 24 A. In what way? The Clinical Governance at that time,
 25 whatever it was related to the patient, this issue was 12:33
 26 not related to the particular you mention, but if you
 27 ask me in a wider context we have a significant amount
 28 of time spent in order to look at the safety of the
 29 patients and communication amongst the Department. So

1 this particular issue doesn't have any --

2 114 Q. Just to be clear, I am trying to be very careful the
3 way I word my questions so that you're not in any doubt
4 about the questions being asked.

5

12:33

6 Moving on from that point and looking at your
7 experience as a total, in all of your experience as
8 a Consultant Urologist, is it your view that the
9 culture within an organisation and the way in which
10 people communicate within that culture can have an
11 impact on Clinical Governance, either positively or
12 negatively?

12:33

13 A. It can have, as a person from outside, a negative
14 effect on the Clinical Governance. There is no doubt
15 about it that if you don't take all the people onboard
16 before deciding or making decisions or providing
17 resources effectively, certainly it will have some
18 effect.

12:34

19 115 Q. One of the other issues around the time of the
20 emergence of the MDTs was the use of the Cancer
21 Clinical Nurse Specialists. I think you have
22 experience of that as well and the way in which that
23 operated. Now the Panel have seen A Trust document,
24 the policy rests on the premise that the CNS allocation
25 occurs at the MDT meeting that the Chair and the core
26 nurse member allocate the CNS to the patient, as
27 needed.

12:34

28

29 I just wonder if you can recall your experience of the

1 use of CNS during your time. I know it was in the
 2 early days and the capacity wasn't what it was
 3 ultimately, but do you have recollections of the way in
 4 which that particular service was used and the
 5 effectiveness of it, by you as a clinician, and by you 12:35
 6 as a Chair?

7 A. I always found, yes -- actually during my tenure there
 8 was only two named CNS that we can say, the Senior
 9 Clinical Nurses at the time. One of them was I think
 10 on a long-term leave at the time when we started MDT 12:35
 11 and she joined later on, I think in 2011, if I recall.

12
 13 But at that time one person, and another nurse, which
 14 was not a specialist nurse, we effectively used them in
 15 Thorndale Unit as the role was evolving. So I believe 12:35
 16 after I left that they decided to put the named CNS.
 17 But at my time it was not possible to do that. So
 18 whenever CNS is available on the days, we utilised her
 19 in the clinic to see the patients together.

20 116 Q. So it worked well at that point, but later on the 12:36
 21 expectation of the attendance was --

22 A. Of course.

23 117 Q. -- post-review, was slightly escalated, I think?

24 A. If we look at the clinical review which suggested,
 25 I believe, at the time to five CNSS if I'm correct, 12:36
 26 I may be wrong, but I think that is the number which
 27 was escalated, maybe five consultants and three CNSS,
 28 I believe. Later on these numbers did increase because
 29 the service was evolving.

1 what I did as an MDT Chair, I used to the best of my
2 abilities to utilise the CNS in my clinic or any other
3 clinic. I did develop one of them to do the
4 flex-cystos which is quite a significant control,
5 helped me in doing the biopsies and also the Trust
6 process biopsies. So I never had any issues during
7 that time utilising the services and developing the
8 services of CNS. But as you said that it was an
9 initial time, so the role was evolving, and I'm sure
10 they picked it up later on.

12:37

12:37

11 118 Q. I think you said that the nurses at the time,
12 Mrs. O'Neill and Mrs. McMahon were present at the MDMS
13 when you were Chair?

14 A. Yeah, some of them but I think not all of them. Well
15 to start with, if I recall, I'm not 100 percent, but
16 I think during my tenure when I joined in 2005 she was
17 on leave -- 2007 she was on leave. I think she did
18 join some time in 2011 or something like that.

12:37

19 119 Q. Were you ever aware, or made aware, or noticed, or had
20 any acknowledge around allegations that Mr. O'Brien
21 apparently excluded or was accused of excluding CNSs
22 from the management of his patients? Was that
23 something that was ever brought to your attention or
24 you saw?

12:37

25 A. No, no. I had never been made aware of it. As I said,
26 during my time there was only two CNS so they were
27 present wherever they were required and we can only
28 manage them within their timescale. So nobody even
29 brought to my attention that that was happening.

12:38

1 I believe at that time it was more or less (inaudible)
2 that some clinic may not be provided with the CNS
3 services for each patient. As you know, nowadays, it
4 is totally unacceptable to see a cancer patient without
5 a CNS nurse present to facilitate, giving 12:38
6 them diagnosis and taking them any further.

7 120 Q. Did you have any experience of Mr. O'Brien being
8 dismissive of --

9 A. No.

10 121 Q. -- your views or the views of any of the MDT members, 12:38
11 including CSNs?

12 A. No, not brought to my attention and never pointed out
13 in my presence ever.

14 122 Q. I just want to take you to something that Martina
15 Corrigan has said at WIT-26299. Before I read this, 12:38
16 I want to remind you what you said in your own witness
17 statement and for the Panel's note this can be found at
18 WIT-41861, paragraph 50.1(ix)A.

19 A. 41861, is it?

20 123 Q. 41861, paragraph 50.1(ix), paragraph A. That's where 12:39
21 you describe your relationship with Mr. O'Brien. You
22 have stated that Mr. O'Brien was a mentor to you in
23 your development. That you had regular daily meetings,
24 that you undertook many complex cases together and that
25 he was always available to help and listen. That's 12:39
26 your experience of Mr. O'Brien.

27 A. That's true. That's what I have written and I still
28 maintain that today, that he was a mentor to me. I was
29 at the start of my career. That was actually, the

1 Craigavon Area Hospital was my first substantial
 2 appointment after I did a locum for a few years.
 3 We did the cases together which were complex, and he
 4 was always present, he was always there to give me
 5 a second opinion. 12:40

6 124 Q. I just need to get the correct paragraph number.

7 A. It is paragraph number (ix)A.

8 125 Q. No, that is from your statement, but I am looking at
 9 Martina Corrigan's. It has been suggested in this, and
 10 I can't see it on this page, but I am going read this 12:41
 11 out and it if it needs correcting... here we go, 67.2.
 12 Paragraph 67.2:

13
 14 "Mr. O'Brien was a well-established Consultant
 15 Urologist who took up his role in 1992 as a single 12:41
 16 Consultant Urologist. I understand that this came
 17 about with the splitting of the retired Consultant
 18 Surgeon's post into a Consultant General Surgeon, Mr.
 19 Eamon Mackle, and Consultant Urologist Mr. Aidan
 20 O'Brien. I have been advised by others, such as Mr. 12:41
 21 Mackle, Mrs. L Devlin, Head of Service, Ward Sisters
 22 who are since retired, for example, Dorothy Sharp,
 23 nursing staff, for example, Paula McKay, now Lead
 24 Nurse, other consultants such as Mr. Young, Mr. Akhtar
 25 and so on, that from the outset Mr. O'Brien had strong 12:41
 26 opinions and it would always be his way or no way.

27
 28 He undoubtedly had a strong personality and that it
 29 would appear that right through to his retirement in

1 2020 this came out in his dealings with others, so much
 2 so that I believe that others (including myself) didn't
 3 challenge him enough because when we did he always
 4 challenged back and he wore people down to the extent
 5 that, in my opinion, he was able to continue to do his 12:42
 6 own thing (whether that was the correct way to do
 7 things or not). "

8
 9 We will go back to the previous page now. So you are
 10 mentioned specifically by Mrs. Corrigan in her 12:42
 11 Section 21 with the allegation being that Mr. O'Brien
 12 had strong opinions and it would always have been his
 13 way or no way. Do you recall sharing this view about
 14 Mr. O'Brien with Mrs. Corrigan?

15 A. I don't think so. I don't recall that we ever had such 12:42
 16 a personal level of giving a description of other
 17 persons in front of a third party. I'm sorry, I don't
 18 recall any such. Because I always regard every member
 19 of the Team very high. It would be totally
 20 inappropriate of me to be giving such a statement. 12:43

21 126 Q. I take it from what you have just said that you don't
 22 agree with Mrs. Corrigan, the way she has described
 23 Mr. O'Brien in that paragraph?

24 A. In my experience, yes, that was not correct. I found
 25 he was always listening. But Martina and his 12:43
 26 relationship might be slightly different because that
 27 was a manager and a consultant relationship. So
 28 I don't say that what Martina is saying from her point
 29 of view may be different. But from consultant to

1 consultant I never found him, that he ever imposed his
2 feelings or his ways on to us.

3 127 Q. Now I just have a few general points I want to put to
4 you, hopefully round off your evidence. The Inquiry
5 has already heard a reference from Eamon Mackle who 12:43
6 suggested staffing was an issue from 2009 to 2014.
7 That is, for the Panel's note, WIT-11741, paragraph 13.
8 Also Antony Glackin, in his evidence at WIT-42295,
9 15.1, and WIT-42298, 16.1, the Urology Department was
10 inadequately staffed since he arrived in 2012. It was 12:44
11 funded for seven Consultant Urologists but never
12 reached seven substantive consultants. It was
13 dependent on locums, several of which he considered
14 were not up-to-scratch and a constant cycle of
15 recruitment. 12:44

16
17 Now in relation to the issues around staffing, do those
18 comments made reflect your experience of the staffing
19 problems while you were there?

20 A. Yes, there was always -- because at the time there was 12:44
21 an approval for the new post, but during my time they
22 were never advertised because the agreement was
23 reaching, how do we provide that service, where are the
24 resources, where the time will be, how do we... So
25 I think it was an ongoing thing but we were working 12:45
26 within the constraint of our resources which was
27 provided. But, I agree, there was always this
28 under-resourced and under-staffed Department we worked
29 for a long time.

1 128 Q. The Panel has also heard some evidence in relation to
2 the administration of IV fluids and IV antibiotics.
3 Patients being admitted onto the ward for those
4 treatment regimes. In the statement of David Connolly,
5 the Section 21 of David Connolly at WIT-41996,
6 paragraph 70.3, he says:

12:45

7
8 "For example, Mr. O'Brien (and Mr. Young and
9 Mr. Akhtar) used to regularly admit patients with
10 recurrent urinary tract infections to the Urology Ward
11 for 5 to 7 days to be treated with intravenous
12 antibiotics and fluids. I never saw this in any
13 guideline but accepted that this was the standard
14 practice in the Unit, which predated my time. I felt
15 that I was never going to change this practice in the
16 short time that I was planning to stay in the Southern
17 Health and Social Care Trust, but I was not going to
18 practise in the same way.

12:46

19
20 Similarly, he did not like using intravesical BCG
21 therapy for high-risk non-muscle invasive bladder
22 cancer and preferred mitomycin therapy."

12:46

23
24 Then it goes on to speak about that. But the first
25 part of that paragraph relates to, well, you are
26 mentioned as being involved with regularly admitting
27 patients with recurrent UTIs for 5 to 7 days to be
28 treated with intravenous antibiotics and fluids. Is
29 that a practice that you undertook, do you recognise

12:46

that sentence as being applicable to you?

A. I will strongly take the view about it because that is the statement of one of the Registrars at the time and it is totally incorrect, first of all.

It is his view but I can certainly prove it, that you need to look at the record: Did I ever admit a patient with a recurrent infection at my tenure to give them IV antibiotics? I said, very clearly, that I only use antibiotics, IV, with patients with a proper clinical (inaudible), like patient with a Pyelonephritis, patient with a temperature, (inaudible) or increased inflammation markers which are acutely unwell.

Otherwise, for the patients with a recurrent urinary tract infection, I certainly followed the guidelines to prescribe them oral antibiotics after a culture or put them on a rotational prophylaxis or suppressive course of antibiotics.

So I never did from my registrar days until today ever admit a patient for IV antibiotics for recurrent urinary tract infection. If Mr. Connolly is talking in terms of a general, then yes, I did admit it, but I said my indications were clinically with the patients who are septic.

129 Q. Just to break that down to make sure, because David Connolly will come and give evidence and I want to make sure what is put to him is clearly what you say.

1 First of all, you take from the first line of that
2 paragraph that David Connolly is perhaps intimating on
3 one version, or one interpretation of that, that there
4 was a regular procedure adopted by you and the other
5 two consultants to admit patients with recurring UTIs 12:48
6 for 5 to 7 days. He thought this was something that he
7 had never seen in any guidelines which predated his
8 time. He felt that he wasn't going to change the
9 practice so he didn't say anything, which would perhaps
10 suggest that he felt that the way in which it was done 12:49
11 was not clinically mandated?

12 A. Certainly there are occasions for IV antibiotics, as
13 I said. Now, it varies from context to context of each
14 patient. In this patient, as I said -- in this
15 scenario which you are describing, patients who are 12:49
16 systemic with recurring urinary tract infection, I said
17 very clearly I never admitted for seven days
18 antibiotics. My practice has always been clinically
19 evidence-based on clinical indications. Sepsis,
20 urinary tract infection with (inaudible) and symptoms, 12:49
21 then I do give them antibiotics, if it's clinical, and
22 that's after discussing with microbiology, which is the
23 proper one mainly to change after cultures.

24
25 But that medical scenario I never admitted and I think 12:49
26 that is not a correct statement, if it is in that one
27 setting applied to.

28 130 Q. So your evidence is that if the patient manifests with
29 sufficient systems that trigger the need for IV

antibiotics, for example, not just a UTI, but with rigors, positive cultures perhaps, other clinical signs, then IV antibiotics and fluids maybe an appropriate treatment and that is patient specific?

A. Yes.

12:50

131 Q. But any suggestion that there was a wholesale approach in some way to regular UTI patients, and that was the administration of IV antibiotics and fluids by you, you reject that suggestion?

A. I do strongly reject that suggestion.

12:50

132 Q. Do you recall if there was in your time or were you ever involved in a subsequent review of the use of IV antibiotics and fluids which resulted in a pathway being introduced to ensure that microbiologists were involved in the decision-making around that?

12:50

A. I do recall. I think Dr. Damani was at the time our clinical microbiologist and he used to give us regular advice. I was not part of any communication but I did know that at the time that Mr. Loughran and also Sam Sloan was our Clinical Director. They set up an MDT and I think they were questioning the practice of using it on a regular basis on certain types of patients. The patient was discussed at the MDT if they needed to be admitted, and taking advice from the microbiologist which antibiotics is appropriate.

12:51

12:51

133 Q. Do you ever recall there being an audit, an ongoing stewardship. It is actually the word that is used "stewardship audit of antibiotic prescribing in urology". Did that take place during your time, do

1 you recall that, where the clinicians would have
2 received feedback on the appropriateness of both the
3 prescription regime and, for example, the duration or
4 type of patient profile, and there would have been
5 feedback from pharmacy. Do you remember that?

12:52

6 A. I don't think so that happened during my time. It must
7 have been after me.

8 134 Q. It may have been after, but I just wanted to make sure
9 that while we have you here we ask you anything that
10 might be relevant.

12:52

11 A. Yes.

12 135 Q. We're going to take a break for lunch. I don't have
13 a lot more to ask you, but I'll take the lunch break to
14 consolidate that. If you will come back in the
15 afternoon we will finish your evidence off.

12:52

16 A. No problem.

17 MS. McMAHON BL: Thank you.

18 CHAIR: we will come back at 2 o'clock, ladies and
19 gentlemen.

20
21 LUNCHEON ADJOURNMENT

12:52

1 THE INQUIRY RESUMED AS FOLLOWS AFTER THE LUNCHEON
2 ADJOURNMENT

3
4 CHAIR: Good afternoon, everyone.

5 MS. McMAHON BL: Good afternoon. I just want to check 13:59
6 the link with you, Mr. Akhtar.

7
8 A. Yes, can you hear me all right?

9 MS. McMAHON BL: Loud and clear, thank you.

10
11 I just want to cover some topics briefly that have 13:59
12 arisen through the evidence the Inquiry has received,
13 just to get your perspective on those and your way of
14 working so that we can develop an understanding of the
15 way the Unit operated in certain respects. 13:59

16
17 We have heard a lot of evidence around record-keeping
18 and notes and things like that. I just want, while you
19 are here, to give you the opportunity to give your
20 evidence on your practice around those particular 13:59
21 issues.

22
23 If I start with the issue of patient notes. Now,
24 there's been evidence around removal of notes and
25 justification for that and the necessity of that for 14:00
26 offsite appointments. I know that the area covered an
27 outline area and there had to be notes moved. There
28 were formal ways in which the notes were brought back
29 and forward but also staff members as well perhaps put

1 them in their cars and that sort of thing. Also, not
2 sending the notes back to Medical Notes and Records.

3
4 I wonder could you outline your understanding of your
5 responsibility around notes and also what your practice 14:00
6 was while you were in Craigavon.

7 A. First of all, we all worked on multi-sites. Our base
8 was Craigavon Area Hospital but each of us has an
9 outlying clinic. I used to go to South Tyrone in
10 Dungannon and I believe Mr. O'Brien goes to Erne Clinic 14:00
11 in Fermanagh. Mr. Young goes to Banbridge, something
12 like that. Anyway, it was an arrangement.

13
14 For me, my practice was very clear, that usually
15 Dungannon Hospital was closer to the Craigavon Area 14:01
16 Hospital and the Trust has the notes provided there,
17 delivered there before the clinic once-a-month. But
18 there were odd occasions once in a while when they were
19 unable to deliver it on time or some notes are left
20 behind from the record. So I was advised or informed 14:01
21 to collect the notes before going to the clinic.

22
23 So usually I made an arrangement to leave it with my
24 secretary and in the morning I'll collect it before
25 going. On the way back, for me, it was at Dungannon, 14:01
26 so I leave it there and the staff then bring it back to
27 the record. I don't remember ever that I needed to
28 bring them myself, apart from occasional, very odd
29 notes that the patient says to you in the clinic the

1 next day, so I have been informed. So this was my
2 practice and I think I have never taken any notes home
3 or anywhere outside the pathway of my journey. I made
4 it available the same evening back, if I'm bringing any
5 notes back, to my secretary's office as the determined 14:02
6 place.

7 136 Q. You have mentioned the secretarial staff just at the
8 end of your answer.

9 A. Yes.

10 137 Q. How did you operate with your secretarial staff as 14:02
11 regards dictation?

12 A. From the very beginning of my training, I'm very
13 particular about writing the notes and dictation
14 immediately after I finish with the patient's
15 consultation. So I don't wait until the end of the 14:02
16 clinic, I usually as I go along. Because I do feel
17 that if I have fresh consultancy, everything is
18 remembered, so it should be documented straightaway.
19 I used to have a Dictaphone, I do it, and then on the
20 way back, a worksheet and the Dictaphone dropped to the 14:03
21 secretary's office, or I will hand it over the next
22 morning, so she will then type it.

23
24 So this is one way of dealing with my clinic, but my
25 general admin was that I usually have twice-a-week 14:03
26 meeting with my secretary face-to-face because at that
27 time not much in terms of electronically we can do.
28 And I looked at a few things. Number one, look at any
29 concern or any letters from the GPs coming through to

1 be addressed directly. Number two, looking at the
2 triage which is assigned to me on my on-call and going
3 through them. Number three, any letters which are
4 typed by my secretaries and I need to correct it or
5 sign them. Number four, I meet once every six weeks 14:03
6 for looking in advance for my operating list, because
7 that was the timeframe given in NHS, that I should look
8 at my list to filling it up. I always keep one or two
9 slots vacant for, if an emergency or a cancer patient
10 come in which need an urgent operation, so that was my 14:04
11 own practice. That's the way -- but I've a very close
12 liaison with my secretarial staff, meeting at least
13 twice weekly.

14 138 Q. In relation to notes and/or dictation, did anyone ever
15 have to approach you that you had fallen behind on your 14:04
16 dictation, or that there was a problem with the time
17 lapse between seeing a patient and dictating a letter,
18 or that notes were missing and they had been traced
19 back to you. Did anyone ever raise those issues with
20 you? 14:04

21 A. No, and never have been. As I said, I have certain
22 rules and certain practices which I follow very
23 strictly still today, and that is, it is fresh in your
24 mind, I dictate it. Very oddly sometimes I may be
25 fallen behind, like a patient dictation need 14:04
26 a correction and my secretary has left it in my folder,
27 which might take a couple of extra days to correct
28 them. But I have never been informed that I need to do
29 anything in this regard by any administrator.

- 1 139 Q. Did anyone ever bring to your attention that those were
 2 issues that had caused some problems in the practice of
 3 Mr. O'Brien or potentially caused some problems. Did
 4 anyone ever discuss that with you?
- 5 A. No, not regarding notes. Never. I never been 14:05
 6 informed. I thought that it is quite a common practice
 7 at the time because of the logistics for other
 8 consultants to take notes with them and bring it back.
 9 So I never had been informed about, that there was any
 10 issues in terms -- 14:05
- 11 140 Q. When you say in your answer it was quite a common
 12 practice at the time because of the logistics for other
 13 consultants to take notes with them and bring them
 14 back.
- 15 A. Yes. 14:05
- 16 141 Q. What are you referring to specifically there, what was
 17 common practice?
- 18 A. Common practice mean that it was an agreed protocol,
 19 that a consultant like going to Fermanagh, any notes
 20 need to be taken down there will be taken if Trust is 14:06
 21 unable to transfer them to that hospital clinic, the
 22 consultant will bring it with them. There was
 23 a special trolley made out, with boxes, which we used
 24 to wheel out with us and take it. So everybody do the
 25 same at the time. But in my case I do remember because 14:06
 26 Dungannon was very close, so I leave the notes after
 27 I finish. I only bring those notes back which I was
 28 advised to bring, the patient has next morning
 29 an appointment at Craigavon, something like that, so

1 that's what --

2 142 Q. So when you refer to common practice, you are referring
3 to the box that was used to transfer the notes between
4 offsite locations but still Trust property and back to
5 Craigavon records, that's what you are referring to?

14:06

6 A. Yes.

7 143 Q. You mentioned also in your answer, when you met your
8 secretary you discussed triage. Now I know that the
9 red flag system come in at the end of 2009, early 2010,
10 so you preceded that and also postdated that system.
11 What was your system for triaging during your tenure at
12 Craigavon?

14:07

13 A. My tenure at Craigavon, when I came in at that time
14 there wasn't any red flag system. It was only just an
15 urgent and something like routine type of thing. What
16 I used to go through the notes, the letter which is
17 sent to me and pick up the salient feature, and if
18 I feel that there is a suspicious sign of a cancer,
19 which is quite obvious, like a patient with a
20 hematuria, a patient with HYPESA, so I ask my secretary
21 to see them within a period of time which is quite
22 soon, urgent-urgent.

14:07

23
24 But then later on came in a red flag, so we used to
25 have a red flag to put it on the investigation, triage.
26 It was quite a practice at the time that an on-call
27 surgeon or an on-call urologist will be looking at
28 their triage and sort them out within a timely fashion.

14:07

29 144 Q. Now, when you were consultant of the week, when

1 you were completing your triage duties at that time,
 2 did you find that you had the capacity to adequately do
 3 the triage that was allocated to you while you were on
 4 that on-call that week?

5 A. First of all, when I was there the system was slightly 14:08
 6 different. There wasn't any consultant of the week.
 7 We used to do the on-call on a daily basis, I believe.
 8 So I did have my on-call day and I used to do some
 9 extra work out-of-hours sometimes to complete my
 10 triaging. But I must say that the time was a little 14:09
 11 constrained to do so much work. But as I didn't have
 12 my family with me, so I usually used to stay after work
 13 to complete the work, if needed to be.

14 145 Q. I think I meant to say "surgeon on-call", rather than
 15 "consultant of the week". I think that preceded, my 14:09
 16 mistake.

17 A. Not at all.

18 146 Q. But during that week, just to give us a general feel,
 19 did you ever have to raise it as an issue that you
 20 weren't able to fulfil your triage duties or were you 14:09
 21 aware of anyone else, including Mr. O'Brien, not being
 22 able to fulfil his duties in relation to triage?

23 A. It was actually, yes, I always did mine within
 24 a reasonable time. As I said, a reasonable time for me
 25 was within the same week. Like if I have been informed 14:09
 26 about the triaging on a Wednesday, I will try to finish
 27 it by Thursday or Friday. A couple of occasions, it
 28 was not raised as an issue, issue, that it is ongoing,
 29 but it was said that, oh, due to leave or that

1 Mr. O'Brien has a few letters to be triaged, which
2 certainly as a group of consultants I helped to triage
3 them so that they can be looked at in a timely fashion.
4 But it was not sort of a thing that was quite regular.
5 It happened on two or three occasions, I believe so. 14:10

6 147 Q. Would Mr. Young have also stepped into the breach on
7 occasions like that and assisted with triage, the way
8 you have just described?

9 A. I think I do remember that once -- I think it was
10 Mr. O'Brien was away or something like that, so there 14:10
11 was some gap in there. So, yes, I did quite a bit with
12 Mr. Young also stepping it up. But it was not a very
13 regular phenomenon. It was once in a while. So that's
14 why I think it must not have been raised at the time
15 with us as strongly. But, yes, we did. 14:10

16 148 Q. You have mentioned two or three occasions and you also
17 said it happened once in a while?

18 A. So if you take four or five years times of me, then it
19 will be once in a while for me. Not very regular every
20 week or every month. 14:11

21 149 Q. That's fine, I appreciate it is difficult to remember
22 precisely. Did you get any sense that this was
23 a systemic problem, that it was more endemic than you
24 realised?

25 A. No, I never realised that it was a systemic problem at 14:11
26 the time. I thought it might be that he was on leave
27 or we always have some accumulation of work, we help
28 out each other. So that's the way I perceived it at
29 the time.

1 150 Q. Just on that issue, I know we discussed the
2 Bicalutamide 50 issue this morning and I asked you
3 questions around that. Did you ever have cause to have
4 it brought to your attention that any patient, while
5 you were in Craigavon, had been prescribed Bicalutamide 14:11
6 50 as a monotherapy. Was that ever brought to your
7 attention?

8 A. I don't remember it specifically, that's what I said.
9 Unless there was any particular case you can refer to,
10 I don't remember exactly. 14:12

11 151 Q. Do you remember ever seeing a patient of Mr. O'Brien's
12 who was prescribed Bicalutamide 50 as a monotherapy?

13 A. No. I don't think so I ever have seen any patients in
14 my clinic.

15 152 Q. I just want to give you the opportunity to remember if 14:12
16 you do. You say you don't think so, is it
17 a possibility or do you remember it might have happened
18 or it didn't happen?

19 A. I can't say it with certainty. It might have happened.
20 If I have seen it I must have questioned it, but 14:12
21 I don't recall it now, because unless there's
22 a specific point of patients and I can see the notes of
23 them.

24 153 Q. Did anyone ever mention it to you, even if you didn't
25 see a patient, did Mr. Young, Eamon Mackle, anybody 14:12
26 ever say "have you noticed this?". Did anyone raise it
27 with you at all?

28 A. No. I never have any communication or any verbal
29 communication or written communication regarding this

1 issue with me at the time.

2 154 Q. We also mentioned this morning about the transfer of
3 patients to the Belfast City Hospital, the radical
4 pelvic surgery. I know you were there over 2012 and
5 the Panel have heard some evidence around the system or 14:13
6 potential problems around patients being transferred
7 and actions taken in relation to that.

8 Did you ever resist, or refuse, or get involved with
9 trying to dictate the terms under which a patient may
10 have been transferred to the City Hospital, for 14:13
11 example, indicating what your preferred treatment might
12 be for that patient, or writing to the patient
13 directly, or contacting the consultant in any way about
14 your view on what should happen?

15 A. No. I have a very strict policy, once a patient is 14:13
16 discussed in MDT and an outcome is written on a piece
17 of paper, which is an MDT Outcome Sheet, it is the
18 responsibility of mine for my patient to see them,
19 explain to them that this is what the outcome of our
20 discussion and I'm now going to refer you, you will be 14:14
21 called in from an oncologist or surgeon.

22
23 I always specifically say that you are going for
24 a surgery or radiation, so you will see within
25 a certain period of time an X, Y and Z specialist from 14:14
26 Belfast. Because our oncology were seen at Craigavon
27 at the time, so sometimes they are seen here, so I do
28 mention it to them.

1 So it was a quite clear pathway for me and that's the
 2 way. And I never informed any consultant about my
 3 preferred way, because there is no "my preferred way",
 4 there is only guidelines or a decision which we are
 5 taking for a particular individual.

14:14

6
 7 I do interfere if I found something on a patient's
 8 consulting, where a particular treatment may not be
 9 beneficial, which I can tell them, look, you have this
 10 medical condition, so XY treatment may not be suitable,
 11 so that's why I'm referring you to the specialist for
 12 other treatment.

14:15

13 155 Q. So it's your understanding the way this system operated
 14 was that once the patient was transferred to Belfast
 15 that clinical team could be informed by previous
 16 decisions in Craigavon, but were free to make their own
 17 decisions around the most appropriate care?

14:15

18 A. No. It's actually very specific, as I tell you, that's
 19 the way, I will give you an example: If it is
 20 a patient with the bladder cancer and there is no other
 21 way, you need to tell the patient that you need
 22 a surgery or you need a chemo first and given a surgery
 23 afterwards or a radiation. You tell them.

14:15

24
 25 whereas there was slight degree of a difference in the
 26 prostate cancer because you mention to the patient that
 27 you have more than one choices of a treatment according
 28 to the guidelines and you give them the pros and cons
 29 of each treatment and then let the patient decide.

14:15

1 Sometimes we give them a cooling-off period for a week
2 or two to go back and discuss with the family or
3 anybody else they want to and then come back. If they
4 inform us that they want a particular treatment, like
5 not surgery, radiation, then we refer them to the
6 radiation oncologist, or medical oncologist. If they
7 want surgery, then they go to the Belfast colleague for
8 surgery, but this is very clear.

14:16

9 156 Q. I think we're talking at slightly cross-purposes.
10 I understand the process you are setting out, the
11 patient is informed and they are guidelines, not
12 tramlines, and that they can be sidestepped if
13 necessary depending on the clinical profile.

14:16

14
15 But my question is a little bit more specific about
16 your potential involvement if a patient of yours is
17 being sent to Belfast City Hospital under the transfer
18 of the regional review regime and you have a view on
19 a certain type of treatment, that you would tell the
20 patient that treatment, and also tell the receiving
21 consultant in the hospital what you anticipate the
22 treatment should be. Would that have been your
23 practice?

14:16

24 A. No, clearly not. That's not my practice. My practice
25 is as I outlined before. That's why I was trying to be
26 more specific. I never interfere with any of the
27 treatment. It is always patient choice and giving them
28 options.

14:17

29 157 Q. In relation to your involvement with results and the

1 way in which you accessed results during your time at
2 Craigavon, the system I know has changed, and probably
3 the system you operate under now is completely
4 different. But if you can cast your mind back, was it
5 printed-off in hard copies? What way did you access 14:17
6 and how often did you access results for tests that had
7 been ordered for your patients?

8 A. As I mentioned earlier, that I have a meeting with my
9 secretary, so I have two different folders. One was
10 the folder for my investigations, so she will bring 14:17
11 that with her, and I will see them on the spot when we
12 are meeting. And I keep some of them for a later
13 action, but reasonably, within the reasonable period of
14 time, within the same week when I receive, I will
15 action them. If a letter is to be written I will do 14:18
16 that, and if I need to recall the patient, I'll do
17 that. So that was a very strict policy that I follow.
18 My secretary used to keep the record from my dictation,
19 which investigation I have ordered.

20 158 Q. Did you have your secretary identify results for you or 14:18
21 was she neutral in that she merely allowed them to be
22 accessible? Had you a system of having them flagged-up
23 if they were particularly significant?

24 A. Yeah, that's what she does actually because my letter
25 at the end says what investigations are dictated or are 14:18
26 ordered for that particular patient and what my
27 concerns are. So she will put it on to a little Excel
28 sheet, I believe, and keep a record on that when it is
29 done, so to let me know.

- 1 159 Q. So she picked up from your dictation what was the
2 order, you know the tests that had been ordered,
3 anticipated the likely time for the results, and when
4 they come in put them in a folder?
- 5 A. Yes, that's the way it was working at the time. 14:19
- 6 160 Q. I think you said you did that a couple of times a week,
7 did you?
- 8 A. Yeah, I have a regular twice-weekly meeting actually.
9 I'm very particular about organising my work stream, so
10 that's what I do it and I still maintain the same. 14:19
- 11 161 Q. In relation to any private patients that might have
12 formed part of your clinical practice while you were at
13 Craigavon, did you see patients privately while you
14 were there?
- 15 A. Very few and for a very short period of time. I did 14:19
16 a clinic in Newry Clinic which is very far away and
17 that facility has some local anaesthesia surgery so
18 I used to perform there. But I didn't recall any
19 patients to be admitted from there to the Craigavon
20 Hospital. And if it needed to be, I would certainly 14:19
21 refer them back to the GP to send it to the NHS.
- 22 162 Q. So you didn't have any patients, I think you said you
23 used the Newry Clinic at the time?
- 24 A. Yes, that was the clinic.
- 25 163 Q. You didn't have any patients who were transferred. You 14:20
26 may have brought some into Craigavon or it wasn't
27 something you did as part of your private practice?
- 28 A. No, I hardly did any. It was a very small amount of
29 private practice. The majority of them were small

1 little lumps and bumps that I managed locally in the
 2 clinic. So there was a facilitate for local
 3 anaesthesia.

4 164 Q. I think you said you might have brought some in, if you
 5 were bringing a private patient in for treatment in 14:20
 6 Craigavon, what was the procedure that you undertook to
 7 access facilities for that patient? Was there
 8 a protocol you followed or was that something for each
 9 individual consultant to organise?

10 A. Look, if it was a cancer patient then I usually sent 14:20
 11 them through the NHS, asked the GP to send it as an
 12 urgent and bring them in via the NHS route. If there
 13 is a patient who is noncancer, I don't remember I did
 14 any noncancer patient, honestly, at Craigavon.

15 165 Q. If you did a patient, like for a reversal of vasectomy? 14:21

16 A. Yes, that reminds me, because my anaesthetist was Dr.
 17 Brown at the time, we were discussing and going back,
 18 I think I did something but it was out-of-hours, it was
 19 not during my NHS practising time, which I did
 20 one reversal of vasectomy at that time. 14:21

21 166 Q. Was that a patient that you brought into Craigavon to
 22 carry out that procedure on as a private patient?

23 A. Yes.

24 167 Q. If we just use that example, what is the gateway by
 25 which you facilitate access to Craigavon through your 14:21
 26 private practice. How does a patient end up in
 27 Craigavon. What was the system by which the
 28 consultants operated to use that gateway?

29 A. I think there is a proper gateway. You need to fill in

1 a Form and there was a Private Patient Form so the
 2 hospital can charge them. If you do it on your NHS
 3 list, then you usually give that time back to the NHS.
 4 And if you decide you are going to do out-of-hours,
 5 then it is up to you when you do that and you need to 14:22
 6 organise your theatre time. That is the standard
 7 practice in any NHS. So I think that particular
 8 patient, if I recall, I think I did it out-of-hours in
 9 the evening by mutual arrangement with our private
 10 practice thing, filling in a Form. 14:22

11 168 Q. It was surgery done out-of-hours I think you said
 12 there.

13
 14 I want to just ask you a question around something you
 15 have mentioned in your statement. I will just bring it 14:22
 16 up to make sure I'm quoting it correctly. WIT-41866,
 17 at paragraph 56.1. You say:

18
 19 "During my tenure from July 2010 to March 2012, I never
 20 came across or became aware of any specific concerns or 14:23
 21 issues regarding Mr. O'Brien. The first time I heard
 22 any concerns about this was when Mr. O'Brien called me
 23 some six months ago."

24
 25 If we just stop there for the purposes of the 14:23
 26 transcript. That would have been a call from
 27 Mr. O'Brien in early 2022?

28 A. Yes.

29 169 Q. Your statement was dated 29 July 2022?

1 A. Yes, I do recall that. I think we can pull up the
2 telephone record. It was -- I received a phone call --
3 a message and then we have a phone discussion. It was
4 quite late in the night. And Mr. -- I became aware
5 that there was some Inquiry going on and he explained 14:23
6 it to me. But the reason for the call was that he was
7 a little bit disappointed with me because, as you
8 showed me that Eamon Mackle's point, earlier on,
9 remember in our discussion when Eamon Mackle said that
10 when I was leaving I said that you were doing a great 14:24
11 thing or something in that line?

12 170 Q. That we referred to earlier today.

13 A. Yes.

14 171 Q. So the context was Mr. Mackle, he was looking at
15 Mr. Mackle's statement and saying he was disappointed 14:24
16 you in?

17 A. Yes. Because I -- he was asking me did I say that and
18 I said that I don't recall anything. Then, certainly
19 we had a discussion about what is going on, about his
20 difficult time. At the time he was having MHPS what do 14:24
21 you call that, Inquiry. And then after that when I --
22 a few months after that I received the notice for
23 Section 21. He didn't inform me that I will be called
24 for any evidence. I was not sure at that time.

25 172 Q. Well, just procedurally, it is the Inquiry who makes 14:25
26 the decision about which witnesses to call, but you've
27 indicated the contents of that phone call. Was there
28 anything else about that phone call, given the nature
29 of your evidence, that would be helpful for the Inquiry

1 to hear about?

2 A. No. It was quite a long discussion between us with his
3 difficult time and how did he feel that the
4 investigation going through when he had MHPS Inquiry.
5 Apart from that, no other discussion happened. 14:25

6 173 Q. So he informed you about the MHPS Inquiry which
7 postdated your tenure, it was 2017, you had already
8 gone by then?

9 A. Yes.

10 174 Q. I see from your statement as well that you got a copy 14:25
11 of Dr. Chada's report given to you.

12 A. Yes.

13 175 Q. Did Mr. O'Brien mention anything about having lodged
14 a grievance himself in 2018. Was that some information
15 that he provided to you or that he had replied to the 14:26
16 allegations against him. Did he indicate any of that?

17 A. No, I don't remember discussing anything he has done.
18 He did mention about the USI is going on, Urology
19 Service Inquiry.

20 176 Q. And, of course, Dr. Chada's report doesn't touch upon 14:26
21 the evidence that you can provide as it postdates.

22 A. No.

23 177 Q. But just in the general context of the issues that
24 arose around that time, and we've touched upon most of
25 them through your evidence today, the various topics 14:26
26 that I've asked you about, I'm sure you won't be
27 surprised that they were the issues that I was going to
28 address given that the Inquiry has been provided with
29 evidence that suggest that they are matters of,

perhaps, concern around governance.

Is it your evidence that you had no knowledge of any issues around anyone in Urology, or in relation to Mr. O'Brien in particular, on the matters we discussed. 14:27
You had no knowledge of any of that?

A. As far as I remember, the Clinical Governance has become more, what do you call that, expanded in its role. At the time the Clinical Governance around looking after patients, around (inaudible) and things 14:27
like that, was, as I said, we used to have a business meeting. We used to have a monthly meeting with other managers and we used to discuss all the details or any concern raised about the patients and things like that. There wasn't any pattern or any behaviour which I can 14:27
pinpoint that was going to be any concern about anybody's practice or conduct in the future.

178 Q. I'm going to have to be a little bit firmer, I'm afraid, in getting an answer from you on that. I think you have explained the procedures by which you might 14:27
have heard, but is it the case that you did not hear anything, do not know anything, and were never informed of the Clinical Governance issues that are of interest to this Inquiry?

A. No. I don't remember that anybody ever raised or 14:28
communicated through to me with any communication that there was any Clinical Governance issues. As I said previously, I did triage some letters but that was, at the time, was not considered, it was considered over

1 work and capacity issues which we helped out each
2 other.

3 MS. McMAHON BL: Thank you. I have covered the issues
4 that I wanted to discuss with you today. As I said at
5 the opening, the Inquiry Panel have your Section 21. 14:28
6 They have your attachments to that and the
7 documentation you rely on in support of that and
8 obviously they have all other evidence around that. So
9 unless there's anything you want to say at this point
10 that you feel might assist the Inquiry in fulfilling 14:29
11 their Terms of Reference, I'm content to hand you over
12 to the Panel and they may have more questions, if
13 that's okay. Thank you.

14
15 END OF EXAMINATION OF MR. AKHTAR BY MS. McMAHON 14:29

16
17 CHAIR: Thank you, Ms. McMahon.

18
19 MR. MEHMOOD AKHTAR, HAVING BEEN SWORN, QUESTIONED BY
20 THE INQUIRY 10:21

21
22 CHAIR: Thank for coming to give evidence today. I'm
23 going to ask Mr. Hanbury, our Consultant Assessor, to
24 ask you some questions, then Dr. Swart will ask you
25 some questions and then I'll round them up. So, 14:29
26 Mr. Hanbury.

27 MR. HANBURY: Thanks for your evidence so far. I have
28 a couple of clinical things that I would like to ask,
29 if I may, in no particular order.

1

2 As part of your job plan you mentioned on the Thursday
3 morning radiology meeting when you discuss complex
4 cases, that's correct, isn't it?

5 A. It is correct. Yes, this is correct, sorry.

14:29

6 179 Q. The Inquiry had found out since the MDM started that
7 that fell into disuse, shall we say, the meeting
8 finished. Was that during your time there or...?

9 A. It was still happening because that meeting was
10 actually meant to be noncancer. Initially it was for
11 everybody but later on we used it for a while, I think
12 for other complex cases which are noncancer. So it
13 still keep on going, although the attendance might be
14 an issue. But it was quite a regular occurrence while
15 I was there. I don't recall that it was stopped,
16 honestly, when I left.

14:30

17 180 Q. But it was becoming less well-attended?

18 A. Quite possible. Because the radiologist, I remember it
19 Sam Hall was the Clinical Lead for the X-ray, he used
20 to be present, Mark McClure, and Dr. Gareth Williams,
21 these are the names I remember of my colleagues in
22 Radiology.

14:30

23 181 Q. I suppose I'm coming from the point of view that that
24 was a good opportunity to discuss complicated noncancer
25 cases and, if it's not happening, were those cases
26 being discussed. Would you have a view on that?

14:31

27 A. I think if it was not happening, then they still have
28 an opportunity on -- after their ward round on
29 a Thursday morning, we still sit down together and in

1 that possible time we can discuss if there is any
2 difficult case we need a second opinion from our
3 colleagues.

4 182 Q. Right, but that obviously wasn't with the radiologist
5 then?

14:31

6 A. No.

7 183 Q. Just moving on, with your attachments there was
8 a complaint that you answered about a case for a tumour
9 orchidectomy I think with an obstructed kidney that
10 needed a stent and orchidectomy. I wasn't quite sure
11 what happened afterwards, but I think the stent came
12 out after three years or so. Just fill in the details
13 there a little bit?

14:31

14 A. Yeah. What happened was, I think -- I did responded to
15 that when I was here. It was brought to my attention
16 and I apologised to the patient. I think what
17 happened, the patient went for chemotherapy in Belfast
18 because it was a regional tumour, as you know, and
19 standard practices are for orchidectomy and insertion
20 of a stent.

14:32

14:32

21
22 Then I was expecting when he will finish the chemo will
23 be sent back to us, I will be informed. So either
24 I missed or I was not informed, it was brought to my
25 attention. As soon as it was brought to my attention
26 I immediately took the steps. So I really apologise to
27 the patient and luckily the stent didn't cause any
28 encrustation or stone formation, so I was quite lucky
29 that it was all okay. But the patient did lodge

14:32

- 1 a complaint which I responded to.
- 2 184 Q. That brings in the issue, sort of, why didn't you have
3 him on record for a stent change at six months or
4 a year. I know this is an old chestnut and every
5 Urology Department struggles with this a bit, but what 14:33
6 should have happened and what went wrong in that
7 situation?
- 8 A. I think I should have initially mentioned it. I was
9 expecting that he will be finished his chemo and I will
10 get a letter back to me from my oncology colleagues 14:33
11 that we are finished, so we can then look at his CT
12 scan and his (inaudible) has resolved, or that should
13 we change it, or should we take it. But it was an
14 oversight obviously in this regard and we didn't
15 mention anything to our stent register, so that was 14:33
16 certainly a fault on us.
- 17 185 Q. So you did have a stent register then, did you?
- 18 A. I think so there was a stent register there.
- 19 186 Q. So obviously there was a glitch with the scheduled
20 waiting list. 14:33
- 21 A. Yeah.
- 22 187 Q. I suppose, just to follow-up on the waiting list
23 management, did you -- you say you organised all your
24 cases at a six-week rolling, that was done with the
25 secretary, was that? And how did you ensure that 14:34
26 scheduled cases such as a stent change didn't get
27 forgotten about, what system did you have for that?
- 28 A. I think that particular case was not put on the repeat
29 to come in for a stent change, that's why we missed it.

1 But otherwise we have a robust system of -- we have
2 a priority. First, any cancer patient who is waiting
3 to be done, we put them on the list first. After that
4 urgent patients, like patients with a catheter,
5 long-term, and things like that and then routine.
6 I also have access to a daycare surgery once in
7 a month, I believe so, so I did some of them over
8 there.

14:34

9 188 Q. Okay, thank you.

10
11 Going on to MDM management, you mention about clinical
12 oncology being a problem with quoracy, but radiology we
13 are also aware was a problem. What was the approximate
14 difficulty in that. Was it sort of one-in-two or what
15 sort of percentage were they not available?

14:34

14:35

16 A. During my tenure, as I said, it was the staff of MDT.
17 So obviously, as we said, we need to discuss the job
18 plans and giving them appropriate time for preparation,
19 which took some time to resolve. Then I used to have
20 two radiologists, a very good radiologist, Mark McClure
21 and Gareth Williams. They were both attending one or
22 the other the majority of the time.

14:35

23
24 But then another issue arise, which I think was
25 resolved after I left was, to declustering the
26 patients. Like they don't want to be present for all
27 the MDT, so they need to be informed in advance, so
28 cut-off times, the usual issues which arise which can
29 be addressed by job planning. And I do remember that

14:35

1 they were resolved after I left with the team.

2
3 But during my tenure they were -- I will say that more
4 than 70 percent of the time they were present.

5 189 Q. Thank you. We talked about pelvic surgery and radical 14:36
6 prostate cancer going to Belfast. There are a couple
7 of other subgroups of interest, one is the small kidney
8 masses. You move on to the specialist part of your
9 MDM. How did that work, the small kidney masses?

10 A. At the time the small kidney masses were discussed 14:36
11 at -- at that time I think we used to discuss if they
12 are indeterminant at the regional MDT and the majority
13 of them go on surveillance. If anybody need a partial
14 nephrectomy they used go to the Belfast after
15 establishment of MDT because that's where it was done. 14:36
16 We did for some time a partial here, but then we moved
17 all together to the Belfast because the laparoscopic
18 service was provided there.

19 190 Q. Fine, so you weren't aware of any particular problems
20 with that group of patients. Okay. 14:36

21
22 So the other one we're interested in and there was
23 a case that cropped up, was a penal cancer.

24 Obviously you were involved in the setup of the NICaN
25 IOG guidance, it needed a particular pathway. What's 14:37
26 your recollection of how that was set-up, these rare
27 cases which you will see maybe two or three a year.

28 A. Yeah. I think remember Mr. Keane, Patrick Keane, one
29 of our senior urologist at the Belfast City Hospital,

1 used to do a quite a significant amount of penile
2 preserving surgery.

3
4 So if the case is a small cancer which is diagnosed, it
5 is always discussed and referenced to him for any
6 further treatment. We never did anything more than
7 circumcision and, very rarely, I think, have a partial
8 or a penectomy done at the time, but I think it was
9 done all in Belfast.

14:37

10 191 Q. So is it your recollection that penal cancers were
11 always discussed at the regional --

14:37

12 A. During the time that I was there, yes, of course.

13 192 Q. Thank you.

14
15 Just on the same subject, MDM working, and going back
16 to some of your evidence today: There was some
17 question when you were setting up the MDM about
18 patients with bladder cancer having BCG and Mitomycin
19 coming back for follow-up check cystoscopy, and there
20 was a problem there. But that would seem to predate
21 the MDM. What was the process?

14:38

22 A. The process is usually, as according to the patient
23 histology, you decide either Mitomycin will be the
24 first choice or a BCG. Then you just give it --
25 I think it was given in Thorndale Unit at the time,
26 which was an ICAT Unit outside the hospital but in the
27 premises of hospital done by the nurses and then
28 usually book it from there.

14:38

14:38

1 So there was not a clear process, I believe, but it was
2 ongoing for a long time. But when I found out, we just
3 corrected it. So the patients get their BCG. At the
4 time we usually give only, and in 2007 onward, we only
5 give the induction BCG which was six-plus-three
6 sometimes, but maintenance came later on. So it was
7 usually the --

14:39

8 193 Q. My question wasn't so much giving it, but was it the
9 responsibility of the specialist nurses giving the BCG
10 to then schedule the check cystoscopy?

14:39

11 A. That's the way it should be and we are just sorting
12 that out I believe.

13 194 Q. The implication of your evidence was that wasn't
14 happening properly. Was that a problem of the
15 specialist nurses filling in the right forms, or was it
16 a capacity problem for check cystoscopy?

14:39

17 A. I think it was -- during my time it -- there was some
18 capacity issue but mostly, because we only have one
19 working nurse at the time, Kate O'Neill. Jenny McMahon
20 was off sick. That must be the issue, the manpower.

14:39

21 195 Q. Sorry, manpower giving the BCG or manpower doing the
22 flexible cystoscopy?

23 A. Both.

24 196 Q. Thank you. Just a couple of quick ones, the episode
25 with middle grade cover and the email with Belfast,
26 what was your middle grade cover at the Southern Trust
27 when you were there?

14:40

28 A. I think we used to have a four middle grade, a four out
29 of five. There was one GP with a special interest,

1 they used to cover out-of-hours quite regularly
2 throughout the week with the consultant on-call. So it
3 was quite focused locally and the patients are seen in
4 A&E by the A&E doctors and then referred to the middle
5 grade who was on-call.

14:40

6 197 Q. So you had a one-in-four rota?

7 A. Yes.

8 198 Q. Thank you.

9
10 very lastly, we mentioned the antibiotics and IV fluids
11 for the nonseptic patients with UTIs, obviously not
12 under your care. Were you aware of that happening?

14:40

13 A. I was aware of -- that there are some times the
14 patients are admitted through the outpatient or
15 on-call, but not on a scale. At that time I think it
16 was already being discussed with the microbiology.
17 I do not know what was routine before me, but at the
18 time when I joined it there was an MDM which used to
19 take a discussion about these patients. That may not
20 happen regularly, but it was attending physician's
21 responsibility to discuss with microbiologist.

14:41

22 199 Q. But before that happened were you -- that was obviously
23 a process that was brought in by the Medical Director
24 at that time?

25 A. Yes.

14:41

26 200 Q. When you were first aware of it, and it obviously it
27 seems as though you weren't happy with that, did
28 you discuss that with Mr. O'Brien or Mr. Young?

29 A. Because I have seen some of the consultant down on the

1 south side of the border used to have that routinely,
 2 admitting the patients who are chronically getting
 3 infections, who get an IV antibiotics, they are
 4 admitted on demand. So I thought that it is going on
 5 but never been discussed from my point of view that -- 14:42
 6 as there was an MDT discussion happening about those
 7 patients.

8 201 Q. But you didn't sort of challenge Mr. O'Brien or
 9 Mr. Young on the issue?

10 A. No. 14:42

11 MR. HANBURY: Thank you. I think that's all. Thank
 12 you very much.

13 CHAIR: Dr. Swart.

14 DR. SWART: Thank you for the evidence so far. Just
 15 a slightly different tact, can you tell me what you did 14:42
 16 about copying letters to patients?

17 A. I don't remember it exactly, but I think my practice
 18 was to have patients informed via GP, a letter goes to
 19 the GP and a copy to the patient. If a patient
 20 particularly asked for, then I would certainly make 14:42
 21 sure that he get the copy.

22 202 Q. As far as we can see, it wasn't routine instruction for
 23 patients to get copies of letters.

24 A. No. You're talking about --

25 203 Q. -- many patients had no copies of any letters. Why do 14:43
 26 you think that was? Because, as you know, in England
 27 this has been routine practice for many years now. Why
 28 do you think that was so different in Belfast now that
 29 you've kind of moved on. Do you have any reflection on

1 that?

2 A. Not really. Because I thought it was just routine the
3 GP get it and the people doesn't have an access to
4 it -- no, sorry, the people just get it from their GPs.
5 So that's what I think it was, routine going on. So I 14:43
6 never --

7 204 Q. You didn't think about it and there was no direction
8 from The Trust in this regard?

9 A. No.

10 205 Q. No. Okay. 14:43

11

12 The complaints that have come through that we've seen
13 in urology have been actually mainly about waiting
14 times. There are large numbers of patients complaining
15 about appointments and various things of that nature. 14:43
16 what would you do with that, if your secretary told you
17 that patients were ringing up and complaining about
18 waiting times, or the Complaints Department told you.
19 what was your personal practice?

20 A. My personal practice will be certainly to give an 14:44
21 attention to that and then try to resolve it if the
22 patient is waiting to be seen. I'll make sure that
23 I make an arrangement for them to be seen urgently if
24 there is a medical condition. Otherwise I just reflect
25 and go back to the GP if they are a non-urgent. 14:44

26 206 Q. How did you assess whether there had been a change in
27 their medical condition. Did you have a process for
28 that?

29 A. Of course. Sometimes I do ring the patients if there

1 is some genuine things coming through, otherwise I will
2 have asked the GP to see the patients and let us know.

3 207 Q. okay.

4
5 There's been a lot of mention of culture in every
6 single Inquiry that I'm aware of and particularly
7 medical culture. So just as a starting point, who did
8 you regard as your boss, if you like, your line
9 manager? Who did you think you answered to within the
10 Trust?

14:44

14:44

11 A. First of all, when we are appointed as consultant, we
12 are our own boss, unfortunately or fortunately. But
13 there is certainly a person with an operational duties
14 or line management. So my immediate line management
15 was two-directional, one was clinical line management,
16 which was Mr. Young. Then there was an operational,
17 from point of view, and I believe it was Martina
18 Corrigan which I usually --

14:45

19 208 Q. How did that play out for you, did that cause any
20 tensions?

14:45

21 A. No. I have never had any issue with anybody because
22 I always work collaboratively. If anybody has any --
23 if I have any difficulty, I go straight to them and if
24 they have any operational issues, they come to me and
25 we can sort it out. Because that's the only way we can
26 work in NHS.

14:45

27 209 Q. How did you see the role of the Clinical Director at
28 Craigavon?

29 A. Clinical Director, there's a clinical lead, is

1 Mr. Young. But I think Clinical Director in my time
2 was Colin Weir, he was one of the --

3 210 Q. Did you have much to do with him?

4 A. No, no, he was vascular surgeon so we hardly had --
5 only apart from meeting in the theatre changing room 14:46
6 when we have the list, and I do recall Eamon Mackle was
7 Associate Medical Director.

8 211 Q. Did any of these people sit you down as a group of
9 urologists and talk to you about your strategic plans
10 for the future or try to facilitate something. I know 14:46
11 you were involved in the Urology Service Review but
12 that was more or less imposed and so on. Did anybody
13 sit down and say, right, what needs to be done here and
14 what are your ideas?

15 A. I don't recall any, apart from this review meeting 14:46
16 which started on Monday evenings and out of our time.
17 But I don't recall there was any other meeting which
18 we have on purpose to discuss.

19

20 Because the majority of the time, if administration 14:46
21 need anything or operational-wise, it was conveyed to
22 us by Martina, our Operational Team Leader, but we work
23 very, very, closely with each other. And it was not
24 a long-term planning which I always felt like that
25 could be lacking on reflecting back now, but, yes, 14:47
26 a day-to-day operation was run by that.

27 212 Q. Yes, I mean all doctors have a duty to improve their
28 services, don't they?

29 A. Of course, yes.

- 1 213 Q. You did have the opportunity to talk about that.
2
3 was there a mistrust of people that had gone to,
4 sometimes it is called the dark side of medical
5 management, did you feel there was a tension between 14:47
6 frontline clinicians and medical managers at all?
- 7 A. No, I didn't. Because I never have any much
8 interaction with the senior management, apart from
9 those Monday. But my own relationship or my own
10 dealing with my operational manager was always 14:47
11 welcoming and it was helping each other, that's the way
12 I believed to work.
- 13 214 Q. You talked about the Clinical Governance meetings which
14 actually I think turned into Patient Safety meetings,
15 but actually it is a meeting where things were 14:48
16 discussed.
- 17 A. Yeah.
- 18 215 Q. What is your view as to how effective those meetings
19 were in terms of changing things that needed to be
20 changed? How did it work from your perspective. Say 14:48
21 there had been a serious incident and some things had
22 gone wrong. Who took responsibility, for example, for
23 putting in changes?
- 24 A. It was the responsibility of -- on a higher level was
25 clinical lead and also the operational lead. But if it 14:48
26 was particular to a patient then it was the
27 responsibility of the reflection of the consultant
28 attending physician. And then we took, as a whole,
29 responsibility the Department to implement if any

1 change need to be made.

2 216 Q. So can you think of times when you made big changes as
3 a result of a serious incident, for example?

4 A. I don't recall anything, because it was only four years
5 I was there. But I do remember that we did change that 14:48
6 we are going to be more vigilant in looking at our
7 patients' waiting list and things like that. That that
8 should be sorted out in a timely fashion.

9 217 Q. Another thing that has come out through the evidence
10 we have heard to date is a lack of investment in 14:49
11 clinical audit. Can you tell us how you found clinical
12 audit in your time and whether you had any problems
13 with resources for that, or whether you can remember
14 that being discussed as an agenda item, or whether
15 there was any input into national audits? 14:49

16 A. I don't believe -- I don't think so there at that time
17 in Urology, any national audit was running. We need to
18 look back 20, 15, 13 years ago. I don't think so there
19 was any national audit I was aware of. Because I'm
20 quite actively involved in the majority of the national 14:49
21 audits, (inaudible) and things like that. So there was
22 local audits, yes, there was. Sometimes we do our own,
23 like looking at patients with catheters and things like
24 that. But as such, if we see as a Clinical Governance
25 point of view at that time, there wasn't much going on. 14:50

26 218 Q. Where do you think the impetus for that should come
27 from. I mean, what's your view on the atmosphere that
28 allowed that to happen, because there was a lot of
29 national audit going on then?

- 1 A. Of course. But I'm not aware in Urology that any
 2 national audit of any urological condition was going
 3 on. If it was, we were not part of it. Yes, there was
 4 some cancer related which would come through MDT and we
 5 used to send the patient. The impetus should come 14:50
 6 from, actually, the clinician himself to look at and
 7 reflect on their practice and they see that if they
 8 need to change accordingly and should come. But it
 9 only comes when you have some spare time.
- 10 219 Q. So what was the main impediment from your perspective 14:50
 11 then?
- 12 A. We were working so much on a day-to-day basis, working
 13 on, and just fighting a fire which was uncontrollable.
 14 So you just finish one list, you are now looking
 15 forward to what is next on your plate to deal with it. 14:51
 16 Targets were coming at the time. You have a target of
 17 achieving triaging within 72 hours. You have a target
 18 of decreasing the 52-week wait, longer patients. So
 19 all these were going. So we were running right, left
 20 and everywhere to achieve those targets. So once 14:51
 21 I have some time, then certainly we will be --
- 22 220 Q. What targets did they set with respect to quality of
 23 service?
- 24 A. Sorry, I didn't get that?
- 25 221 Q. What metrics or targets did they set with respect to 14:51
 26 the quality of the service? Did anybody talk to
 27 clinicians about that?
- 28 A. I don't remember that apart from discussing the waiting
 29 list and discussing the long wait, discussing the

1 triage, any other matrix were discussed ever in any
2 meeting with us.

3 DR. SWART: Thank you.

4 CHAIR: Thank you, Dr. Swart.

5
6 Just a couple of things from me, Mr. Akhtar. We have
7 heard discussion this morning about the recommendation
8 from an MD going back to the patient where you would
9 discuss with the patient and you would outline if there
10 were options, rather than just one clear-cut
11 recommendation, or even if there was one clear-cut
12 recommendation and the patient said, well I don't want
13 that. Where would you record that?

14:52

14 A. It should be recorded in the patient's clinical note
15 and the letter. And preferably to bring it back to the
16 MDT and informing MDT that this patient is deciding on
17 his own slightly differently, and the patient is taking
18 control on his own hand. So there is a mechanism of
19 recording it. One is the patient's clinician notes,
20 the second is to inform the GP, and the third one to go
21 back to MDT. That is the best practice.

14:52

22 222 Q. That is best practice, so you would expect that most
23 consultants would know to do that?

24 A. Of course. That's what I think everybody will do that.

25 223 Q. Okay.

14:53

26 A. Sorry, should do that. Sorry, not "will", they should
27 do that.

28 224 Q. They should do that?

29 A. Yes.

- 1 225 Q. The first you were aware that there was any issue with
2 regard to Mr. O'Brien's practice was this telephone
3 conversation that you had with him in January of 2022.
4 First of all, you hadn't been in touch with him in the
5 ten years after you had left Craigavon, so this phone 14:53
6 call must have come out of the blue?
- 7 A. Yeah. We had been in touch with each other, like
8 meeting on regular meetings, on peer review meetings
9 mostly out of the country. I do remember for the first
10 couple of years we used to go to the European Urology 14:53
11 Oncology meetings in Europe. Then after, I think two
12 or three years that becomes less and less frequent
13 because we all got busy. Then the first time after
14 that I come across, I think. From 2014 that was the
15 first time I come across that. It was quite out of the 14:54
16 blue.
- 17 226 Q. I take it you were surprised to hear from him after
18 that length of time?
- 19 A. Yes, I was. Certainly he text me first, I think I
20 still have that message telling me that, are you free, 14:54
21 I just spoke to him then.
- 22 227 Q. So he text you and asked him to call you, is that it?
23 So you had the telephone conversation. What I'm
24 wondering is, he was asking you a specific question
25 about Eamon Mackle. Was it only later that you found 14:54
26 out about what the situation was, what the complaints
27 were in relation to the SAIs for example, to the MHPS?
28 So Mr. O'Brien didn't tell you that, you found that out
29 as a result of your involvement with the Inquiry, is

1 that fair?

2 A. No. He did mention to me that MHPS Inquiry, MHPS
3 investigation happened, but he did mention that --
4 I wasn't -- I can't recall it exactly, that either he
5 said that it is in relation to Urology Service Inquiry. 14:55
6 He did mention there was an parliamentary Inquiry going
7 on and in which the evidence he read from, because
8 preliminary evidence was given to him, so he read it,
9 from Eamon Mackle, which he said that he was slightly
10 disappointed with me. 14:55

11 228 Q. Can I ask, when you did get information, both from
12 The Trust initially so that you could reply to the
13 notice that we had sent to you, and when you later
14 received a bundle of information from the Inquiry, how
15 did you feel? 14:55

16 A. It was difficult for me because there was clearly
17 mention in it that Mr. O'Brien hasn't done some
18 triaging, also some clinical patients' clinical
19 decisions. For me it was quite difficult to take that
20 in, that this thing can happen. But obviously I feel 14:56
21 sorry for Mr. O'Brien, as well as for the patients
22 which was informed that there was some mismanagement
23 happened. But that's -- it was disbelief for me,
24 honestly.

25 229 Q. This is someone who you described earlier to us as your 14:56
26 mentor?

27 A. Yes.

28 230 Q. would it be fair for me to ask then, he said he was
29 disappointed in you, was that reciprocated when you

1 discovered all of this information?

2 A. No, it was not. Because he was my senior so if he felt
3 that some of my comments which is attributed to me, not
4 said by me, certainly he has a right to ask me because
5 he had done so much in terms of my training and the
6 work together.

14:56

7
8 So as a junior to him, I did feel it, if anything wrong
9 he has a right to ask me and I said that I will explain
10 it, that I didn't say that. So it was no reciprocated
11 but I certainly feel sorry for him when I heard all of
12 that and it was quite traumatic.

14:57

13 CHAIR: Thank you very much. I have nothing further to
14 ask you.

15 MS. McMAHON BL: Just one point I've been asked to
16 clarify.

14:57

17
18 Mr. Akhtar, just to confirm if you can, if this is your
19 evidence, that it was the Trust and not Mr. O'Brien who
20 provided you with the Chada report and Dr. Khan's
21 determination.

14:57

22 A. Yes. Mr. O'Brien didn't provide me any sort of
23 paperwork. It was only conversation we had and since
24 then we haven't had any conversation.

25 231 Q. You weren't provided with Mr. O'Brien's response or the
26 details of Mr. O'Brien's grievance?

14:57

27 A. No. The only bundle I get was on this platform which
28 is a sharing when I was informed to write on my
29 statement, which included various documents which was

1 relevant to my response of this Inquiry.

2 MS. McMAHON BL: Thank you. Thank you for clarifying
3 that. No further questions.

4 CHAIR: Thank you. Thank you, Mr. Akhtar. I think
5 that concludes the evidence today?

14:58

6 MS. McMAHON BL: Yes.

7 CHAIR: 10 o'clock tomorrow morning, ladies and
8 gentlemen.

9
10 THE HEARING WAS THEN ADJOURNED TO WEDNESDAY, 10TH
11 OCTOBER 2022, AT 10:00 A.M.

14:58