



**Oral Hearing**

**Day 66 – Wednesday, 18<sup>th</sup> October 2023**

**Being heard before: Ms Christine Smith KC (Chair)**  
**Dr Sonia Swart (Panel Member)**  
**Mr Damian Hanbury (Assessor)**

**Held at: Bradford Court, Belfast**

Gwen Malone Stenography Services certify the following to be a verbatim transcript of their stenographic notes in the above-named action.

---

**Gwen Malone Stenography Services**

I N D E X

W I T N E S S	P A G E
<u>MR. KOTHANDARAM SURESH</u>	
QUESTIONED BY MS. MCMAHON .....	3
QUESTIONED BY MR. HANBURY .....	93
QUESTIONED BY DR. SWART .....	98
QUESTIONED BY THE CHAIR .....	106
FURTHER QUESTIONED BY MS. MCMAHON .....	106

1        THE INQUIRY RESUMED ON WEDNESDAY, 18TH OCTOBER 2023 AS  
2        FOLLOWS:

3  
4        CHAIR:    Good morning.

5        MS. MCMAHON:    Good morning, Chair and panel.    The    10:00  
6        witness this morning is Mr. Ram Suresh, who at a period  
7        of time was one of the consultant urologists at  
8        Craigavon - he is now with the East Anglia Trust - but  
9        we are going to hear from Mr. Suresh.    He is  
10       represented by Mr. Fintan Canavan, who could perhaps    10:00  
11       introduce himself formally for the record.

12       MR. CANAVAN:    Good morning, Madam Chairman, Panel  
13       members.    My name is Fintan Canavan I am representing  
14       Mr.    Suresh.

15       CHAIR:    Thank you, Mr. Canavan.    10:01

16       MS. MCMAHON:    Mr.    Suresh is going to take an oath on  
17       the Holy book.

18  
19       MR. KOTHANDARAM SURESH, HAVING BEEN SWORN, WAS  
20       QUESTIONED BY MS. MCMAHON AS FOLLOWS:    10:01

21  
22       MS. MCMAHON:    Thank you, Mr. Suresh.    We have met  
23       before, but I'll formally introduce myself for the  
24       record.    My name is Laura McMahon and I am junior  
25       counsel for the Inquiry.    I'll be taking you through    10:01  
26       your evidence this morning.

27       A.    Okay.    Thank you.

28       1    Q.    Now, you have provided some written statements for the  
29       Inquiry, and they have those as your evidence, and I

1 just want to take you to those to confirm that you are  
2 happy with those. Section 21 Notice No. 61/2022 can be  
3 found at WIT-50332. We'll see your name at the top of  
4 that statement. If we go to WIT-50375, it will be  
5 dated the 1st September last year, and do you recognise 10:02  
6 that as your signature?

7 A. My apologies, it is not opening here, this module, but  
8 will it be on another screen?

9 CHAIR: Mr. Suresh, do you have a bundle that was sent  
10 to you? 10:02

11 A. Yes, that's it, yes. Yes, yes, I have got it.

12 CHAIR: So do you see the numbers in the top corner,  
13 the top right-hand corner, Ms. McMahon has been calling  
14 out those page references, and if you check those page  
15 references in your bundle you should be able to see 10:03  
16 what we're seeing.

17 A. Yes, I got it. Yes, yeah.

18 CHAIR: Okay

19 MS. MCMAHON: Okay. Thank you, Chair. So you  
20 recognise that as your signature at the bottom of your 10:03  
21 statement?

22 A. Yes, please. Yes.

23 2 Q. And do you wish to adopt that as your evidence to the  
24 Inquiry?

25 A. That's right, yes. 10:03

26 3 Q. You've also provided an addendum statement amending  
27 aspects of the Section 21, which can be found at,  
28 sorry, WIT-103270. This is the statement that was sent  
29 in yesterday. I just want to take you to that and

1           there are some corrections there, and you have added  
2           some information on to that, and we'll come to that in  
3           due course. But if we just go to the bottom of that  
4           page, it is a one page statement, it is dated the 16th  
5           of October this year, and do you recognise that as your 10:03  
6           signature?

7           A. Yes, please. Yeah.

8       4   Q. And the final addendum, again sent in yesterday, is  
9           found at WIT-103271.

10          A. Yes. 10:04

11       5   Q. And, again, we see your name at the top of that. And  
12           if we go to the next page at the bottom, do you  
13           recognise that as your signature?

14          A. Yes, please. Yeah.

15       6   Q. It is dated 17th October 2023. And do you wish to 10:04  
16           adopt that as your evidence?

17          A. That's right.

18       7   Q. Now we'll come to those statements shortly, but that's  
19           the totality of your written evidence, and as I said  
20           earlier, the Panel have your written evidence, I don't 10:04  
21           need to take you through it in particular detail, but  
22           there are some aspects of your evidence that the Panel  
23           may benefit from hearing more about, so I want to focus  
24           on those issues. And at the outset I can just say you  
25           worked at Craigavon from the 11th December 2013 until 10:04  
26           the 9th October 2016, and you raise some issues in your  
27           statement and we'll look at those. We have you for the  
28           full day, I hope to...

29       CHAIR: Sorry to interrupt, but we are seeing a lot of

1           you rather than the witness, so I just wonder.

2           MS. MCMAHON: I'm happy to change that. I'm seeing a

3           lot of me as well and it is very off-putting.

4           CHAIR: I wonder if the communications could perhaps

5           just check the screen so that we can see the witness 10:05

6           when you're speaking.

7           MS. MCMAHON: That would be helpful.

8           CHAIR: Because we can see you in person anyway.

9           MS. MCMAHON: Yes, you can. Two of me is more than

10          enough! So if you can you hear me, Mr. Suresh, I'll 10:05

11          just continue on. We have you for the day.

12          A. Yes, please.

13          8 Q. But I hope we finish comfortably within today, and what

14          I have tried do is really just identify the key issues

15          that I need to ask you about to allow you to share your 10:05

16          experience on some of the key aspects of governance

17          that are of interest to the Panel. Now, the Panel has

18          heard quite a lot of information and evidence from a

19          variety of witnesses, so I'll try and focus my

20          questions just so that you can assist us where your 10:06

21          experience might be beneficial. If that's okay with

22          you?

23          A. Yes, please.

24          9 Q. And we'll work through the issues. Just at the start,

25          some of those issues will be use of IB antibiotics, the 10:06

26          issue around Bicalutamide, some of the concerns that

27          you raised, some issues that you had within your tenure

28          at the Southern Trust, and the management plan that

29          followed that, and some other issues that the Inquiry

1 has heard about like triage, MDMs, and I'll ask you  
2 general questions around that.

3  
4 Just at the outset, could I ask you just to give us a  
5 brief overview of your career to date and where you're 10:06  
6 currently working and what your duties are?

7 A. Okay. Thank you. Yeah, I did my medical school in  
8 India, and after that I did three years of surgical  
9 training and then came to the UK and started working in  
10 1996. Again I had to go through the basic surgical 10:07  
11 training rotation for a couple of years, and since 1998  
12 I have been in Urology, started as an SHO, and then a  
13 staff grade, and then moved to Stevenage, I had the  
14 great pleasure in my working with Mr. Hanbury and the  
15 consultants, two of the consultants in Lister Hospital, 10:07  
16 Stevenage, for three years, and then moved to Great  
17 Yarmouth in 2003, started as a staff grade, associate  
18 specialist. Then I was a locum consultant for four to  
19 five years. In that period one year I worked as a  
20 locum consultant in Belfast, took a sabbatical leave 10:07  
21 for about nine months, then came back to Great  
22 Yarmouth. My first substantial consultant post was in  
23 Craigavon in 2013, so worked there for three years and  
24 then came back to Great Yarmouth as a urology  
25 consultant. 10:08

26 10 Q. So you were in Craigavon just shy of three years, it  
27 wasn't quite, it was almost three years, and then you  
28 moved on to your current post?

29 A. That's right, yes.

1 11 Q. I wonder if we could go to WIT-50337. This is the  
2 description of your duties while in Craigavon. Just at  
3 paragraph 5.2 of your original Section 21, if you have  
4 it in front of you?

5 A. 50337 you said, yeah? 10:08

6 12 Q. Yes. 50337.

7 A. Yes.

8 13 Q. I'm just going to read this out.

9 A. Sorry. Yes, please, yeah.

10 14 Q. Okay. Paragraph 5.2: 10:09

11

12 "My duties and responsibilities as consultant involved  
13 conducting urology clinics, endoscopy sessions and  
14 theatre sessions and ward rounds, constantly guiding  
15 and supervising trainees, administrative work directly 10:09  
16 related to the care of patients, like reviewing the  
17 results and acting on them, triaging the referrals,  
18 which was later upgraded to advanced triaging,  
19 attending urology multi-disciplinary team meetings,  
20 engaging in quality improvement projects by involvement 10:09  
21 in audits. I did participate in a few audits but do  
22 not have the records of them. Participation in  
23 clinical audit meetings, morbidity and mortality  
24 meetings. "

25 10:09

26 And at 5.3:

27

28 "Advanced triaging means that while vetting the  
29 referral letters from the GPs or from another



1 department, based on the need, requesting appropriate  
 2 investigations like ultrasound or CT scan before seeing  
 3 the patients in the clinic so that the results would be  
 4 available when the patients were seen in the clinic.  
 5 It also involved dictating letters to the patients and 10:10  
 6 the GP referrer about the investigations requested.  
 7 The purpose of this is to speed up the process of  
 8 assessing the patients."  
 9

10 Now, just before I ask you some questions around 10:10  
 11 triage, what other consultants were working in  
 12 Craigavon when you were there?

13 A. Yeah. At that time initially when they started it was  
 14 Mr. Young, Michael Young, and Mr. Aidan O'Brien, and  
 15 Mr. Tony Glackin. So we were four of us when I started 10:10  
 16 there. And after a few months Mr. Haynes, Mark Haynes  
 17 and Mr. O'Donoghue joined. So we were six of us from,  
 18 you know, from 2015 onwards, mid 2015 or '14, yes.

19 15 Q. So Mr. Young, Mr. Glackin, Mr. O'Brien, and you were  
 20 there initially, and then Mr. Haynes and did you say 10:10  
 21 Mr. O'Donoghue as well?

22 A. That's right, yeah, they joined. Mr. Haynes and  
 23 Mr. O'Donoghue joined a bit later after I joined, yes.

24 16 Q. Now you've mentioned in your statement advance  
 25 triaging, and I just want to ask you some questions 10:11  
 26 around that. Your answer indicates that you consider  
 27 advanced triaging to involve the planning of tests and  
 28 perhaps waiting for the results before triaging the  
 29 patient. Is that the way in which you operated triage

1 or can you just explain to us the way it worked when  
2 you were there?

3 A. Yes. Now initially when we were triaging, like you  
4 know based on the referrals, the patient with a  
5 suspected cancer probably, they'll come all red 10:11  
6 flagged, I think they come on different path, they all  
7 red flagged. No question of triaging them. Like in  
8 all the two weeks (inaudible) two weeks, and other  
9 referrals would be urgent or routine. We just used to  
10 mark "urgent" or "routine". That was the usual 10:12  
11 triaging we were doing initially. And then it became  
12 advanced triaging means like, you know, if you want to  
13 see a patient as routine in the clinic, but if I think,  
14 oh, a patient need an ultrasound scan or a CT scan  
15 before being seen in the clinics, so make a request for 10:12  
16 that. And my working pattern was like to review the  
17 result, when the results come through, to review the  
18 result and then to see whether the patient can still  
19 stay as routine, or to upgrade to urgent, or red flag.  
20 So depending on the results how it come. 10:12

21 17 Q. So the -- just so I'll be clear on your answer. You  
22 carried out the triage at the point of vetting the  
23 referral letter, you also took a clinical view whether  
24 tests were required, and dependant on the results of  
25 those tests the categorisation may have changed? 10:12

26 A. That's right, yes. Yeah. Like you know especially for  
27 those with like, if we mark it as a routine one, then I  
28 don't want this patient waiting for the CT results,  
29 which could be something different, marked as routine,

1 but I want to see the CT report, and then, if needed,  
 2 to upgrade, yes.

3 18 Q. And was that the way triage was done when you arrived  
 4 at Craigavon, or was that a system that was introduced  
 5 while you were there? 10:13

6 A. As I told, initially we were just doing normal  
 7 triaging, like marking as routine or urgent. We would  
 8 not be investigating. But I think the advanced  
 9 triaging started a bit later.

10 19 Q. And was that something that all the consultants -- was 10:13  
 11 there a view taken that all the consultants would  
 12 approach it that way, or was it really up to each  
 13 individual clinician as to what approach they took?

14 A. I think this was the policy we agreed within the  
 15 Department. So I presume every consultant was doing it 10:13  
 16 .

17 20 Q. And do you know when that policy came in?

18 A. I'm sorry not exactly when.

19 21 Q. But your recollection is that there was a view taken  
 20 that that is the way in which triage should be carried 10:14  
 21 out?

22 A. I felt that it's the better way like, you know  
 23 patients, rather than waiting for months and months to  
 24 have a clinic visit, and then to ask for an  
 25 investigation. So I think this advanced triaging 10:14  
 26 speeded up the process of investigations.

27 22 Q. I suppose I am trying to get to -- there's two issues  
 28 really. The first is what you did as a clinician, and  
 29 you have explained that. And the second issue is

1           trying to establish if advanced triage, as it's  
2           referred to, was a policy, or a conscious decision made  
3           by the Trust at some point. So I think I understand  
4           your position at the moment to be that you considered  
5           advanced triage to be the most appropriate way for you 10:14  
6           to assess patients for prioritisation, but the second  
7           element of that I just want to make sure your evidence  
8           is clear, was there a decision collectively made that  
9           advanced triage was to take place in the way you have  
10          described? 10:15

11          A.    Yes.

12    23    Q.    There was?

13          A.    Yes, as I remember, yes, it was.

14    24    Q.    And you can't recollect when that conscious decision  
15                was made? 10:15

16          A.    That's I can't recollect. One of the -- during the  
17                Department meeting it was discussed and it was all  
18                agreed.

19    25    Q.    Was it the case that doing advanced triage in this way  
20                took up more time? 10:15

21          A.    It was. Certainly.

22    26    Q.    And was there any suggestion, when this decision was  
23                made, that there would be facilitation in the job plan  
24                for the time that it took to do this?

25          A.    I'm not sure that the issue of job plan or timing came 10:15  
26                up, no. As far as I am, no, it didn't come up.

27    27    Q.    Given that you had to look at the letter and then order  
28                the different tests and follow up the results and then  
29                revisit the categorisation dependant on the results, as

1 I understand it, did that take more time for triage to  
 2 be completed?

3 A. I mean personally for the clinician this was taking  
 4 more time, certainly. But for the patient I think it  
 5 was beneficial in the sense it was speeding up the 10:16  
 6 process.

7 28 Q. And was this something that the consultants agreed  
 8 among themselves, or was it something that came from  
 9 the clinical lead, or the medical director or anyone  
 10 else, where they said this is how we want triage done. 10:16  
 11 Do you recall?

12 A. I don't particularly recall how it came up, but it's  
 13 all after discussion in the departmental meeting.

14 29 Q. Now when you undertook this form of advanced triage did  
 15 that ever result in you falling behind in the triage 10:16  
 16 that was allocated to you at any point?

17 A. Not particularly. It was taking more time, but there  
 18 was no backlog or anything from my point.

19 30 Q. And were you aware of any of the other consultants  
 20 having difficulty completing triage under this 10:17  
 21 particular process?

22 A. Not until now the Inquiry came up.

23 31 Q. And we'll just go to your statement where you discuss  
 24 triage. It's WIT-50372, at paragraph 66.1. I'll just  
 25 let you find your way to that, Mr. Suresh? 10:17  
 26 A. 372. Yes, I'm on that page, please. Yeah.

27 32 Q. It's paragraph 66.1. Do you have that in front of you?

28 A. Yes, I've got it, yes. Yeah.

29 33 Q. Now the question we asked was:

"Are you now aware of governance concerns arising out of the provision of Urology Services which you were not aware of during your tenure? Identify any governance concerns which fall into this category and state whether you could and should have been made aware and why. "

10:18

And you say:

"Yes, I now understand that there were issues with Mr. O'Brien in triaging GP referrals. I was not aware of it during my tenure. Had the issue been noticed by anyone I feel it should have been highlighted straight away by reporting the incident on-line or by directly informing the clinical lead, the head of services and, if needed to, the medical director, as a matter of clinical governance. "

10:18

A. Yes.

10:18

34 Q. So from your evidence, the issue around triage was something that you became aware of at what point?

A. Only when I saw the news about the Urology Services Inquiry.

35 Q. And you never recall it being mentioned at any meetings or conversations, or anyone bringing it to your attention between 2013 and 2016?

10:19

A. Not to my attention.

36 Q. Were you ever asked to undertake another consultant's

1           triage while you were urologist of the week or at any  
2           other time?

3           A.    No, not for triaging.

4    37   Q.    Do you know if anyone had to undertake any of your  
5           triage during that time? 10:19

6           A.    No, I don't think so.

7    38   Q.    Now, there are other issues that have come to light  
8           that have resulted in this public inquiry around  
9           different aspects of governance within the Trust. Were  
10          you aware, are you aware of those issues now? Do you 10:19  
11          have a familiarity with the work of the in Inquiry? I  
12          know you have been sent our Terms of Reference with  
13          your Section 21 request, but just your general  
14          knowledge of the issues that have arisen, do you have  
15          an awareness of why we're here? 10:20

16          A.    Yes, I've been given the introduction about what is  
17          this Inquiry about. Yes.

18    39   Q.    And have the issues that we have discussed have been  
19           brought to your attention, I take it the context of the  
20           Inquiry has, you've discussed those with your various 10:20  
21           legal representatives, you've said you've looked at --  
22           you've seen newspaper articles, so you're aware of  
23           issues. When you were made aware of those issues, or  
24           became aware of them through your own knowledge, did  
25           any of those seem familiar to you that you thought 10:20  
26           "well, actually, that was a problem when I was there",  
27           or is all of this new to you?

28          A.    Maybe a couple of things as I mentioned in my bundle  
29          about the Bicalutamide prescription, I came across one

1 case. And similarly with the IV intravenous  
2 antibiotics, again I just came across with one case,  
3 yeah.

4 40 Q. Yes. And we'll come to those two examples. Other than  
5 those specific examples, because you've just mentioned 10:21  
6 the triage as something that you've subsequently become  
7 aware of, and I just want to make sure that if that is  
8 the only one, that there are no other examples that you  
9 can help us with that you can recall experiencing  
10 during your time at Craigavon? Is it Bicalutamide 50 10:21  
11 and the IV fluids, the two issues that you remember?

12 A. That's right, yes.

13 41 Q. Just as a general question on triage, I just want to  
14 finish this topic off, I have a few specific questions  
15 and then we'll move onto the IV antibiotic issue, but 10:22  
16 did you consider triage to be particularly onerous when  
17 it was your duty to carry it out?

18 A. Yes. So it is the duty of the clinician to triage,  
19 yes. It's part of our work.

20 42 Q. So it was in the context of it being another task to do 10:22  
21 among other tasks or was there something specific about  
22 it that you found difficult?

23 A. I'm sorry, I didn't understand the question?

24 43 Q. Maybe I misheard your answer. Did you agree with me,  
25 did you say that you found triaging onerous? You found 10:22  
26 it difficult or time consuming when it was your rota to  
27 do it?

28 A. It was time consuming, but it is a part of our duty.

29 44 Q. And you felt you could get it done within the time



1 allocated?

2 A. That's right, yes. I mean sometimes I had to do my  
3 triaging out of hours, like after -- particularly when  
4 we were doing on-call, or finishing our routine  
5 commitments, all the emergencies, and then I maybe 10:23  
6 sitting after 5:00 o'clock or 6:00 o'clock triaging,  
7 yeah.

8 45 Q. I wonder if we can go AOB-70484?

9 A. I'm sorry that's on a different bundle. If you can  
10 please -- yes. Yeah. 10:23

11 46 Q. I am going to read this out to you, Mr. Suresh?

12 A. Okay.

13 47 Q. This is an email that you sent on the 13th March 2014  
14 to Martina Corrigan, and you've copied in Mr. O'Brien,  
15 Mr. Glackin, Mr. Young, and it's about triage of red 10:23  
16 flags, and you say:

17

18 "Dear all,

19 I do go to the office every day, particularly while  
20 on-call, especially to triage the referrals, but I have 10:23  
21 been able to do this only after 5:00 or 6.00pm (i.e.  
22 after finishing my clinical commitments). I think we  
23 may have to cut down our clinical activities during the  
24 on-call week so that we can clear the desk in a timely  
25 fashion and will be able to assess the emergency 10:24  
26 admissions. Eager to see your views.

27 Regards,

28 Ram. "

29

1 Now, I'll just bring you to that email for the Panel's  
2 note as well to indicate that at that time you were  
3 sending to the Head of Services an email suggesting  
4 that there was - you were overcommitted in some  
5 respects and thought that the clinical activities may 10:24  
6 have to be reduced because of triage. So that gives us  
7 a flavour, a contemporaneous flavour by the email of  
8 perhaps the workload that there was in that, and I just  
9 want to have the Panel make a note of that in their  
10 considerations of triage. 10:24

11  
12 One of the issues I suppose for a clinician is: How do  
13 you know how busy you're going to be so that you can  
14 make time for triage and while you're on-call? Did you  
15 consider that to be something that you had to juggle, 10:25  
16 and as this email suggests, work after hours to  
17 complete?

18 A. That's right. Mostly when I was on-call, the on-call  
19 days used to be, you know, really busy, hectic, and  
20 depends when the emergencies come up. But as I told, 10:25  
21 most of the time I may have to sit in the evening only  
22 after sorting out all the emergencies and the other  
23 clinical work then to sit on the triaging. So.

24 48 Q. I know it's 2014 on the email, but do you recall if  
25 there was a reply that the clinical commitments would 10:25  
26 be reduced when you were on-call? Was there any  
27 response to that or action taken as a result, if you  
28 remember?

29 A. Yes, after that it changed to be like consultant

1 on-call of the week, consultant week, so our routine  
 2 commitments were cancelled during that on-call week.  
 3 But we took up slightly extra work that seem like -- we  
 4 used to do full ward rounds, that initially take a  
 5 longer time, and then some hot clinic, like you know, 10:26  
 6 any very urgent cases to be seen in the clinic. So we  
 7 were seeing them. So that our afternoon commitments  
 8 were cancelled, yes.

9 49 Q. There was some accommodation made. Was that made among  
 10 the clinicians themselves rather than a decision made 10:26  
 11 by the Trust to facilitate more time, do you remember?

12 A. This was all after every discussion in the departmental  
 13 meeting, like how we are going to address it, yeah.  
 14 I'm not sure where it came from. It's all a collective  
 15 decision. 10:26

16 50 Q. It was a collective decision. Did you get the feeling  
 17 at the time that the onus was on the clinicians to try  
 18 and find solutions when work demands perhaps interfered  
 19 with clinical activities?

20 A. It's -- I would say it is naturally from, you know, as 10:27  
 21 we started new work, or something came in, it depends  
 22 on how we feel, and give the feedback, and to act on  
 23 that.

24 51 Q. And did you feel when you raised concerns that they  
 25 were listened to? 10:27

26 A. Yes, I mean they could raise their voice, like express  
 27 their views, and there was open discussion,  
 28 particularly in the weekly departmental meetings, I  
 29 found one of the best meetings like, you know, where we

1           can bring up any issues and discuss.

2   52   Q.   And how often did you have the Departmental meetings?

3           A.   I think it was one every week. Once a week.

4           Lunchtime. Yes.

5   53   Q.   And was that an environment that you felt free to raise 10:27

6           any issues of concern?

7           A.   Yes, absolutely.

8   54   Q.   And was it your experience that when you did raise

9           issues of concern that they were addressed?

10          A.   Yes, I was listened to, and it may not be immediate 10:28

11          solution, we can't expect immediate solution for

12          anything, but at least they are being, you know, looked

13          into.

14   55   Q.   I want to move onto the IV antibiotic issue, and if we

15          could look at your statement, 503 -- WIT-50364. Maybe 10:28

16          the previous page, I just want to get the correct?

17          A.   Yeah, please. Yes.

18   56   Q.   It's 50363, and it's paragraph 49.1(a).

19          A.   Yes, please. Yeah.

20   57   Q.   I just want to read this out, and it's on the issue of 10:29

21          whether systems -- sorry, could you just move it up to

22          the start of the sentence or the start of the question.

23          Just keep going, please. I just want to see the very

24          start of the question. And this is the question around

25          concerns that you may have had just generally, and then 10:29

26          we've broken it down into subsections, but you have

27          provided a general answer. If we can go back down to

28          49.1, please? And you say at 49.1(a):

29

1 "On the clinical aspects there were some discrepancies  
2 in the practice of individuals in terms of choice and  
3 usage of antibiotics. For example, Mr. Aidan O'Brien  
4 admitted a patient for administration of intravenous  
5 antibiotic just based on the symptoms. I do not recall 10:29  
6 the exact date or month. I directly discussed with him  
7 during the joint ward rounds about seeking the advice  
8 of microbiologist. He paid attention to my suggestion  
9 and acted accordingly. I recall Mr. O'Brien contacting  
10 the microbiologist over the telephone on the same day 10:30  
11 and decided to withhold the antibiotic and to wait for  
12 culture reports. I cannot recall the exact date nor  
13 the details of the patient."

14  
15 Now, I just want to ask you about this example you have 10:30  
16 provided under our request for any concerns that you  
17 had. I just want to break it down slightly to see if  
18 you can recollect some of the facts around it, as you  
19 recall them.

20 10:30  
21 Now, you've said that Mr. O'Brien admitted a patient  
22 for administration of intravenous antibiotic just based  
23 on the symptoms. Now, can you recall how that patient  
24 presented? What sex the patient was? What age they  
25 were, and what the symptoms were as you recall them? 10:30

26 A. Yes, this issue came up during our routine ward rounds  
27 and Mr. O'Brien used to be very thorough in explaining  
28 about the patient's details, and this lady was probably  
29 in her thirties, you know, just from my memory. She

1 was, you know, sitting very comfortably, and so  
2 Mr. O'Brien gave the details, like you know. I just  
3 recollect that she had been having recurrent urinary  
4 tract infections, so admitting for intravenous  
5 antibiotics. So then I was a bit surprised about the 10:31  
6 -- she was looking too comfortable, the patient, and we  
7 looked at the chart and there's no fever or anything.  
8 Then the question came up like, you know, then I did  
9 raise the question politely like, you know, "where is  
10 the indication, please?", or "why are we admitting for 10:31  
11 intravenous antibiotics?". Then I think one of my  
12 colleagues was checking the culture report on the  
13 computer system and there was no reason to prove a  
14 urinary tract infection. So then I questioned like,  
15 you know, "where is the indication?", again I asked the 10:32  
16 same question, and he says she has been having  
17 recurring urinary tract infections and then he asked me  
18 "So what shall we do?", and then I suggested "shall we  
19 check with the microbiologist, please?" There are two  
20 questions: whether she needs antibiotics or to choose 10:32  
21 which one. And there was some discussion about  
22 antibiotics, and then he asked "what's your concern?",  
23 and then I explained, you know, the two main points,  
24 like you know assistance, or other issue of patient  
25 getting C. diff, which can be, you know, a serious 10:32  
26 threat. And so the during ward rounds we were just  
27 discussing, like you know, from academic aspect as well  
28 about it, about the antibiotics, it was a brief  
29 discussion, and then the question is then asked "what

1 should we do?", and then I said "Better check with the  
2 microbiologist", and he did. And then came back to  
3 say, yes -- he just patted on my back and said "Okay,  
4 there's no need for antibiotic. I'll go and speak to  
5 her." So then we moved on and I think Mr. O'Brien went 10:33  
6 to speak to the patient.

7 58 Q. So, in summary format, the patient presented in a way  
8 that you thought did not warrant the use of IV  
9 antibiotics because she looked too comfortable and  
10 there was no fever, no obvious indication of infection, 10:33  
11 which would be the indications medically for such  
12 treatment?

13 A. That's right, yes.

14 59 Q. And you then queried the appropriateness of that, or  
15 the need for it perhaps is a better description. The 10:33  
16 patient was complaining of or being treated for a  
17 urinary tract infection, I think you said, UTI?

18 A. Yes. Mr. O'Brien, you know, explained about the  
19 patient, like she has been having -- we were discussing  
20 like, you know, if she had a few course of antibiotics 10:34  
21 before and still having recurrent urinary infections.  
22 So that's why he admitted, yeah.

23 60 Q. So this is -- sorry, go ahead?

24 A. Sorry. More of cystitis like symptoms.

25 61 Q. So cystitis type symptoms and recurrent UTIs, would be 10:34  
26 that a fair description of her background?

27 A. That's right, yes. Yeah.

28 62 Q. And the admission was for intravenous antibiotic. Can  
29 you remember if this patient was admitted from the

1 Emergency Department, or by the GP, or by what route  
2 the patient found their way into the hospital?

3 A. I'm not entirely sure. I think probably she was seen  
4 in the clinic. I don't recall exactly.

5 63 Q. You don't recall. Would the first port of call in a 10:34  
6 patient with antibiotic treatment, would it be to  
7 provide them with oral antibiotics?

8 A. That's generally, yes.

9 64 Q. And do you know if this patient had been on a course of  
10 oral antibiotics or was she currently on one at that 10:35  
11 point?

12 A. I'm not sure about that actually.

13 65 Q. So your main concern centred on the fact that the  
14 patient wasn't presenting in a clinical way that you  
15 felt justified IV antibiotic. Is that a fair summary 10:35  
16 of your concern?

17 A. That's right. I felt patient was too well and didn't  
18 have any indication, strong indication for admission  
19 for intravenous antibiotics, yes.

20 66 Q. And I think you mentioned that the culture report had 10:35  
21 come back as being negative?

22 A. In the sense like, you know, one of the doctors, the  
23 junior doctors doing the ward rounds looked at the  
24 culture reports maybe probably for a year, I'm not sure  
25 how long she looked at, and she said "There is no 10:35  
26 reason. Positive culture."

27 67 Q. Is it possible to get a false negative from cultures?

28 A. Yes, if the patient is a lady on antibiotics.

29 68 Q. And the procedure then would be, I presume, to repeat



1 the cultures?

2 A. That's right, yes.

3 69 Q. So you raised this with Mr. O'Brien at the patient's  
4 bed was it during a ward round, was it actually as you  
5 were in front of the patient, did you mention to him or 10:36  
6 ask "what's happening? why does she need IV  
7 antibiotic?" Is that what happened?

8 A. Yes, I think within that bay, yes.

9 70 Q. In the bay?

10 A. In the bay. 10:36

11 71 Q. And you say Mr. O'Brien then indicated that he would  
12 contact the microbiologist. Was that his suggestion or  
13 was that your suggestion?

14 A. He asked me like, you know, when we discuss about the  
15 patient, there was a discussion about antibiotics, and 10:36  
16 then he asked me "what should we do?", and so I thought  
17 it was like a discussion, like not questioning each  
18 other or anything, and then I said "Oh, better discuss  
19 with the microbiologist", I suggested this to the  
20 microbiologist. 10:37

21 72 Q. And you say that he then went and phoned the  
22 microbiologist on the same day. Do you recall if he  
23 did it there and then or was it later on in the day?

24 A. I think it was same day, like doing the ward rounds and  
25 then when we were going to the next patient he said 10:37  
26 "Call the microbiologist." He did it straight away,  
27 yes. Yeah.

28 73 Q. And came back and told you that he was not going to  
29 administer the IV antibiotics and was going to wait for

1 culture reports?

2 A. That's right, yes.

3 74 Q. And do you recall what happened after that, if the IV  
4 antibiotics were administered, or was there a change of  
5 tack, do you recall? 10:37

6 A. I'm not sure. I don't recall seeing the patient again,  
7 the ward, so I assume she was discharged later, yes.  
8 Yeah.

9 75 Q. Do you recall seeing other patients who were brought in  
10 for IV antibiotics and whom you didn't think had the 10:37  
11 clinical features of needing that treatment?

12 A. No, this was the only case, yeah.

13 76 Q. And have you ever had to challenge another consultant  
14 around IV antibiotic use before in your practice,  
15 before then or since? 10:38

16 A. There'll be slight individual variation about the  
17 choice of antibiotics, sometimes maybe from different  
18 departments. So every hospital I'm sure there are a  
19 lot of issues around antibiotic prescriptions.

20 77 Q. Now, from your perspective you raised the issue and you 10:38  
21 felt it had been addressed, so you didn't feel the need  
22 to take it any further?

23 A. Because this was the only case, and even then I brought  
24 up again the same issue in the departmental meeting,  
25 because at least on that day, yes, Mr. O'Brien was 10:38  
26 there, we could discuss directly, and I just brought up  
27 the issue like if a patient being admitted for - if I  
28 feel, you know, we have the different views, how to  
29 address it, and I quoted this example, like Mr. O'Brien

1 was there and we discussed and sorted it out, what if  
 2 nobody is there, how to address it? So that's how I  
 3 brought up the issue in the Department meeting.

4 78 Q. So you brought it up in front of other colleagues as an  
 5 example of "what should I do if this scenario occurs 10:39  
 6 again?" Was it in the context of "well, if someone is  
 7 brought in for IV antibiotic use and I have to  
 8 administered the antibiotics but don't feel that the  
 9 patient requires them", was that the query?

10 A. That's right. I quoted it as an example, and also just 10:39  
 11 included it for everything. Like if you have got  
 12 different views, how to address it, yes.

13 79 Q. And do you recall who was at that meeting?

14 A. I'm sorry?

15 80 Q. Do you recall who was at the meeting? Was Mr. O'Brien 10:39  
 16 there? Mr. Young, Mr. Glackin? Were the other  
 17 consultants present, do you remember?

18 A. I'm not sure who were all on that day. But generally,  
 19 usually Mr. Young, Mr. O'Brien, Mr. Glackin, everyone  
 20 would have been there. 10:40

21 81 Q. Do you remember was Mr. O'Brien there? Did he reply or  
 22 was there any feedback from him when you raised the  
 23 issue?

24 A. He was there at the meeting, that's why I told -- you  
 25 know, Mr. O'Brien was there, I could discuss directly 10:40  
 26 with him so to all sort it, "what if not there?", and  
 27 everyone said, yeah, did the right thing, same way,  
 28 like pick up then phone, call directly, or if the  
 29 consultant is not there, speak to another one and get a

1 second opinion. Yeah.

2 82 Q. And was that the answer from Mr. O'Brien, do you  
3 recall, or from someone else?

4 A. Mr. Young was also there, yes.

5 83 Q. But do you recall who answered you when you said that? 10:40  
6 They said "If you're in doubt, lift the phone, find out  
7 from the admitting the clinician or the reviewing  
8 clinician", do you recall who that particular answer  
9 came from?

10 A. Yes, Mr. Young. 10:40

11 84 Q. Mr. Young?

12 A. Yes, that's right. Yeah.

13 85 Q. Did you have any knowledge of oversight of IV  
14 antibiotic use while you were at the Trust? Any  
15 awareness around a pathway that had to be followed if 10:41  
16 patients were being admitted for IV antibiotic use that  
17 involved a multi-disciplinary decision-making  
18 framework? Were you aware of any of that during your  
19 time?

20 A. There was no particular issue I came across, no. But, 10:41  
21 you know, everyone supposed to follow the antibiotics  
22 stewardship, yes.

23 86 Q. We'll move on to the stewardship just in a second, but  
24 specifically in relation to IV antibiotics, did you  
25 have cause to admit or send anyone from your review 10:41  
26 clinic for admission for IV antibiotic therapy?

27 A. Not from the clinic or anything, I don't recall. But  
28 from emergency department, so another common admission  
29 is patients coming with severe pyelonephritis or

1 urosepsis, that's very common admission, the patient  
2 are getting intravenous antibiotics, yes.

3 87 Q. So during your tenure you did administer IV antibiotic  
4 therapy. There were occasions when you had to because  
5 of the patient? 10:42

6 A. The patient coming with urosepsis, yes.

7 88 Q. Yes. And when you were prescribing the IV antibiotic  
8 therapy, were you -- was it brought to your attention  
9 or were you aware that there was any regime to follow  
10 in doing so, that there had to be some oversight or 10:42  
11 some involvement with the microbiologist, the pharmacy,  
12 anything like that, were you aware of any of that?

13 A. There was local policy. Every hospital follows their  
14 antibiotic of choice. So depending on the organisms  
15 and the sensitivity in that region, yes. 10:43

16 89 Q. Well that's a slightly different point. That's your  
17 decision-making as a clinician, when you decide the  
18 most appropriate antibiotic. This is more of a policy,  
19 a procedure. I'm just curious to understand if it was  
20 simply a matter of you prescribing on the chart at the 10:43  
21 end of the bed and the IV fluid being put up with the  
22 antibiotic in it, was it really just you as a clinician  
23 dictating the treatment and you weren't aware of there  
24 being any other oversight?

25 A. I don't think there was any oversight but, you know, 10:43  
26 generally we adhered to the antibiotic policy as, you  
27 know, for the local -- as to the local guidelines.

28 90 Q. If we just go to your statement again at WIT-50369,  
29 paragraph 57.1? And this is when we've asked you

1 around the risk. I'll just let you find that  
2 paragraph. It is 57.1?

3 A. Yes, please.

4 91 Q. You've said:

5  
6 "As in section 53, deviation from microbiology policy  
7 is a potential risk to patients as it can cause  
8 antimicrobial resistance and side effects from the  
9 antibiotics."

10  
11 So that was your concern particularly around the IV  
12 antibiotics issue?

13 A. That's right.

14 92 Q. That there is a risk?

15 A. Yes. Absolutely.

16 93 Q. Now, you mentioned stewardship of antibiotics just a  
17 moment ago. During your time there was just such a  
18 stewardship carried out when there was an oversight by  
19 the Trust of all of the clinicians and their  
20 prescribing of antibiotics, and we can go and look at  
21 one of those documents that the Trust have provided to  
22 us recently. TRU-395996.

23  
24 Just by way of background on this particular procedure  
25 that was carried out by pharmacy and the  
26 microbiologists, do you have any idea why this was  
27 introduced, why the stewardship was introduced at all?  
28 Was it explained to you that "we'll be having a look at  
29 your prescribing regimes and collating them and giving

1           you a report"? Did anyone come and say to you that's  
2           what's going to be happening?

3           A.    I'm not sure of the background of this audit. I  
4           thought -- I didn't know it was initiated, but I  
5           thought this like any other audit and, you know, 10:46  
6           microbiology or infection control team keeping an eye.

7   94   Q.    Was it something that just started or was it already in  
8           place when you arrived?

9           A.    I'm not exactly sure.

10   95   Q.   Now it seems to be from the information that is 10:46  
11           currently available that there is oversight of each of  
12           the consultants, and they look at the indication, which  
13           presumably is what it's needed for, and then the choice  
14           for that need, and then the frequency, which is the  
15           duration, I presume, of the administration. Now, it 10:46  
16           doesn't seem to indicate the difference between IV and  
17           oral antibiotic, but it does provide a summary of  
18           various consultants, and if we look down on this  
19           reference. You had 10 patients. Indication not  
20           recorded in 4 patients. Choice, non-compliant in 7. 10:47

21           Now I'll just read your's out because you're the  
22           witness in front of me, but no one got a top score, so  
23           just to be fair to everyone. That would seem to  
24           suggest there's some room for improvement in your  
25           prescribing or your choice. When you received this 10:47  
26           information, if you're saying that it's an audit or if  
27           the Panel consider this to be an appropriate governance  
28           tool, when you receive this, is there any follow-up  
29           with you, any learning, any discussions around "well,

1           why did you make that choice? why did you think it was  
2           indicated it needs to be recorded? The importance of  
3           record keeping", was there any conversations like that?  
4        A.    No particular discussion about the audit, but the  
5           report was circulated to everybody. At least, you 10:47  
6           know, I got the email, I'm not sure how often, but time  
7           to time we had the email about the report of that  
8           audit.  
9        96   Q.    So you got this by email?  
10       A.    That's right, yes. 10:48  
11       97   Q.    And would it be fair to say that was it, you received  
12           the email and nothing happened after?  
13       A.    That's right, yeah. I'm sorry I would like to just add  
14           one more point on that. Like when he had this email, I  
15           remember having some discussion in the Department 10:48  
16           meeting, like you know, the compliance is not 100%, so  
17           there was some discussion that we all need to be  
18           vigilant and looking at the appropriateness of  
19           antibiotics. Yes.  
20       98   Q.    And do you know who would have brought that up at the 10:48  
21           Departmental meetings? Who would have been the person  
22           to say about this particular stewardship?  
23       A.    I don't particularly recall, but I think Mr. Young and  
24           Mr. Glackin would have been there. Yes. Yeah. They  
25           all discussed about it. 10:49  
26       99   Q.    So they would have mentioned this and said everyone is  
27           slightly out of sync.  
28       A.    That's right. Yes. Yeah.  
29       100   Q.    "Can you pay some attention." would it be no higher





1  
2 "The licensed doses for Bicalutamide are either 150mg  
3 once daily as a monotherapy or 50mg once daily when  
4 used in combination with hormone therapy injections,  
5 known as luteinizing hormone releasing hormone 10:51  
6 agonists. There are no licensed indications that I am  
7 aware of for Bicalutamide 50mg once daily as a  
8 monotherapy. As such, I viewed the use of Bicalutamide  
9 50mg once daily as a monotherapy as being outside the  
10 licensed indications. " 10:51

11  
12 Is that a paragraph you would agree with?

13 A. Yes. Sorry, my apologies. Sorry. My apologies. Can  
14 I just -- I'm sorry. Sorry. Yes, please. Yeah.

15 105 Q. Now, you've mentioned about the licence indications. 10:52  
16 when you're prescribing Bicalutamide or any other  
17 medication in your particular role, what are the  
18 guidelines that you follow?

19 A. There are NICE guidelines and EAU guidelines.

20 106 Q. And if you're following those guidelines and 10:52  
21 prescribing doses within those licensed conditions, is  
22 it common in your practice to change the dose in  
23 response to any side effects?

24 A. With Bicalutamide? sorry, talking just about  
25 Bicalutamide? 10:53

26 107 Q. Yes, use that as an example, yes.

27 A. Yes. Yes, yes. So there are mainly two indications  
28 for Bicalutamide 50mg. There is one, as you mention,  
29 it's to prevent the flare up phenomena, so given for a

1 short period and then it is given for the first dose of  
 2 LHRH analogue injections. So it is started before the  
 3 injection and continued for up to two weeks after the  
 4 first injection and then it is stopped. So that's one  
 5 indication. And second for Bicalutamide 50mg is given 10:53  
 6 along with LHRH analogue injection to give maximum  
 7 antigen blockage. So generally patients will be on  
 8 LHRH analogue injections for a period, and when they  
 9 develop features of gastric and prostate cancer, at  
 10 that stage to give maximum antigen blockage. So it is 10:53  
 11 given along with LHRH analogue injections. So there is  
 12 no other indication to give Bicalutamide 50mg as  
 13 monotherapy.

14 108 Q. So there's no indication to give Bicalutamide 50 as a  
 15 monotherapy, and what you've described is the 10:54  
 16 applicability of it that incidents to reduce flare?  
 17 Flare, yes? When there's a raise in the levels  
 18 initially for the two week period and the reduce?

19 A. That's right.

20 109 Q. And what do -- 10:54

21 A. And then it's -- sorry.

22 110 Q. Sorry. And then stopped.

23 A. It's given for about a period of a month, like you know  
 24 two weeks before and two weeks after generally, and  
 25 then it is stopped. Yeah. 10:54

26 111 Q. What, in your view, are the risks of using Bicalutamide  
 27 50 as a monotherapy?

28 A. It is not, it's not, you know, it's not there in any  
 29 guidelines to give monotherapy with Bicalutamide 50mg.

1 112 Q. So one of the patient risks would be that first of all  
2 it's not effective as a treatment?

3 A. First of all, as far as I remember, there is no trial  
4 using Bicalutamide 50mg as a monotherapy as a  
5 treatment. So there is no question of -- there is no 10:55  
6 indication at all, I would say.

7 113 Q. There's no reason to use it in your view?

8 A. That's right, yes.

9 114 Q. And is hormone resistance a possible risk of long-term  
10 use of Bicalutamide 50? 10:55

11 A. First of all, there is no indication for Bicalutamide  
12 50 as a monotherapy.

13 115 Q. Yes, but if someone was on Bicalutamide 50mg as a  
14 monotherapy, if we take that as our starting point,  
15 what do you see are the risks of that particular 10:55  
16 treatment regime?

17 A. First of all, no one should be on this monotherapy. So  
18 there is no indication at all. And if somebody is on,  
19 then that needs to be looked at why -- to explore the  
20 alternative treatment. The better recommended 10:56  
21 treatment.

22 116 Q. Are there three possible things? Are there three  
23 possible potential risks? If I put these risks to you  
24 and you can tell me whether you agree with them or not.  
25 If someone is on Bicalutamide 50mg as a monotherapy, 10:56  
26 first of all it's not deemed to be effective. As  
27 you've said, there is no evidence base that it's  
28 effective?

29 A. That's right.

- 1 117 Q. The second issue is that it means that the patient is  
2 not on the correct treatment?
- 3 A. That's right.
- 4 118 Q. So it's masking what they need perhaps. And the third  
5 one is there is the potential for hormone resistance to 10:56  
6 build up?
- 7 A. That's right, hormone resistance. Therefore any  
8 hormone treatment, yes
- 9 119 Q. So you would agree with those three scenarios as being  
10 risks? 10:57
- 11 A. That's right, yes. Apart from the side effects of the  
12 medication as such.
- 13 120 Q. Have you ever had experience of someone building up  
14 hormone resistance?
- 15 A. It is common. Generally observe those with LHRH 10:57  
16 analogue injections. Usually they will have -- the PSA  
17 relapse starts happening after about average of 18  
18 months. So it is a common phenomena and it is a matter  
19 of time when they develop the resistance.
- 20 121 Q. So it does happen with people who are on hormones for a 10:57  
21 long period of time. It is perhaps one of the in-built  
22 risks that you almost accept, I presume, if people are  
23 on it for a long period of time, but one of the affects  
24 of that is that if you need to then rely on hormones  
25 there is a certain resistance from that person's system 10:57  
26 in how effective that treatment may be down the line?
- 27 A. That's right, yes. We always warn the patient, like  
28 you know, on average there'll be about 18 months after  
29 which the PSA can start rising, in which case the

1 patient may need additional treatment.

2 122 Q. And that's one of the things that a clinician would  
3 have in mind, I presume, before putting anyone on  
4 hormone therapy, because the potential for that to  
5 cause some difficulties down the line, if you needed to 10:58  
6 rely on that hormone at a greater dosage?

7 A. Not a greater dosage, but they may need additional  
8 treatment.

9 123 Q. Sorry I didn't quite catch your answer?

10 A. Sorry. Most often the patients will need additional 10:58  
11 treatment. If the patient is on LHRH analogue  
12 injections that'll be the mainstay of the treatment  
13 that suppress the testosterone to the maximum, and when  
14 they then become resistant they will need additional  
15 treatment, in addition to regular LHRH analogue 10:58  
16 injections, yes, to have maximum --

17 124 Q. And if someone -- sorry. Sorry.

18 A. Sorry. To have maximum antigen blockade, yes. Sorry.

19 125 Q. And if someone was on Bicalutamide 50mg for a long  
20 period, monotherapy for a period of time, is there a 10:58  
21 potential for there to be harm to other systems in  
22 their body? Is there any -- do you have any experience  
23 of that?

24 A. First of all, as I said, like you know, no one should  
25 be on this monotherapy, this 50mg Bicalutamide. It's 10:59  
26 not recommended by any guidelines, there is no evidence  
27 for that. And if somebody is on, then that needs to be  
28 addressed why it is on, and they need to be offered the  
29 recommended treatment, what is best for the patient.

1 Yes.

2 126 Q. And if someone came to you and they were on

3 Bicalutamide 50 as a monotherapy, what would your

4 approach be?

5 A. I would explain circumstances why it was on. First 10:59

6 thing I would like to check whether the patient is on

7 -- the common scenario will be patient will be on the

8 maximum antigen blockade in addition to the LHRH

9 analogue injections. That's the first thing to

10 clarify. So -- and if somebody is on, just on 10:59

11 monotherapy with 50mg Bicalutamide, I would take it

12 seriously why it's on, and patient shouldn't be on --

13 explain to the patient this is not the conventional

14 treatment, not the recommended treatment. So I would

15 go with alternate to recommended treatment options 11:00

16 127 Q. You've mentioned in your statement that you had an

17 experience such as this in Craigavon when you were

18 there?

19 A. That's right, yes.

20 128 Q. If we go to WIT-50364. Mr. Suresh, it's paragraph 11:00

21 49.3. It's just the page before 50363. Do you have

22 that in front of you?

23 A. Yes, please. Yeah.

24 129 Q. And you've said:

25

26 "I can also recall of a patient under the care of

27 Mr. O'Brien being on unconventional treatment for

28 prostate cancer being treated with a low dose tablet

29 (Bicalutamide) over a few years. I noticed it when a

1 patient turned up at my clinic for the follow-up. I do  
2 not recall the exact date."

3  
4 If we just move down, please:

5 11:01  
6 "I copied my clinic letter to Mr. O'Brien with my  
7 concern that it was unconventional treatment and added  
8 in the agenda of the next urology multi-disciplinary  
9 team meeting. The consensus was that the treatment  
10 with long-term low dose Bicalutamide was unconventional 11:01  
11 and that Mr. O'Brien was to review the patient in the  
12 clinic and to discuss the appropriate options with the  
13 patient. I remember the presence of Mr. O'Brien in the  
14 meeting but I cannot recall the entire attendance."

15 11:01  
16 Then at 49.53:

17  
18 "In my view, the deviation from the antibiotic policy  
19 or long-term treatment of prostate cancer with low dose  
20 Bicalutamide could have had negative impact on 11:01  
21 patient's care and safety. That's why I acted promptly  
22 by discussing the issues directly with Mr. O'Brien and  
23 in the relevant meetings as previously mentioned."

24  
25 49.64: 11:02

26  
27 "Mr. Aidan O'Brien was in agreement with views of all  
28 other consultants and therefore there was no need for  
29 me to get involved further. I do not know whether any



1 measures were taken to monitor implementing the  
2 changes, however there was antibiotic stewardship  
3 undertaken by pharmacists reviewing prescriptions of  
4 antibiotics for patients."

11:02

6 Obviously the last part is about the antibiotics not  
7 the Bicalutamide. So was a patient who came to you at  
8 your review clinic as an Outpatient?

9 A. That's right, yeah.

10 130 Q. And they were originally a patient of Mr. O'Brien's?

11:02

11 A. That's right, yes.

12 131 Q. Now you say they were on an unconventional treatment  
13 for prostate cancer. Do you recall what that was, what  
14 the treatment was?

15 A. Yes. Yes, monotherapy with Bicalutamide 50mg, yes.

11:02

16 132 Q. Now, I don't think you remember too many details of the  
17 patient?

18 A. I am sorry, I don't -- yeah. I don't have the full  
19 details. Yes.

20 133 Q. Do you remember if they were on that dosage for a long  
21 period of time? Do you remember any of those details?

11:03

22 A. Just vaguely remember this was low risk prostate cancer  
23 and patient was on Bicalutamide monotherapy for a few  
24 years, maybe two or three, maybe longer, sorry, I don't  
25 recall. And when I first saw the clinic notes it took  
26 time for me to see why the patient is on Bicalutamide  
27 50, and then I had to go back into the records - I  
28 could not go back much further to see why it was. So  
29 it took time for me before I called the patient in to

11:03

1 see why it was. And then the first thing I wanted to  
2 check with the patient is if he is just on monotherapy  
3 or is he having regular LHRH analogue injections. So I  
4 had -- this was a long discussion with the patient why  
5 he was on.

11:03

6 134 Q. So you discussed it with the patient, you looked back  
7 at their notes, you saw that they had been on it two or  
8 three years, maybe longer I think you've said, and your  
9 clinical assessment was that it wasn't appropriate, and  
10 you've said already in evidence that there is no  
11 licensing condition under which Bicalutamide 50 as a  
12 monotherapy is appropriate?

11:04

13 A. That's right, yes. Yeah.

14 135 Q. Now you mentioned that you copied your clinic letter to  
15 Mr. O'Brien with your concern that it was  
16 unconventional treatment. Before you did that, did you  
17 change the treatment regime?

11:04

18 A. No, I explained to the patient that this was not the  
19 conventional treatment, but the gentleman was, he was  
20 happy with the medication he was on and he said he  
21 would like to talk to Mr. O'Brien about stopping it, or  
22 I explained other alternative treatment options like  
23 reimaging or repeating biopsies, but he said, you know,  
24 he was so happy with Mr. O'Brien's approach he said  
25 "No, I would like to see him before making any change."

11:04

11:05

26 136 Q. So the patient wanted to stay on the Bicalutamide 50.  
27 You explained that it wasn't the appropriate or the  
28 conventional treatment, and he said he wanted to speak  
29 to Mr. O'Brien before he came off it?

1 A. That's right, yes.

2 137 Q. Now, you sent a letter to Mr. O'Brien. Do you recall  
3 if you sent a letter to the GP as well? Did a copy go  
4 to the GP at that point?

5 A. Yes, all clinic letters mostly will be addressed to the 11:05  
6 GP, and I copied the letter to Mr. O'Brien. Yes.

7 138 Q. Do you know how long it was going to be until the  
8 patient saw Mr. O'Brien again? Was it going to be a  
9 fairly quick turnaround review or was the patient just  
10 going back into the system for a routine follow-up? Do 11:05  
11 you remember?

12 A. I don't recall whether the patient was, how quickly he  
13 was seen, but some of the patients we prioritise like  
14 to be seen urgently, or then going on the routine.  
15 Yeah. 11:06

16 139 Q. Now if you were to put a patient on an unlicensed  
17 medication, or off-licence medication, what would be  
18 the procedure that you would follow in order to do  
19 that? If this was your patient and you wanted to put  
20 them on Bicalutamide 50 monotherapy. And I know you 11:06  
21 wouldn't from what you've said.

22 A. I wouldn't. Yes.

23 140 Q. But let's just say that you were going to, what would  
24 you do? How would you go about that?

25 A. I can't think of scenario where I would go completely 11:06  
26 outside, you know, and not recommend treatment or  
27 anything. But sometimes we have to go slightly outside  
28 the guidelines, not major breach. Like, for example,  
29 antibiotic policy or something. The patient may not be

1           suitable. In those cases I first of all explain to the  
 2           patient that this is going slightly outside the local  
 3           guidelines, or the guidelines, copy a letter to the GP,  
 4           and also bring it up in the forum, the  
 5           multi-disciplinary team meeting, so to see if there is 11:07  
 6           any better options, better views. Yes.

7   141   Q.   So you would inform the patient, tell them that this  
 8           was slightly unconventional, the basis on which you  
 9           were doing it, and then bring it back, I think you  
 10          said, to other colleagues? 11:07

11          A.   That's right, yes.

12   142   Q.   And would you record that in the patient notes that you  
 13           had the conversation and that the patient had consented  
 14           to that?

15          A.   Yeah, absolutely. But as I told, hardly ever we have 11:07  
 16           to go completely outside the guidelines, maybe slight  
 17           deviation with a patient's need requirements, so we  
 18           have to just tailor it according to individual  
 19           patients. But only, if at all, slight adjustments.  
 20           Not a major one like this Bicalutamide 50. No. 11:07

21   143   Q.   So a non-standard protocol, based on your own  
 22           experience, would be an example where you think  
 23           "Actually, this may work better", and then you follow  
 24           the procedure you have just explained?

25          A.   Not -- I won't think of my own experience. What is 11:08  
 26           there on the research ward, there on the trials, what  
 27           is on the guidelines. So.

28   144   Q.   Now, you said that your clinic letter, you copied  
 29           Mr. O'Brien into that. Did Mr. O'Brien ever come and

1 speak to you about this issue?

2 A. I think that we discussed about the gentleman in the

3 next MDT meeting. Mr. O'Brien was there. So.

4 145 Q. Was it Mr. O'Brien or you that brought up this patient?

5 A. I think I remember it was discussed in the MDT meeting. 11:08

6 I'm not sure through what channel. Generally if you

7 want to present a patient in the MDT meeting, usually

8 you inform the MDT coordinator to add it in the agenda,

9 either by copying my clinic letter, or sending an

10 email, or sometimes if I leave a message over phone, 11:09

11 please, either for the MDT, then I send the summary

12 later. So, yes. But this -- I very much remember

13 discussing about this patient in the MDT, yeah.

14 146 Q. And the Bicalutamide 50 monotherapy issue, do you

15 remember if it was you that raised that? 11:09

16 A. That's right. The reason for discussion, obviously,

17 when it comes up suddenly, then, yeah, I did raise this

18 issue. Yes.

19 147 Q. And was the purpose of you raising that a bit like the

20 IV fluid issue, where you wanted to find out what the 11:09

21 position is? What's normally done in circumstances

22 like that?

23 A. That's right, because it's unconventional treatment.

24 So.

25 148 Q. And do you remember what the discussion was around that 11:09

26 whenever you brought this issue up?

27 A. Yeah. Obviously there was some question about -- first

28 question was whether, as I told before like, "Oh, the

29 patient is on maximum antigen blockade. It is given

1 along with LHRH analogue injections?", and that's the  
 2 thing I told. Like this is the first thing I wanted to  
 3 clarify. But I asked for the records, and as for the  
 4 patient, he was not on any other treatment, he was just  
 5 on this monotherapy. That's why I am bringing it up. 11:10

6 149 Q. So the first part of call was to confirm with you that  
 7 there was no justification for Bicalutamide 50  
 8 monotherapy in that particular patient, and once that  
 9 was confirmed then do you recall what the discussion  
 10 moved to about this regime? Did people say "well, I 11:10  
 11 have done that", or "I've seen that", or "I've never  
 12 heard of that", was there any discussion around that?

13 A. No, the discussion was mainly the indication like, as I  
 14 told like with -- first question is whether "Is he on  
 15 just purely on monotherapy, or are you sure that he is 11:10  
 16 not on LHRH analogue injections as well?", and I said  
 17 "No, that's why I am bringing up this issue". And they  
 18 said "Oh, in that case the patient shouldn't be on",  
 19 and then I told the patient wanted to see Mr. O'Brien  
 20 to make the choice of different options, so they all 11:10  
 21 agreed, yes, for to have the appointment with  
 22 Mr. O'Brien for this patient to see in the clinic and  
 23 to stop and then -- yes.

24 150 Q. Did Mr. O'Brien say "Yeah, that's fine", or "No, that's  
 25 a mistake", or "you've perhaps got that wrong", or 11:11  
 26 anything like that? Was there any detail that would  
 27 indicate to you that Mr. O'Brien had a view on the  
 28 appropriateness of Bicalutamide 50 monotherapy for that  
 29 patient?

1           A.    He said "I'll just go through the records and see the  
2                    patient and discuss with him."

3   151   Q.    And did any of the other clinicians say anything about  
4                    that?

5           A.    Not particularly. Like in the sense like there are           11:11  
6                    discussion about the question of the indication,  
7                    repeatedly they are asking, "Oh, are you sure he's just  
8                    on monotherapy, not on LHRH analogue injections?", and  
9                    is said "No, as well as I could see from the notes from  
10                  the patient he was just on this monotherapy", and they   11:11  
11                said "Yes, he shouldn't be and what does the patient  
12                want?", and I said "He wants to see Mr. O'Brien in the  
13                clinic and then to decide", and then all agreed, yes,  
14                he shouldn't be on this monotherapy. So Mr. O'Brien  
15                was to see the patient in the clinic and then make up a   11:12  
16                choice.

17   152   Q.    Do you recall who else was at the meeting? I know  
18                    Mr. O'Brien was there and you were there. Were the  
19                    other clinicians present?

20           A.    Not exactly sure. I don't want to say from my vague           11:12  
21                    memory.

22   153   Q.    But you remember there was more than just you and  
23                    Mr. O'Brien?

24           A.    That's right, yes. Yeah.

25   154   Q.    Do you have any knowledge of the patient after this           11:12  
26                    event? Do you recall if he remained well or what his  
27                    prognosis was at all?

28           A.    I'm sorry about this particular patient?

29   155   Q.    About this particular patient. Was there any follow-up

1 by you or by the MDM around this patient, given he had  
2 been on the Bicalutamide 50 for two, three, maybe more  
3 years?

4 A. No, I don't recall the same patient coming up for the  
5 MDT again. Yes. 11:13

6 156 Q. Do you remember if it was -- whether continued  
7 management of this patient with Bicalutamide 50 was  
8 considered an option for this patient at the MDM? Did  
9 people say "well, he's keeping well, we'll keep him on  
10 it"? 11:13

11 A. No.

12 157 Q. Did anyone at the meeting indicate any positive  
13 response that that Bicalutamide 50 monotherapy was  
14 appropriate?

15 A. No. 11:13

16 158 Q. And given that patient that you recall, what would you  
17 have considered to be the appropriate management  
18 options for him?

19 A. Yes. As far as I recall this was low risk prostate  
20 cancer, I would low grade, like maybe Gleason 6. So -- 11:14  
21 and the PSA was low. I don't recall the exact figure.  
22 But ideally it is to stop the Bicalutamide, and repeat  
23 imaging with the MRI scan, and repeat prostate  
24 biopsies.

25 159 Q. So you would have had more tests done in order to make 11:14  
26 an informed choice about what would be the appropriate  
27 treatment regime?

28 A. That's right, yes. Yeah.

29 160 Q. Chair, if you'll just indulge me, I just want to finish



1 this topic?

2 CHAIR: We can take a short break -- no, we can take a  
3 break after this topic.

4 MS. MCMAHON: This topic. Okay. Thank you.

5 161 Q. If a patient wants to remain on the Bicalutamide 50 11:15  
6 monotherapy, and I know this patient did and you  
7 referred him on to Mr. O'Brien to discuss that, as he  
8 was his patient, the patient said to you "I want to  
9 stay on this", and you know that it's outside the  
10 licence conditions, and the risks we discussed earlier, 11:15  
11 what would be your response to that?

12 A. As I told, nobody should be on this monotherapy because  
13 there's no -- absolute no indication at all for this  
14 treatment. So I would explain to the patient that it's  
15 not the conventional treatment, it's not indicated, so 11:15  
16 the appropriate actions will be, there are other  
17 choices, like patient could be on active surveillance,  
18 depending on the stage and, you know, Gleason score,  
19 whether these categories. So other treatment options  
20 are either active surveillance, or curative treatment, 11:16  
21 or watch/waiting, depending on the staging and grading  
22 of the prostate cancer.

23 162 Q. So you would provide the patient with information to  
24 explain to them why it wasn't appropriate?

25 A. Yes, absolutely. 11:16

26 163 Q. Would you continue to prescribe it to them because of  
27 their belief that it was helping them when clinically  
28 that isn't an evidenced based belief?

29 A. No, I wouldn't personally recommend to continue. Yes.

- 1 164 Q. Now, you obviously felt that there was, the issue was  
2 dealt with at the MDM. You raised it as an issue.  
3 Mr. O'Brien said he would go and review the patient.  
4 And you formed a view that you didn't need to take the  
5 matter any further? 11:16
- 6 A. That's right, because I thought this is the first case  
7 I came across then. So I thought it was properly  
8 addressed at that point, like this.
- 9 165 Q. Did you ever encounter this issue again, the  
10 Bicalutamide 50 as a monotherapy, while you were at 11:17  
11 Craigavon?
- 12 A. Not in Craigavon.
- 13 166 Q. What about any of the other consultants? Did anyone  
14 mention to you at any point that they had come across  
15 the same issue? 11:17
- 16 A. No, not when I was there.
- 17 167 Q. When you were there during that time, was it the case  
18 that most consultants saw the same patients, rather  
19 than rotating them at Outpatient? Would you have had  
20 your regular patients come back to you? 11:17
- 21 A. This particular patient came up -- generally we see our  
22 own patients as the follow-up. Because of the backlog,  
23 I think I was undertaking some extra clinics, so it  
24 would have been like pulled patients, like patients  
25 from other consultants also coming up for the 11:17  
26 follow-up, so I saw this gentlemen.
- 27 168 Q. So it was just in relation to the clear up of the  
28 backlog that you happened to see other people's  
29 patients?

1 A. That's right.

2 169 Q. But generally you saw your own patients?

3 A. That's right, yes.

4 MS. MCMAHON: Chair, I wonder if that's a convenient  
5 time?

11:18

6 CHAIR: Okay. We'll come back, ladies and gentlemen,  
7 at twenty five to twelve. Thank you.

8

9 THE HEARING ADJOURNED FOR A SHORT PERIOD AND RESUMED AS  
10 FOLLOWS

11:18

11

12 CHAIR: Thank you everyone.

13 MS. MCMAHON: Thank you, Chair. Mr. Suresh, just  
14 before we had the short break I had asked you had you  
15 ever experience of a Bicalutamide 50 as a monotherapy  
16 being prescribed in Craigavon, being prescribed before  
17 and after that, and you said not in Craigavon, and that  
18 takes us on to your third witness statement that we  
19 received yesterday, and I just want to read this out.  
20 It's a short statement and it can be found at  
21 WIT-103271. Do you have a copy of that in front of  
22 you, Mr. Suresh?

11:34

23 A. Yeah. The one I sent yesterday?

24 170 Q. Yes.

25 A. Yes, please. Yeah.

11:34

26 171 Q. I'm just going to read it out into the record and then  
27 I'll ask you some questions.

28 A. Yes, please. Yeah.

29 172 Q.

1 "This is the third statement made by me to the Inquiry.  
2 In it I want to provide further detail on an issue  
3 which arose during discussions with the Inquiry counsel  
4 which are relevant to the issues before this Inquiry.

11:34

5  
6 While in practice outside of Northern Ireland I became  
7 aware of a gentleman who was found to have localised  
8 intermediate risk prostate cancer in 2013. Gleason  
9 7PT2 or CAS prostate.

11:35

10  
11 In the local and regional MDT in the relevant hospital,  
12 the case came up for discussion and for proposals as to  
13 how we should treat this condition. The consensus was  
14 to offer him curative treatment in the form of surgery  
15 or radiotherapy. The various options were discussed  
16 with him and the patient opted for active surveillance.

11:35

17  
18 In 2015 he indicated that he wanted only hormonal  
19 therapy. He declined the various curative treatment  
20 options discussed with him. He was started on  
21 monotherapy with Bicalutamide 150mg by another  
22 consultant who was his treating consultant.

11:35

23 Some time later the patient reduced the dose he was  
24 taking by himself to only 50mg, due to the side effects  
25 was experiencing.

11:35

26  
27 He was seen by a different consultant in 2016 who  
28 explained to him the treatment he was on was not a  
29 suggested treatment from any point of view, and

1 suggested either he could have proper treatment or  
2 active surveillance.

3  
4 When I saw him first in 2017, the patient was taking  
5 tablet Bicalutamide on intermittent basis (a few months 11:36  
6 on and a few months off). I explained to him that  
7 monotherapy with low dose Bicalutamide 50mg was not  
8 recommended by any guidelines and went through other  
9 recommended treatment options. He was not keen on any  
10 of the recommended treatments available nor for repeat 11:36  
11 prostate biopsy.

12  
13 He was later seen by two other colleagues who also  
14 counselled him appropriately and he again indicated  
15 that he was not keen on any other treatments. 11:36

16  
17 I did a telephone consultation with him in February  
18 2021, as his liver function test was indicating  
19 derangements, and as a result of this discussion he  
20 agreed to stop Bicalutamide and agreed to attend for 11:37  
21 prostate biopsies.

22  
23 However, within a few days he wrote to me saying that  
24 he did not wish to have biopsies. I discussed again in  
25 the Urology MDT meeting and wrote to him confirming the 11:37  
26 consensus from the meeting that he should not continue  
27 Bicalutamide and a review would be set up in two months  
28 with PSA.

1 A month later we received a letter from the GP that the  
2 patient wanted cyber knife surgery (not offered by the  
3 NHS). I intended to see him within two weeks to  
4 discuss his request before making the referral.  
5 Unfortunately due to Covid his follow-up appointment  
6 was delayed until May 2021. 11:37

7  
8 After the telephone consultation in May 2021, I  
9 referred him to oncologist, my consultant colleague,  
10 who has subspeciality interest in radiotherapy. The 11:37  
11 patient made a complaint that his Bicalutamide  
12 treatment was stopped and around the delay in his  
13 follow-up appointment, which was beyond my control and  
14 was triggered by the Covid situation.

15 11:38  
16 The case records were reviewed by my clinical lead.  
17 His report was supportive of my actions and he refuted  
18 all the allegations made by the patient. No one,  
19 neither I nor any other urologist prescribed a low dose  
20 Bicalutamide treatment. This patient made a decision, 11:38  
21 having been advised of alternative treatments, to stay  
22 on this monotherapy and elected to take a low dose  
23 because of side effects.

24  
25 The patient made a complaint to the GMC and a formal 11:38  
26 investigation was conducted. The report obtained by  
27 the GMC from another expert also are supportive of my  
28 actions. The case was closed with no action."  
29

1 And as we've seen earlier this morning, that is dated  
2 17th October 2023.

3  
4 Now, that scenario arose on the basis of me having  
5 asked you about Bicalutamide 50 and whether you had 11:38  
6 ever prescribed it or seen it prescribed before. What  
7 this statement indicates is that a patient who was not  
8 prescribed Bicalutamide 50, self-prescribed it outside  
9 the regime of the clinicians who were treating him, and  
10 you sought to persuade the patient and to indicate to 11:39  
11 him the risks of that and the dangers of that, and  
12 events subsequently followed that were not related to  
13 Bicalutamide 50 prescribing by you or any other  
14 clinician, and you have provided that statement merely  
15 just to tie up any loose ends around that particular 11:39  
16 issue and to answer the question fully for the  
17 assistance of the Inquiry?

18 A. That's right, yes.

19 173 Q. I don't have any questions in relation to that. That's  
20 clearly a patient doing his own thing, if I can put it 11:39  
21 that way, and the outworking of that for you as a  
22 clinician, but thank you for providing us with that  
23 information.

24 A. Okay.

25 174 Q. You also gave us the second statement that we referred 11:39  
26 to this morning, but I also wish to read in, and this -  
27 the context of this statement is an issue that arose  
28 while you were working in Craigavon and you were  
29 on-call, and we'll speak about the events of that.

1 Just at the outset, if I can say, Mr. Suresh, we're  
2 interested in the governance aspects of this issue and  
3 all issues before the Inquiry, so when I ask questions  
4 it will be directed at the processes that followed and  
5 any learning the Panel may derive from that. I read 11:40  
6 this statement to provide a context for that, for those  
7 questions.

8  
9 So this statement can be found at WIT-103270. You take  
10 the opportunity in this statement to make some 11:40  
11 amendments and corrections and I'll read it in full.

12  
13 You say:

14  
15 "This is my second statement to the Inquiry and is by 11:40  
16 way of clarification and amendment to my earlier  
17 statement dated the 1st September 2022.

18  
19 On page 24 of the bundle with the reference WIT-50334,  
20 where I refer to MBBS, December 1990, the date should 11:41  
21 read December 1991.

22  
23 At WIT-50339, page 29, where it reads:

24 "8.1 In my view the roles and responsibilities of  
25 those who had governance responsibilities are..." 11:41

26 I would ask that it now reads:

27 "In my view the roles and responsibilities of those who  
28 had operational and governance responsibilities are..."  
29



Paragraph 4 you say:

"At WIT-50360, page 50, it says "(v) the associate medical director", 47.5 "To have my job plan approved the interactions were through emails, I had no issues", 11:41 and you wish to add the following:

"After an incident in autumn 2015 during my on-call day, when a patient had to undergo an emergency nephrectomy for which I had to seek help from another senior consultant. Mr. O'Brien, there was a meeting with Mr. Mackle and Ms. Corrigan. During the meeting, I raised my apprehension about open major urological operations. It was recognised that my main scope of work was endourology. I was assured that support would be available from another senior consultant whom I could contact if needed. I was also encouraged to attend other theatres and relevant course to build up my confidence. I fully engaged with what were discussed in the meeting. After that incident I was accompanied by another consultant during the ward rounds on ad hoc basis and to my knowledge they were satisfied with my approach and no concern was raised."

Then you say at paragraph 5:

"At WIT-50365, page 55, where it states:  
"51.1 Personally, I did not feel any need for any extra support, but to boost up my confidence in major open surgeries when I asked for support the support was

provided by facilitating me to join theatres with other consultants and to attend a cadaveric course. "

I would like to amend this to say:

"Personally I did not feel any need for any extra support except for emergency major open urological operations. To boost up my confidence in major open surgeries when I asked for support, the support was provided by facilitating me to join theatres with other consultants and to attend a cadaveric course. Also I was assured support would be available if needed for major open urological operations. "

11:43

11:43

Now, I just want to ask some questions about the general background of that incident and then we'll move on to what governance processes were triggered by it and your views on the effectiveness of those and any learning the Panel may derive from your experience, if that's okay, Mr. Suresh.

11:44

A. Yes, please.

175 Q. Now you've mentioned the incident happened in autumn 2015. Would you be able to just give us an outline of what the incident was? You were on-call at that time. Do you remember if it was day-time, night-time, early morning, do you remember when the patient first appeared before you?

11:44

A. Yes. Just telling really from my memory.

176 Q. Yes.

A. And I don't have the full records of the patient or details now, but very much remember the events. Like

1 the patient was admitted the night before. The  
2 gentleman had a partial nephrectomy by Mr. Aidan  
3 O'Brien, it was an open operation, but ten days later,  
4 seven to ten days later he was admitted in Southwest  
5 Acute Hospital with abdominal pain, where he had the CT 11:45  
6 scan and then was transferred to Craigavon Area  
7 Hospital.

8  
9 So this case was handed over to me when I was doing  
10 ward rounds in the morning, maybe around 10:00 o'clock, 11:45  
11 I don't know the exact time.

12  
13 So when I saw the gentleman he was comfortable, stable,  
14 slight abdominal pain, which is expected after the  
15 major open operation, and he was haemodynamically 11:45  
16 stable, and I noticed there was slight drop in the  
17 haemoglobin, which was again expected after an open  
18 operation. Not drastic. So I did discuss the CT scan  
19 with the consultant radiologist, and after going  
20 through the majors, he went through the majors, and 11:45  
21 there was some collection just close to around the  
22 kidney, and there was definitely more fluid around the  
23 liver, but he felt it could be Walsh bleeding, so was  
24 not too worried about that. So still, as I say, I  
25 thought I would let Mr. O'Brien know about this 11:46  
26 admission. I tried to call him. I'm sure he was doing  
27 a clinic in another hospital, and I don't exactly  
28 recall whether his phone was switched off or went to  
29 answering machine so, but I couldn't, you know, I could

1 not inform him about the admission anyway. I just  
 2 tried once. And I thought the patient was stable  
 3 enough, so I didn't pursue it any further.

4  
 5 Only in the evening, late in the evening, like around 11:46  
 6 9:00 o'clock/10:00 o'clock I was called that the  
 7 patient has gone into shock, most hypertensive, and  
 8 needed resuscitation. So, as I say, I rushed to the  
 9 hospital. And while on the way, even before leaving, I  
 10 contacted Mr. O'Brien and told him about the admission, 11:46  
 11 and he said yes to resuscitate, and I told him probably  
 12 he will need operation, so we needed help, and  
 13 immediately he also joined. So patient had to have  
 14 resuscitation with the blood transfusion and  
 15 everything, all geared up to take him to theatre. So. 11:47  
 16 And Mr. O'Brien was there. We had to explore and do  
 17 the emergency nephrectomy. So it was all night  
 18 process. Yes.

19 177 Q. So the patient was first day post-op after a partial  
 20 nephrectomy carried out by Mr. O'Brien? 11:47

21 A. Sorry, not first day post-op. It is about a week or  
 22 ten days later he was admitted. Yes. Yeah.

23 178 Q. But Mr. O'Brien was the surgeon who carried out the  
 24 partial nephrectomy?

25 A. That's right, yes. 11:47

26 179 Q. The patient was admitted and subsequently developed  
 27 signs of hypovolemia and was returned to the theatre?

28 A. That's right.

29 180 Q. And you contacted Mr. O'Brien. And I think you've

1 indicated that he was -- it was evening time, he was  
 2 off site I think. Was he at home when you contacted  
 3 him and he came in or was he in the hospital?

4 A. No, he was at home. Like, you know, it was late in the  
 5 night, 9:00 o'clock or 10:00 o'clock in the night. 11:47

6 181 Q. So, Mr. O'Brien came in to hospital and assisted with  
 7 the procedure?

8 A. Yeah, he performed the procedure and I assisted him,  
 9 yeah.

10 182 Q. He performed the laparoscopy. Was it a full 11:48  
 11 nephrectomy then that was carried out? Do you recall?

12 A. Yeah, not laparoscopy. It was a laparotomy.

13 183 Q. Laparotomy. I beg your pardon.

14 A. Like going through the same incision. Yeah. And then  
 15 we all knew that the patient would land up in 11:48  
 16 nephrectomy because of the blood loss and shock he was  
 17 in. So the nephrectomy was carried out, yes.

18 184 Q. Now you were on-call. Would there have been an  
 19 expectation at that time that you would have managed  
 20 that issue yourself, or was it the case that better 11:48  
 21 practice would be to bring in the original surgeon if  
 22 he was available in order to gain from their expertise  
 23 around this particular patient?

24 A. Naturally I would ask for help and expertise, because  
 25 my scope of work is mainly endoscopic work. 11:48

26 185 Q. So you identified that one of the other consultants was  
 27 better placed to deal with this?

28 A. Absolutely.

29 186 Q. And you assisted with that?

1 A. That's right, yes.

2 187 Q. Okay. Now, you've mentioned at a couple of points in  
3 your witness statement, and we don't need to go to  
4 them, but just for the Panel's note and just to put it  
5 on the record. There were no concerns raised regarding 11:49  
6 your practice and there was no -- you're not subject to  
7 any performance review at any point. This is just an  
8 isolated incident that you have informed us about, as  
9 have others, and for the Panel's note the reference to  
10 not subject to performance review is WIT-50352 at 11:49  
11 paragraph 29.2, and the reference to no concerns around  
12 Mr. Suresh's practice is at WIT-50362 at paragraphs  
13 48.1 and paragraph 48.3.

14

15 Charles McAllister mentions this in his statement. If 11:50  
16 we go to WIT-14851? Paragraph 43:

17

18 "There was also an issue with another urology  
19 consultant at the time who was reputedly uncomfortable  
20 with open urological surgery as opposed to endoscopic 11:50  
21 surgery and whose judgment and management plans for the  
22 more complex urological cases was a point of concern.

23

24 I was informed I believe by Martina Corrigan, Head of  
25 Service; Heather Troughton, outgoing AD for surgery, 11:50  
26 but it may have been by Mr. Mackle, that before I  
27 started the surgical management role this had also been  
28 escalated to the service director and a management plan  
29 had been put in place that this surgeon would be

1 shadowed by another consultant urologist and a second  
 2 consultant urologist would be on-call when this surgeon  
 3 was on-call. I do not know if this had been shared  
 4 with the medical director, but I assumed so. That  
 5 consultant left the Trust later that year."

11:51

6  
 7 Now, those circumstances described there, your name is  
 8 not mentioned, but it would seem to suggest it falls  
 9 into the framework that applied to you. Would you  
 10 agree with that?

11:51

11 A. Yes, I would agree.

12 188 Q. Now, the point of interest for the Panel is what  
 13 happened then, what happened next, and we have an email  
 14 in the bundle from Martina Corrigan, and this is at  
 15 WIT-11946. Now, this is dated March 2016, and it's

11:51

16 clear that there have been meetings prior to this. So  
 17 just before we go into that email - you don't have the  
 18 documentation - I wonder if you can recall the  
 19 sequencing after the actual event? If you --

20 self-identified learning, if others came to you? Just

11:52

21 give us a flavour of how we get to the point in March  
 22 where there is an attempt at a formalised action plan?  
 23 A. Yes. This major, especially major, any emergency major  
 24 open surgery, it is always there in the back of my  
 25 mind. As I told you, my endoscope -- I work mainly in  
 26 endoscopic work, and so if the patient needs any  
 27 emergency major open operation, so you always talk  
 28 about ureteric injuries or emergency nephrectomies.  
 29 So. And I was very clear that I would need help if

11:52

1 that happens. Extreme -- I mean very dire situations.  
2 So. And particularly when this position happened, like  
3 you know, patient was in serious shock. So it -- to  
4 get me more, so just swift into action, rather than  
5 fine. At least on that day Mr. O'Brien was there ready 11:53  
6 for help. So what if somebody is not there? So the  
7 question always came up. So by the very next day  
8 everyone in the Department came to know about this case  
9 happened. So I had a meeting with Mr. Young, and  
10 especially to raise the issue "what to do if it happens 11:53  
11 again?" Those are very dire situations. So that's how  
12 we talked about it, what to do, like you know. And  
13 then I was told, yes, there will be -- you could  
14 contact anyone. It was not formalised at that initial  
15 meeting like whom to contact. They said "One of us 11:53  
16 will be around, so we'll let you know nearer the time  
17 when you are on-call those days, who will be  
18 available."

19  
20 And also I said, yes, I want to have just a boost to my 11:53  
21 confidence, not that I am going to deal with the  
22 emergency on my own, still I will need help, but still  
23 to boost my confidence. So I said I would like to  
24 attend, you know, any open operations for the theatres.  
25 So I utilised my SPA time and admin time, went to other 11:54  
26 theatres, and also went for a cadaveric course. So it  
27 was almost like a valid process I was thinking, and I  
28 was taking advice of my friends and from my colleagues  
29 as well. So everyone -- yeah, that's how we came up



1 with this.

2 189 Q. So you mentioned the departmental meeting and I think  
3 you said Mr. Young was the person you spoke to about  
4 it?

5 A. That's right, yes.

11:54

6 190 Q. And you self-identified, as was perhaps evident by the  
7 incident or the emergency, that you maybe had some  
8 potential learning gaps, and you brought that to the  
9 meeting and sought some advice about "what will I do if  
10 something like that happens again? Is there a  
11 particular procedure or protocol?", and the advice was  
12 that there would be someone available if something like  
13 that happened and that you should utilise that. That  
14 was your collegial advice?

11:54

15 A. That's right, yes.

11:55

16 191 Q. In relation to anyone else but Mr. Young, for example  
17 Mr. Mackle, or discussions with Martina Corrigan, did  
18 you have any meetings with them? Did they come and  
19 speak to you and discuss the issue with you after  
20 December or in and around December?

11:55

21 A. Yes, there was. Yeah, there was a meeting with  
22 Mr. Mackle and Martina Corrigan. There were three of  
23 us. So essentially we went through what was already  
24 discussed, and that they all agreed with the action  
25 plan, and especially there will be some named  
26 consultant, and Mr. Mackle was also kind enough to say  
27 -- because I already applied for another course -- I  
28 was looking for a cadaveric course, and he said the  
29 extra funding would be available, "we can grant extra

11:55

funding if you want to go for any specific course"  
there's also the study budget, and so also facilitated,  
like you know, I could attend other theatres, but  
that's my own SPA time. So I felt reassured and I felt  
supported.

11:56

192 Q. So you felt supported and reassured, and the indication  
was that if there was a cost involved in facilitating  
you accessing further training then that would be met  
by the Trust?

A. That's right, yes.

11:56

193 Q. Now, we'll just look at this email because it provides  
some detail. It's about you, but you're not copied  
into it. I know you've seen it. It's at WIT-11946. I  
think you have it in front of you, do you? Do you have  
this email open, Mr. Suresh?

11:56

A. I'm sorry, could you please read it?

194 Q. It's the email of the 4th March from Martina Corrigan  
to Eamon Mackle, Mark Haynes, Anthony Glackin,  
Mr. O'Brien, Michael Young and Mr. O'Donoghue. The  
subject is "Actions from AMD and Urology Consultant  
Meeting", and it says:

11:56

"Dear all,  
To formalise, please see the note actions arising from  
today's meeting.

11:56

Present: Mr. Mackle

Mr. Young

Mr. Glackin

Mr. O'Donoghue,

M Corri gan.

Apol ogi es: Mr. O' Bri en and Mr. Haynes.

Mr. Mackle advised that the purpose of the meeting today was to follow on from the last meeting which was held on the 17th December 2015, as he has a meeting with the medical director at the end of the March and he will need to update him on what has been put in place.

11:57

11:57

Acti ons agreed:

1. Mr. Young to meet with..."

-- you, and we know that that is you:

11:57

"... this week/early next week and explain what processes are being put in place for cover/support/mentorship for him, and also to explain to him why the team are doing this for him. Mr. Young to update when this happens.

11:57

Mr. Mackle to meet with Mr. Suresh on Wednesday, 16th March 2016 at 2:30pm in the AMD office. M Corri gan to organi se.

11:57

Mr. Mackle and Mr. Young to advise him that he should be seeking appropriate courses that will assist him in building up his surgical and decision-making skills and

1 that Mr. Mackle will approve if these are appropriate.

2  
3 A multi-disciplinary feedback questionnaire should be  
4 completed and collated with the team - not linked to  
5 the 360 feedback. M Corrigan to organise and will  
6 collate responses. This will be used as constructive  
7 feedback from Mr. Suresh.

11:58

8  
9 Formalise evening cover. The purpose of this will be  
10 explained to Mr. Suresh in his meeting with Mr. Mackle  
11 and Mr. Young.

11:58

12  
13 Mr. Young to formalise after discussions with the rest  
14 of the team that this should be shared with all of the  
15 team, Mr. Mackle and Ms. Corrigan.

11:58

16  
17 Mr. Suresh is going back on-call on Thursday, 17th  
18 March (bank holiday). Mr. Young has agreed that he  
19 will do the handover ward round and cover Mr. Suresh on  
20 this day.

11:58

21  
22 Formalise the ward rounds with one of the consultant  
23 team accompanying Mr. Suresh each day (except  
24 Thursday).

11:58

25  
26 Weekends to be agreed on what cover needs to be  
27 provided and the team are going to work this up and  
28 share with Mr. Mackle and Ms. Corrigan. The  
29 consultants involved in the second on-call and ward

1 rounds will be remunerated by half PA. M Corrigan to  
2 organise.

3  
4 A further meeting in three months to be organised in  
5 order to update on progress. M Corrigan to confirm  
6 dates.

11:59

7  
8 Regards Martina."

9  
10 Now, the incident happened in the autumn 2015. There  
11 was a meeting clearly referenced in the December, and  
12 this is the March, and there is a further follow-up in  
13 three months. So there's -- at least from the  
14 paperwork, there's a suggestion of a six month  
15 oversight in different aspects in order to ensure  
16 you're supported. Is that how you felt about these  
17 plans that were put in place?

11:59

18 A. I think the plan was there already, although not in  
19 writing. As I told, the very next day, or the very  
20 next working day we had the meeting, and so the issue  
21 all addressed, and everyone at the department came to  
22 know about this case. And, so, the first question is  
23 what -- if there's an emergency situation happens  
24 again, what's next? So they said, yes. Mr. Young was,  
25 you know, making an informal rota. Used to tell me if  
26 anyone called, you know on-call week, who would be  
27 available to contact. So this was already put in  
28 action, I would say.

11:59

11:59

12:00

29 195 Q. Yes. So this is the written version of what was

1           happening, but it also adds to that because it gives  
2           specific dates, specific procedures, the way in which  
3           there will be some layers of support for you. So it  
4           puts in writing what you say was already being put in  
5           place after the event? 12:00

6           A.   That's right, yes.

7   196   Q.   Now, it seems that the consultant team as a group were  
8           involved in stepping up, if I can put it that way, in  
9           order to ensure that you were supported. Does this  
10          email content ring true about the level of support you 12:00  
11          received? Did all of this come to pass?

12          A.   I'm sorry, I couldn't get it?

13   197   Q.   We've looked at the detail of the email and there's  
14          clearly a package of measures that are anticipated or  
15          are already in place in order to support you. Did all 12:01  
16          of this happen, as is set out here, or did you feel  
17          that you weren't supported in any aspect of this?

18          A.   No, this was almost happening. And the extra thing, as  
19          I told, like I'm looking -- I was already looking for a  
20          course and looking for the budget as well, so that -- 12:01  
21          after the meeting with Mr. Mackle -- and he said the  
22          funding would be available. So there was an extra  
23          measure as well after that meeting.

24   198   Q.   Just aside from the course, and you've mentioned that.  
25          In relation to the support from the team, and from 12:01  
26          medical management, and from the head of services, did  
27          you feel that this action plan was put in place?

28          A.   That's right, yes. Yeah.

29   199   Q.   And as regards the detail in this, did you suggest any

1 of this, or was this all suggested by others? Did you  
 2 come to them and say "This is what I'd like you to do.  
 3 This is what needs to happen", or was this a package  
 4 that was collectively agreed, or did it come from  
 5 management solely?

12:02

6 A. No, this was -- like it was going through a parallel  
 7 from different directions. As I told I was also  
 8 working on that, how to boost my confidence, what steps  
 9 should be taken. And so again with the discussion with  
 10 Mr. Young as well, I'm sure he would have spoken to  
 11 also the medical director. So was all going in  
 12 parallel and so it was put together as a collective  
 13 issue.

12:02

14 200 Q. And certainly on reading this in the overview, but also  
 15 the detail, it seems that they have -- there has been  
 16 some consideration given to when there may be potential  
 17 for issues to arise in the daily life of a clinician,  
 18 and they've sought to plug the gap of support. There's  
 19 different things about the ward round, evening cover,  
 20 bank holiday, when there may be particular  
 21 vulnerabilities or increased traffic into the hospital.  
 22 It seems to be quite focused. Was that your experience  
 23 of the support, that it hit the spot, as it were?

12:02

24 A. Yeah. Exactly for the ward rounds, the criticism which  
 25 was raised about the decision-making on this particular  
 26 patient, personally I too felt, you know, there was a  
 27 mistake on my part, in the sense that the patient was  
 28 seen in the morning and then my intention was to review  
 29 in the evening, and I felt very bad that I couldn't go

12:03

12:03

1 back and see the patient - probably forgot, workload or  
 2 whatever reason, you know. That's the part which I  
 3 regret very much. Probably had I seen the patient  
 4 reviewed in the evening, again could have been, the  
 5 decision could have been slightly better. So that was 12:03  
 6 my mistake and it was a big lesson for me. So that's  
 7 all the criticism like, you know, "why didn't you go  
 8 back and see if there was any issue with the  
 9 decision-making?", and that's why they said -- like all  
 10 concern was mainly about this particular patient, 12:04  
 11 particular incident, and as I say, they thought to  
 12 observe me doing the ward rounds. And then on ad hoc  
 13 basis, I remember Mr. Young or Mr. O'Brien joining me  
 14 in the ward rounds, maybe Mr. Glackin as well, and they  
 15 are all happy with my approach, you know. As an 12:04  
 16 informal feedback I was getting basically everything  
 17 was fine, so they kept assuring me this all happened  
 18 because of this particular case.

19 201 Q. I suppose the point I am trying to draw out of this and  
 20 to see if you'll have any view on it, it does seem as 12:04  
 21 if there was a concerted effort as a team to support  
 22 you to overcome any potential vulnerabilities rather  
 23 than any ones that actually exist. There was a package  
 24 put in place. Would that be your experience?

25 A. That's right, yes. And they were all trying to 12:05  
 26 accommodate me, in that just to like join theatres when  
 27 there was open surgery and, you know, they were happy  
 28 for me to scrub in and assist. And, yes.

29 202 Q. There's mention at point 4 on the email of a



1 multi-disciplinary feedback questionnaire to be  
2 completed and collated within the team to be used as  
3 constructive feedback. Do you have any recollection of  
4 that?

5 A. I was told Martina would be collecting it what but I 12:05  
6 did not get any feedback after that, yeah.

7 203 Q. You didn't get any feedback from that?

8 A. No.

9 204 Q. No.

10 A. Not a formal one, yeah. 12:05

11 205 Q. Not formally?

12 A. Yeah. I mean I did not receive the 360 feedback, but  
13 generally speaking to the consultants they were all  
14 happy with my approach.

15 206 Q. Do you know who carried out or who collated the 12:05  
16 questionnaire or who collated the responses, no?

17 A. No, I don't know.

18 207 Q. Just for completion if we go to TRU-258602. It's an  
19 email of the 2nd April 2016. TRU-258602. So this is  
20 the email to you separately from the other clinicians 12:06  
21 and it just sets out the actions agreed just to confirm  
22 that you had sight of those and that you saw what was  
23 being discussed. Mr. O'Brien makes reference to this  
24 in his statement at WIT-82541?

25 A. I'm sorry, I can't open the document. Could you please 12:07  
26 read out, please, if you don't mind.

27 208 Q. Are you content that I read it out? This is the  
28 section from Mr. O'Brien's statement. I'm just going  
29 to read it out for the Panel that they have note he

1 mentions this issue specifically at 401:

2  
3 "I did not have any reason for concern regarding the  
4 clinical practices of Mr. Anthony Glackin or of Matthew  
5 Tyson, Consultant Urologist, or of Mr. Derek Hennessy, 12:07  
6 or of Mr. Thomas Jacob, Locum consultant urologist.  
7 However, the assessment and management of an in-patient  
8 by Mr. Ram Suresh, Consultant Urologist, following the  
9 transfer of the patient from Southwestern Acute  
10 Hospital in late 2015, with evidence of a significant 12:07  
11 intra-abdominal secondary haemorrhage following an  
12 earlier partial nephrectomy did give rise to concern  
13 regarding his clinical acumen and ability to undertake  
14 emergency surgery in a life-threatening situation when  
15 UOW. This case was discussed with me and his remaining 12:08  
16 colleagues by Mr. Mackle, then associate medical  
17 director, and Mrs. Corrigan Head of Service in early  
18 2016, when we were requested by them to provide backup  
19 support for Mr. Suresh when UOW.

20 12:08  
21 As can be seen from the email from Martina Corrigan  
22 dated 4th March 2016, AOB-76726, a meeting took place  
23 on 17th December 2015 following the above incident and  
24 then a follow-up meeting took place on 4th March 2016.  
25 I was not present at that meeting but the email 12:08  
26 indicates that Mr. Mackle, Mr. Young, Mr. Glackin,  
27 Mr. O'Donoghue and Ms. Corrigan were present."

28  
29 And then he lists the support measures that were put in

place. Just go on down, please. He embeds the email into that. Just move down, please. Just keep going just past those emails back on to the statement. Thanks. Just he then puts other action plans in place and sets it out. I just want to pick this up again. Then at 405 he says:

12:09

"I've continued to provide support to Mr. Suresh until he returned to take up another post in England in October 2016. I did not receive any remuneration for having done so. I have since had reason to contrast the support offered to him in 2016 to that offered by the same persons to me in 2016."

12:09

Now, that's a note for the Panel and for Mr. O'Brien's reference. Can I ask you just at this point, were you ever asked to assist Mr. O'Brien in his clinical practice or his administrative practice at any point while you were at Craigavon, apart from the triage we mentioned earlier this morning?

12:09

A. No.

209 Q. And for the Panel's note, the letter of March 2016 to Mr. O'Brien asking him to make some suggestions is at TRU-274672. As a fellow clinician, what was your relationship like with Mr. O'Brien? I know he came in to support you on this particular issue, but how did you find him as a clinician? The Panel has heard various evidence and I would like to ask you your view, having worked with him?

12:10

1 A. Personally, you know, I have high regards for  
 2 Mr. O'Brien because he is a very pleasant gentleman to  
 3 work along, very sincere, hard working and, you know,  
 4 often seen emails coming from the night times or early  
 5 morning. So I could see he is very hard working, and 12:11  
 6 very empathetic and compassionate to the patients.  
 7 Very thorough. Every patient he used to know, but a  
 8 very detailed history. So, hard working, sincere,  
 9 pleasant gentleman, taking personal care of colleagues  
 10 and patients really. 12:11

11 210 Q. In relation to the MDMs, I just want to ask you a  
 12 couple of general questions, and we've sort of touched  
 13 on them with the Bicalutamide 50 and the examples  
 14 you've given. If you were to change a treatment regime  
 15 that had been agreed at an MDM for a patient, how would 12:11  
 16 you go about bringing that into effect? If a decision  
 17 had been made at the MDM for a certain treatment regime  
 18 and you subsequently made a decision, or considered  
 19 that another course of action was more appropriate,  
 20 what steps would you take in relation to that? 12:12

21 A. Generally the MDT coordinator, we have a big team  
 22 working along with the MDT, so they take down the notes  
 23 and act on that, like the patient to be seen in the  
 24 clinic within two weeks or something, then they liaise  
 25 with the booking coordinator to make sure all the MDT 12:12  
 26 patients, they get a timely appointment to the clinics.  
 27 They have separate slots in each clinic for MDT  
 28 patients, post MDT patients. So the whole team ensures  
 29 the patients have follow-up appointment in the clinic,

- 1 in a timely fashion.
- 2 211 Q. And would you bring the decision back for discussion  
3 with your colleagues?
- 4 A. I'm sorry to -- so the first point is getting the  
5 clinic appointment. So it's all done by the team, the 12:13  
6 coordinator and the booking team.
- 7 212 Q. Yes. But if a decision was made that a certain  
8 treatment regime was to be followed, and then you move  
9 on to the next patient at the MDM, that patient then --  
10 you see that patient subsequently and take a decision 12:13  
11 that "Actually, that MDM decision, I am going to depart  
12 from that decision and prescribe a certain other  
13 treatment regime, or not do what the MDM recommendation  
14 is", and we know it's not something that has to be  
15 followed, it's a recommendation. But if you make a 12:13  
16 decision to depart from it, are there any particular  
17 steps you would take as the clinician, having made the  
18 decision to change the treatment?
- 19 A. Yeah, if you have to go against the MDM recommendation  
20 is a rare thing, but time to time we may have to, then 12:13  
21 usually document everything clearly and copy the letter  
22 to the GP and see a nurse, cancer nurse specialist, and  
23 sometimes we have to bring back to the MDT to  
24 re-address the issue.
- 25 213 Q. So you would inform the GP by correspondence, but if 12:14  
26 you thought it was appropriate I think the thrust of  
27 your answer is you would bring it back to the MDM for  
28 discussion?
- 29 A. If it was something very straightforward for -- I can

1 quote an example. Like sometimes, you know, often what  
2 happens like a patient with high risk DCC bladder, like  
3 G3PT1 or CAS, so there may be some -- sometimes like  
4 not all information may be available at the time of  
5 MDT, maybe they can still be to follow the standard 12:14  
6 protocol policy or alternative care -- BCG, but when we  
7 see the patient at clinic, the patient can be  
8 completely different picture, maybe very elderly,  
9 frail, maybe even on wheelchair, with constant urinary  
10 incontinence. So the patient may not be a fit 12:15  
11 candidate to have BCG treatment, in terms of the BCG.  
12 So when we get more picture and we see the patients,  
13 sometimes we have to go slightly outside the MDM  
14 decision like not suitable for BCG, so explain the  
15 circumstances, copy letter to the GP. So if something 12:15  
16 is very straightforward generally we don't bring back  
17 to MDT, but if something different, like patient may be  
18 suitable for something different, then, yes, bring back  
19 to MDT.

20 214 Q. Did you ever Chair the MDMS when you were at Craigavon? 12:15  
21 Did you ever act as Chair?

22 A. Maybe just once or twice when the colleagues are on  
23 leave.

24 215 Q. And in relation to -- sorry.

25 A. Sorry. Yeah. When I was there all the meetings were 12:15  
26 chaired by Mr. O'Brien.

27 216 Q. And in relation to the time allocation to allow you to  
28 prepare your reports for the MDM, or to fill in your  
29 clinical summaries so that the MDM had the information

1           they needed, did you feel that you had adequate time to  
2           do that?

3           A.    It was taking slightly extra time, but my initial  
4           practice was when I do see the patient at clinic later,  
5           the clinic letter will be a detailed one with all the       12:16  
6           relevant details under the headline "diagnosis", but  
7           bullet points, and summary and action plan. So I was  
8           copying the letter to the MDT coordinator with a  
9           request to put it on the MDT, and later I was told that  
10          may not be enough, we want a separate pro forma to be       12:16  
11          filled in. So it was slightly, you know, extra work  
12          duplicating the work to submit the same data on a  
13          different format. Yes, it was.

14   217   Q.    So the system changed slightly so that there was a pro  
15          forma so that everyone knew what was needed to inform       12:16  
16          the decision making at the MDM?

17          A.    That's right, yeah.

18   218   Q.    Did you have any recollection of issues around quoracy,  
19          the number of people who were at the MDM, and the  
20          different specialities? Was that a problem while you       12:17  
21          were at Craigavon?"

22          A.    Yes, the main issue -- I don't think anything from a  
23          urological aspect. I think they were -- mostly  
24          there'll be at least two consultants. But from  
25          Radiology was a bit shortage. I think I remember       12:17  
26          Dr. Marc Williams, used to be the uro-radiologist. He  
27          was the only one mainly coming for Urology MDT. But  
28          when he was on leave there were a few meetings where we  
29          had to go without the radiologists, which was not

1 ideal. That issue was...

2 219 Q. And did you -- sorry, go ahead.

3 A. Yeah. No, that was brought up on a few occasions,  
4 every time when he was on leave then -- that was issue  
5 which came up again and again, yes. 12:17

6 220 Q. And did you or anyone else raise that formally with, or  
7 informally with the clinical lead or Mr. Mackle, for  
8 example? Was that ever escalated up as an issue or was  
9 it known?

10 A. I'm not sure to what extent it was escalated. 12:18

11 221 Q. Did you ever feel that there was a time when the  
12 quality of your decision was disadvantaged by the  
13 unavailability of one of the specialists?

14 A. Obviously it is a multi-disciplinary team meeting and  
15 we would like to have the consultants of every 12:18  
16 speciality was needed. When the radiologist wasn't  
17 there it was certainly sub-optimal. But there was some  
18 plan of action put in place, like anything needed,  
19 Radiology input, then we had the separate summary was  
20 made, a separate list was made, and the MDT Chair, the 12:18  
21 plan was to discuss with the radiologists to ask for  
22 their input and then to make the decision.

23 222 Q. And was the lack of available specialist ever -- did  
24 that ever result in a delay for the patient being  
25 considered? Did they have to be put off until the next 12:19  
26 meeting to allow someone to attend?

27 A. Yep, that could have happened, yes.

28 223 Q. Do you recall?

29 A. I don't know how often.



- 1 224 Q. Did it happen with you? Theoretically it could have  
 2 happened, but do you recall did it happen when you were  
 3 there, that you had to put people back because you  
 4 weren't quorate?
- 5 A. Yes, some other patients will be straightforward where 12:19  
 6 we go with the report of the radiologists, the  
 7 radiology report. Some of the patients would need to  
 8 go through the images, so these are brought up for the  
 9 next meeting, yes.
- 10 225 Q. Did you get the feeling that there was an attempt or 12:19  
 11 there was efforts being made to increase the capacity  
 12 so that you could meet quoracy, or was it the case that  
 13 it was just the way was and everyone sort of accepted  
 14 that it wasn't always going to be possible?
- 15 A. No, I think this issue was discussed again and again in 12:19  
 16 our Departmental meeting, and even during the MDT  
 17 meeting. So I vaguely remember some emails from Marc  
 18 Williams to finding alternate -- like to arrange cover  
 19 for the MDT.
- 20 226 Q. The Inquiry has heard evidence around the allocation of 12:20  
 21 cancer nurse specialists, clinical nurse specialists  
 22 and the like. I think it was early days in that  
 23 process when you were there. But do you have any  
 24 specific recollection at the MDMS as to the way in  
 25 which the cancer nurse specialists were allocated? Was 12:20  
 26 that something that you were aware of at all?
- 27 A. Not, well cancer specialists are there, you know, the  
 28 two of them are there, they are always available in  
 29 Thorndale Unit, where we used to run the clinics. So,

um, I'm not sure -- sorry, the question?

227 Q. Well the Inquiry has heard evidence that the policy was that the Chair of the MDM and the core nurse allocated clinical nurse specialists, and I just wondered if you had any recollection of that issue at all when you were there? Was there any issue around that or discussions at MDM about allocation, that you can recall? 12:21

A. No.

228 Q. Now, you mentioned CNS at your statement at WIT-50349, at paragraph 23.1, and you say this: 12:21

"The specialist cancer nurses offered support to cancer patients at every step, vetting the two week pathway referrals, supporting the newly diagnosed cancer patients in the clinic by giving them their contact details, information leaflets, and addressing their emotional and mental health issues, and any personal need that would help the patients in making the decision on their definitive treatment." 12:21

23.2:

"We had constant interactions with the specialist cancer nurses. They joined the clinics while seeing newly diagnosed cancer cases and while breaking bad news." 12:22

Now those two paragraphs, are they a description of the way in which you worked with the cancer nurses? Is

1 that how it operated for your particular practice?

2 A. Yes.

3 229 Q. Now in particular in relation to the vetting the two  
4 week pathway referrals, you've mentioned that, do you  
5 know how that was carried out by the nurses? How they 12:22  
6 vetted the two week pathway referrals?

7 A. I could say from my memory, like you know some  
8 straightforward parties, they were given clinic  
9 appointments. So that's what my understanding was. So  
10 only if there is any doubt or something, they were kept 12:23  
11 -- they were brought to our knowledge for triaging or  
12 to action on that. So they were doing some initial  
13 workup, and if anything -- if something was  
14 straightforward so they would have been given  
15 appointment straight away. If there was any doubt or 12:23  
16 anything missing, so they were brought to our  
17 attention.

18 230 Q. And was it your practice to bring the nurse, or to ask  
19 for the nurse to attend if you were breaking bad news,  
20 or you say, newly diagnosed. Did you ask the nurse to 12:23  
21 attend with you?

22 A. Yes, absolutely. Absolutely. Yes.

23 231 Q. Did you ever carry out clinics where you broke bad news  
24 or gave people diagnosis without the nurse being there?

25 A. Yes, sometimes it may not be physically possible for 12:23  
26 one of the nurse to be always available because a few  
27 clinics will be running around, and one may not be  
28 physically possible to attend all the rooms at the same  
29 time, or if they are on leave. So I usually give the

1 contact details of them to the patient, and the  
2 relevant booklets. Either they are there in the clinic  
3 in the room or they would be contacting the patient  
4 later.

5 232 Q. And when the nurse wasn't available, did you give out 12:24  
6 leaflets or contact details to the patient when you  
7 dealt with them yourself?

8 A. That's right. There were some booklets available  
9 readily, so, yes.

10 233 Q. Do you ever recall being told or hearing about 12:24  
11 Mr. O'Brien not engaging with the nurse specialists?  
12 Was that something that was ever brought to your  
13 attention?

14 A. No.

15 234 Q. Just in relation to results and follow-ups of 12:24  
16 investigations and tests ordered. What was your  
17 particular procedure for checking up on results when  
18 you had ordered a test or had asked one of the nurses  
19 to carry out a test on your behalf?

20 A. Yeah, mostly investigations. So I would be requesting 12:25  
21 my own like ultrasound or CT scan from the clinic.  
22 Some of the straightforward blood tests, by the time,  
23 you know, I approve the letter, the very next day the  
24 results will be available. So I check that straight  
25 away then and then. But if something, like ultrasound 12:25  
26 or CT, which will happen later on, usually the  
27 secretaries usually keep a track of that and when the  
28 results are available they are brought to my attention,  
29 and they're kept in a separate folder. I usually go

1 through my results folder periodically and act on them.

2 235 Q. Did you have any system with your secretarial staff  
3 where they alerted you, or with the nurses? Did you  
4 have anything set up that would allow the information  
5 to be fed back to you if it was more significant than  
6 perhaps just a routine result? 12:25

7 A. No, it will be usually through the secretaries. As I  
8 told, like you know, all those who needs tracking, they  
9 will keep it in a separate folder to keep tracking all  
10 the results, and once it is reported, the copy would be 12:26  
11 kept in my folder, so I would check them and act on  
12 them.

13 236 Q. So if they got an adverse report back, or review, they  
14 would put it into a certain folder and then you would  
15 look at that folder. Would that be something that you 12:26  
16 would do periodically, daily/weekly? What was your own  
17 system of practice?

18 A. Yeah, it is usually, you know, mostly every week, after  
19 my routine clinic where I used to go to the office, it  
20 will be in there, in the folder it will be kept. But 12:26  
21 if someone needs something very urgent or something,  
22 they would have got the email alert from either  
23 Radiology Department, I don't remember exactly, or some  
24 secretary might have emailed me or "Could you please  
25 look at this it is more urgent", something flagged up 12:26  
26 on the MR report, so I would just, you know, just speed  
27 up the process. So it would be on an almost daily  
28 basis, I used to go to my -- there would be a separate  
29 admin session where I would be looking at it, apart from

1           that almost every day it is in the office in the  
2           evening, to pick up and act on them.

3   237   Q.    So I know it's 2013, '14, '15, and the systems have  
4           changed, but it very much was a very heavy dependent  
5           paper base then, it was hard copy rather than any  
6           electronic trigger for reminder. So it was depending  
7           on the individual you were working with, your  
8           secretary, to build your own system?

12:27

9           A.   That's right, yes. Yeah.

10   238   Q.   And in relation to notes, having patient notes, what  
11           was your practice around the retrieval and use of  
12           notes, and what happened to those notes when you  
13           finished with them? Did you have a certain system for  
14           getting them to your secretary, getting them back to  
15           notes and records? What was your own particular  
16           practice?

12:27

17           A.   I think mostly the notes are brought to the clinic or  
18           anything, they would be -- I thought they would be  
19           taken back to secretaries. So I wasn't involved with  
20           the transfer of the records.

12:28

21   239   Q.   Did you ever have cause to bring notes home with you or  
22           to take them off site at all?

23           A.   No.

24   240   Q.   And what about dictation? That might suggest what  
25           happened to the notes. Did you do dictation  
26           immediately after your clinic or did you wait until a  
27           certain time in the week and do them altogether? What  
28           was your procedure for that?

12:28

29           A.   Usually I do it then and then in the same clinic.

1 241 Q. So after the patient left you would dictate the outcome  
2 and then move on, was that what you did?  
3 A. That's right, yes.  
4 242 Q. Did you ever fall behind on dictation?  
5 A. No. Like, you know, the clinics, all clinics are 12:28  
6 supposed to be finished by the -- the end of the clinic  
7 I will dictate a letter. If anything missing, like a  
8 patient might have DNA'd or something, my secretary  
9 would think "Oh, there's no dictation for this  
10 patient", and you would do a letter on the same day. I 12:29  
11 would say "Oh, patient DNA'd", so I would have dictated  
12 the letter.  
13 243 Q. So you would try and have it all done on the day of the  
14 clinic?  
15 A. That's right, yes. Yeah. 12:29  
16 244 Q. Now, you've made some comments in your statement around  
17 the clinical governance systems in place, and I just  
18 want to go to that. WIT-50351, and at paragraph 26.2,  
19 and you say this:  
20  
21 "There was an effective clinical governance system. As  
22 far as I was aware all staff had access to the incident  
23 reporting system through which any concern by any staff  
24 could be notified. However, I did not get any  
25 automated feedback on the actions taken for incidents. 12:29  
26 I did highlight the issue in one of the governance  
27 meetings of the surgical division, but cannot recall  
28 the exact date. I felt the clinical governance system  
29 was effective in that all staff had access to an

1 on-line reporting system of any incident or concern.  
2 Patients had access to PALS (Patient Advice and Liaison  
3 Services) and the complaint system.  
4

5 I do expect to get the feedback report on actions taken 12:30  
6 on review of incidents and complaints as we all have to  
7 learn from the mistakes. We are obliged to know what  
8 went wrong, why did it happen, and how to prevent such  
9 incidents happening again. But during my tenure, I did  
10 not receive the reports of the incidents I filed. 12:30  
11

12 I raised this issue in the combined surgical division  
13 audit governance meetings but do not recall the dates.  
14 Most of my colleagues echoed my concern in that  
15 meeting. We were told by the Chair (cannot recall the 12:30  
16 name) that any learning point from the incident would  
17 be circulated to all the relevant staff. However, I do  
18 not think the final reports on all incidents were  
19 circulated. "  
20

21 And you also say at WIT-50358, paragraph 45.1:  
22

23 "As far as I was aware, there were several ways to  
24 raise concerns: Direct reporting to the lead line  
25 manager, operational manager, medical director, or 12:31  
26 Chief Executive. (Their names are already provided).  
27 There was also PALS (Patient Advice and Liaison  
28 Service) and the Complaints Office to whom the patients  
29 or relative could directly contact. "



1  
2 Just move down slightly for me. Now, we have in our  
3 documents some of the IR1s that you have raised. One,  
4 for example, is the accidental splashing of  
5 contaminated fluid. I'll just give the Inquiry some of 12:31  
6 these references and for others. WIT-50444, that's the  
7 accidental splashing of the contaminated fluid.

8 WIT-50451, relates to the cancellation of procedure.

9 And there are a couple of others at WIT-50458,  
10 WIT-50473, and WIT-50481. Now, you've mentioned about 12:32  
11 the importance of feedback, whatever the purpose of the  
12 IR1 is. So you were familiar with the governance

13 formal procedures, that you had to trigger them on a  
14 couple of occasions, and is it the case, can we take  
15 from what you've said in your statement that no one 12:32  
16 ever came back to you and said "This is the outcome"?

17 A. That's right, yes. I did not get any report or action  
18 of what was -- that would come off that.

19 245 Q. I just wonder if we could go to AOB-73717. AOB-73717.  
20 Sorry, I just want to make sure I am reading these in 12:34  
21 order - they can be out of sequence. So this is an  
22 email from you to Mr. Glackin on 26th May 2015, and you  
23 saying:

24  
25 "Dear Mr. Glackin, ? 12:34  
26

27 I have seen a couple of patients recently with  
28 "forgotten stents" with no mention about the stents in  
29 the discharge letter. I have filled in incident forms.

Can we discuss about this issue in the next governance meeting, please, particularly about the need for a stent registry?"

And just go up, please? Mr. Glackin replies to you on 26th May 2015, and copies in Mr. Young, Mr. O'Brien, Mr. Haynes, Mr. O'Donoghue and Martina Corrigan, and says:

"Ram,  
I would be most grateful if you could present these cases formally so that we can share learning and plan some action points. Please let me know the dating codes associated with the cases. The next meeting is on the 16th June.

Tony. "

Now, you've mentioned about the forgotten stents and your triggering of the governance. Does that email that you have sent to Mr. Glackin indicate that you hadn't heard anything back, having put those issues into the system?

A. No, these particular two incidents I remember the stents and then, you know, Mr. Glackin emailing me to present those cases. I did remember presenting those cases in the urology governance meeting.

246 Q. And were they discussed at the governance meeting?

A. Yes, I presented those two cases in the governance

1 meeting, yes.

2 247 Q. So you were the one that presented the cases, the  
3 details that you had gathered. Had anyone else  
4 information on this particular issue and they brought  
5 that to that meeting?

12:35

6 A. No, particularly about only those two cases.

7 248 Q. Now, Mr. Glackin talks in his email about presenting  
8 them formally, which you did, and shared learning, and  
9 planned some action points. Do you recall what shared  
10 learning there might have been and what action points  
11 might have followed? Have you any recollection of that  
12 at this point?

12:36

13 A. I think there was discussion again, especially where my  
14 point was to maintain a stent registry. That's what I  
15 was emphasising on that. I'm not sure what exact  
16 action taken after that. Everyone agreed, yes, there  
17 should be a registry -- it is the responsibility of the  
18 individual surgeon who puts the stent in to keep a  
19 track.

12:36

20 249 Q. The subject matter of the email is "Stent Registry",  
21 that you have just mentioned. Do you recall if that  
22 was developed, if that was something that came into  
23 place as a result of you having identified that there  
24 were stents that hadn't been removed, but also that  
25 they hadn't been referenced in the discharge letter?

12:36

26 A. I don't recall the invitation of a stent registry, no.  
27 I mean this was brought up in a meeting, and everyone  
28 agreed, yes, there should be. But I don't recall a  
29 stent register was, you know, started at that time.

12:36

1 250 Q. Do you recall if there was any clarity at that meeting  
2 about who would take that forward? who was to take  
3 that idea and make it a reality?  
4 A. No, I don't recall particularly, yes.  
5 251 Q. But your recollection is that it didn't happen or you 12:37  
6 don't remember it?  
7 A. No, if it happened I would remember it, but probably it  
8 didn't happen, yes.  
9 252 Q. Do you remember if any of those two cases progressed to  
10 an SAI? Do you remember any of that information? 12:37  
11 A. No, I don't know the outcome of that, actually. I  
12 filed the incidents and I didn't get any feedback -- it  
13 is not just to I think going back, I think filed about  
14 five or six incidents, and I did not get any feedback  
15 of those - the outcome of this review. 12:38  
16 253 Q. And in relation to you having identified it and  
17 reporting it as an incident in the first place, is it  
18 your understanding that then others would look at that  
19 and take a view as to whether it met the criteria for  
20 an SAI? 12:38  
21 A. That's right, yes.  
22 254 Q. And if that were to happen then perhaps someone would  
23 speak to you about it to get more facts?  
24 A. That's right, yes. Exactly.  
25 255 Q. And did anyone ever come to you to get more facts about 12:38  
26 that?  
27 A. No.  
28 256 Q. If you just give me a moment, Mr. Suresh, just I want  
29 to make sure...

1 A. Sorry. Sorry, my apologies.

2 MS. McMAHON: Chair, I think I've covered all of the  
3 main issues that I had marked for Mr. Suresh. Mr.  
4 Suresh, I have no further questions for you. The Panel  
5 may have some. Thank you. 12:39

6 CHAIR: Thank you very much, Mr. Suresh. I am going to  
7 hand you over first of all to Mr. Hanbury, who will  
8 have some questions for you.

9  
10 QUESTIONED BY MR. HANBURY 12:39

11  
12 MR. HANBURY: Thank you very much for your evidence so  
13 far, and your kind remarks about Lister Hospital. What  
14 took you to Craigavon initially?

15 A. Oh, it's a good question actually. I think maybe 2008 12:39  
16 I was trying to expand my skills, especially on the  
17 lasers and PCNL, so I was exploring the options, and I  
18 was lucky to get sabbatical leave and got a job in  
19 Belfast as a locum consultant for nearly nine months I  
20 was there, and I very much liked Northern Ireland. 12:40  
21 There's a lot of places like, you know, schools and  
22 very lovely people. So when I got, when I went into  
23 specialist registrar, I was looking for a substantial  
24 consultant post, so I was looking for a place where  
25 there would be grammar schools - that was my first 12:40  
26 priority for my kids, because they are going to private  
27 schools there. So, Northern Ireland was my first  
28 choice. Of course I was looking for jobs that were  
29 open, and when it came up, yes. I had a good idea

1 before and so I liked it.

2 257 Q. okay. So then why did you leave?

3 A. Again, for -- purely for family circumstances.

4 Initially my kids at that time, my daughter was in

5 A-level, and they're both medicine, and so she wanted 12:41

6 to apply mainly for England. I thought she would chose

7 Belfast, you know, city, but because of pressures she

8 said "No, I want to go to England", and my wife also

9 couldn't -- she was a lecturer here in the sixth form,

10 and she couldn't get a suitable job in Northern 12:41

11 Ireland, so it was mainly family circumstances.

12 258 Q. So moving back to urology a bit more. The case for

13 Bicalutamide 50 when you presented that at the MDT,

14 just tell us a little bit more about the conversation

15 when that case was presented? Did Mr. O'Brien give an 12:41

16 explanation for why the patient was on that particular

17 dose or was there a debate, shall we say?

18 A. There was question about -- then everyone asked me "Are

19 you sure he is just on monotherapy? It is not as a

20 part of maximum antigen blockade? what's the 12:41

21 background? what's the story?" Then I told, as far as

22 I could go back on the record, there was only low risk

23 prostate cancer, the PSA was in single digit, and the

24 patient was not on LHRH analogue injections, but just

25 purely on this monotherapy at 50mg. And so that's why 12:42

26 bringing up the whole case here at MDT, that's how I

27 presented it. And there was, again, the question of:

28 "Are you sure not on LHRH analogue injections?" The

29 discussion was about it mainly. And then the consensus

1 was, yes, the patient shouldn't be on this monotherapy,  
 2 and they asked me "What did you tell the patient?", and  
 3 I said "No, long discussion, and the patient choice is  
 4 the patient want to see Mr. O'Brien before making any  
 5 change in the plan."

12:42

6 259 Q. The Panel decision after you presented it was that the  
 7 patient should not have been on that dose?

8 A. That's right.

9 260 Q. All right. Okay. Thank you. In your statement you  
 10 said you kindly did some extra outpatients when we've  
 11 heard about big backlogs, but you also comment in some  
 12 of them there were no nurses or receptionists, was that  
 13 just a one-off or was that a regular occurrence,  
 14 because it is not easy doing clinics without support?

12:42

15 A. No, there are a lot of backlog and in the department  
 16 meeting they said "Does anybody want to do clinics?",  
 17 and I did offer a few weekends, but some of them had  
 18 declined because of the no staff nurse or receptionist.  
 19 So the clinic was cancelled, not accepted, because of  
 20 lack of staff.

12:43

21 261 Q. Oh, I misunderstood then. So if that be the case the  
 22 clinics would not go ahead?

23 A. That's right, yes.

24 262 Q. Okay. Thank you. In your statement there's a table of  
 25 waiting times showing your waiting times for surgery  
 26 were rather shorter than Mr. O'Brien particularly, but  
 27 other urologists too. Did anything happen as a result  
 28 of those figures? Was there any pooling of patients,  
 29 such that patients waiting longer would be done in a

12:43

1 shorter timescale?

2 A. Only for the clinics there was a pooling. I can't  
3 recall extra theatres running at that time.

4 263 Q. Not so much extra theatres, it is sort of patients  
5 transferred from one consultant to another. Was that 12:44  
6 happening or did that not?

7 A. Probably not, maybe one or two patients, occasional  
8 patients, yes.

9 264 Q. Right. Okay. Thank you. You say you did a stone  
10 audit in 2014, but you didn't tell the details of that, 12:44  
11 but you did say it led to a change in practice. What  
12 was that?

13 A. I am sorry, Mr. Hanbury, I don't particularly recall.  
14 Sorry. I should have kept it on my folder.

15 265 Q. It was in one of your appraisals. Going back to the CT 12:44  
16 results and acting on results, you mentioned one case  
17 where the result of a CT, the radiologist suspected an  
18 underlying myeloma or haematological, and your comment  
19 when you saw that straight away would be "Happy to see  
20 the patient as an extra", obviously implying that you 12:45  
21 would see the patient very soon, but then the patient  
22 didn't actually come back for nine months or so.

23 A. That's right.

24 266 Q. Why do you think that happened? Where did the  
25 arrangements fall down? 12:45

26 A. That's, you know, I was really shocked like the patient  
27 took nearly nine months or one year to come to the  
28 clinic, and although I made a very clear note wanted to  
29 see the patient in the next two weeks, "Happy to see



1           you as an extra patient", so a the clear note was made,  
2           and looking back, now I got the feedback from just now,  
3           you know, and they said the human error happened. So,  
4           I don't know how it got overlooked.

5   267   Q.    Okay. Thank you. Just a couple of things about the           12:46  
6           partial nephrectomy bleed. That was an open partial  
7           nephrectomy, the original case, was it?

8           A.   That's right.

9   268   Q.    Okay. Thank you. And when you went down and discussed  
10          the CT scan with the radiologist, there was a bit of           12:46  
11          fluid. was that, and this is slightly technical and I  
12          am sorry, but was it an arterial phase CT, do you  
13          remember?

14          A.   No, I don't think it was CT angiogram. It was CT  
15          abdomen. There is the thing which was looking at           12:46  
16          whether should I ask for CT angiogram at that point?  
17          We did have some discussion with the radiologists and  
18          they said "If there is no active bleeding it may not  
19          change anything, the patient is stable now, so shall we  
20          wait?", and that was the, you know, discussion we had.       12:47

21   269   Q.    But --

22          A.    -- looking --

23   270   Q.    -- the angiogram wasn't offered, but you didn't push it  
24          either?

25          A.    I should have pushed it, now looking back, yes.           12:47

26   271   Q.    I mean would the radiologists have been in a position  
27          to do an embolization if the patient needed it? Did  
28          you have interventional radiology, I guess is my  
29          question?

1 A. Yeah. I don't think there was one at that point in  
2 Craigavon, if at all, the patient would have been taken  
3 to Belfast for that.

4 272 Q. You don't think there was an interventional radiologist  
5 who could have done an embolization? 12:47

6 A. Not that I could recall at that point, yes.

7 273 Q. Just obviously from a governance point of view...

8 A. Yes. Yeah.

9 274 Q. That's good backup for a unit that's doing partial  
10 nephrectomy. Okay. I'll ask others for that. Just in 12:47  
11 terms of your job plans. We have noticed that you had  
12 quite long waiting times for flexible cystoscopy, and I  
13 didn't see a flexibly cystoscopy list on your job plan.  
14 Do you remember doing --

15 A. Yes. Yeah. I think cystoscopy was done by the 12:48  
16 registrars and other colleagues. I don't recall doing  
17 a dedicated flexible cystoscopy. Said that, it took us  
18 some extra weekend list or something, or doing -- but  
19 I'm not sure whether it was there in my regular job  
20 plan. I can't remember. 12:48

21 MR. HANBURY: Right. I think that's it. Thank you  
22 very much.

23 CHAIR: Thank you, Mr. Hanbury. Dr. Swart.

24

25 QUESTIONED BY DR. SWART 12:48  
26

27 DR. SWART: I just want to ask you the antibiotic audit  
28 figures that was presented to you. On first reading it  
29 looks from those that there was a lot of non-compliance

1 with best practice. How was that actually handled in  
 2 terms of the Department discussions? For example, did  
 3 somebody from pharmacy come and talk to you about that?  
 4 Did the microbiologists come down and talk to you? Was  
 5 there a meeting? Was it taken further on a regular 12:49  
 6 basis? Can you just give us a flavour?

7 A. Whenever this email came around about the report, we  
 8 used to discuss in the department meeting like, you  
 9 know, that's minors list like. There was a formal  
 10 discussion why it was happening. So one point we, or 12:49  
 11 at least I raised was, antibiotics usually prescribed  
 12 by another team doing emergency admission and then, you  
 13 know, we go and change it to make appropriate action,  
 14 and to make it -- like everyone -- the discussion was  
 15 that, yes, we all should be vigilant and adhere to the 12:49  
 16 policy. And I think there was one meeting arranged  
 17 with a microbiologist to come and give a talk. I'm not  
 18 sure that, yeah, there was -- one microbiologist was  
 19 supposed to come and give a talk about the local policy  
 20 guidelines, yes. 12:50

21 275 Q. But not regularly. Did you have, for example, a  
 22 regular report that would tell you are you getting  
 23 better or worse, or to ask you for a formal reply to  
 24 say "What are you doing about this?", because it  
 25 doesn't look very acceptable just on first reading? 12:50

26 A. That's it.

27 276 Q. Did that happen?

28 A. Yeah. Sorry. Only information was given to us, so I  
 29 thought it is the responsibility of the consultant to

1 look into and adhere to the policy.

2 277 Q. Yes. So you had a patient safety meeting with your  
3 colleagues, didn't you? I think it's changed it's name  
4 a bit over the years, but it was a place to discuss  
5 incidents and so on. If you take the stent issue, for 12:50  
6 example, was there an occasion where a series of stent  
7 incidents were brought to that meeting and somebody was  
8 given the job of putting in a new way of dealing with  
9 this? Did that happen as an individual item?

10 A. No, as far as I recall only these two cases I brought 12:51  
11 up.

12 278 Q. But you said you didn't get any feedback on them, so  
13 what I'm trying to say is did anybody bring them as a  
14 group to the meeting and say, "Dear urologists, we need  
15 a plan for this", did that happen? 12:51

16 A. During that governance meeting when we discussed about  
17 those two cases, everyone agreed, yes, there should --  
18 we should make a stent register.

19 279 Q. But did somebody get the job card of sorting it out?

20 A. No. As far as I know, no. 12:51

21 280 Q. No. In those meetings generally was the tone of the  
22 meeting supportive, was it a meeting that ended up with  
23 a list of jobs for people to take on? What was the  
24 atmosphere of that meeting generally?

25 A. I remember Mr. Glackin sending out one email, I 12:52  
26 recollect it after going through the bundle, about the  
27 bullet points of actions taken, yes.

28 281 Q. But when you were sitting in the meeting, were you  
29 clear at the end of the meeting if you had a job to do?

1 A. No.

2 282 Q. Okay.

3 A. There's no individual delegation or no definite action

4 plan.

5 283 Q. And did everybody come to the meetings? 12:52

6 A. I don't recall about the full attendance, but generally

7 attended all the registrars, consultants. Everyone was

8 supposed to attend the meeting.

9 284 Q. I know they were supposed to come, but was the

10 attendance good or not? 12:52

11 A. I remember only a few meetings -- sorry, I can't say,

12 from my memory. Yes.

13 285 Q. Okay. So there were some incidents discussed on

14 occasion. What other regular items got a lot of air

15 time at the safety meetings? What did you spend most 12:53

16 of your time talking about?

17 A. I'm sorry, in that governance meeting particularly?

18 286 Q. In the safety meetings. What took the most time? Was

19 it complications of surgery?

20 A. Yeah. 12:53

21 287 Q. Was it audits? Was it other issues? Was it patient

22 complaints? What took the most time?

23 A. Yeah. Yeah, I think mostly the morbidity and

24 mortality. That was the main thing.

25 288 Q. So what morbidity things did you talk about? Give me 12:53

26 an example of something that you would talk about? Did

27 you have specific information brought to the meeting

28 about complications, for example, or did you just talk

29 about the things you experienced yourself?

1 A. No, usually generally all morbidity send a list. For  
2 example, I can quote like the patient who had had the  
3 emergency nephrectomy, I think Mr. O'Brien was chairing  
4 that meeting, so he presented that case.

5 289 Q. So who brought the cases? Who identified the morbidity 12:53  
6 cases? Was it the consultants themselves?

7 A. Yes, and I think who was Chairing -- probably for say  
8 from Urology is Chairing, then I would have fed this  
9 information to "Oh, this patient to be presented" as a  
10 collective one. I don't think there was any specific 12:54  
11 record to maintain all the --

12 290 Q. Okay. In terms of mortality, did you have, for  
13 example, a system whereby every death after elective  
14 surgery was talked about? Was what automatic?

15 A. I'm not sure how those mortalities were picked up. 12:54  
16 There should be some mortality register.

17 291 Q. And can you tell me what your view was of the amount of  
18 audit going on in the department at that time?

19 A. At that time -- but there are two things we need to  
20 talk about. One is quantity and quality. And quantity 12:54  
21 wise I don't think there was too many audits going on  
22 because there was already a shortage of registrars and  
23 consultants, there was a shortage of staff, and the two  
24 audits that I think I recall were, you know, good  
25 quality base audit one, there was about -- I mean we 12:55  
26 started the new clinic, there was an audit, which was a  
27 thorough robust one. So I would say, quantity wise  
28 there were not enough as expected for a big unit, the  
29 number of audits.

- 1 292 Q. Because quite a few people have told us there was not a  
2 big emphasis on audit, and was it your view that there  
3 wasn't time for audit and that people did a bit when  
4 they could? Is that what you're saying?
- 5 A. That's it, because the one is I would say lack of staff 12:55  
6 and lack of time --
- 7 293 Q. And --
- 8 A. -- going on, yes.
- 9 294 Q. So you've worked in other hospitals as well as in  
10 Craigavon. How busy did you find the Department? Did 12:55  
11 you find it much busier than other places or did you  
12 find it about the same?
- 13 A. I would say busier on the number of catchment, because  
14 the wider catchment area, patient coming from different  
15 parts of the county. And, secondly, this advanced 12:56  
16 triaging was taking more time and more admin work.  
17 Yes, it was busier. Yes.
- 18 295 Q. In terms of clinical governance. You have talked about  
19 incidents, but not really about other aspects much in  
20 terms of audit, regular systems, and so on. What is 12:56  
21 your view about the duty of individual doctors to  
22 actually raise issues and act on them? Do you think  
23 that was emphasised at Craigavon or do you think the  
24 Department was overwhelmed with other things?
- 25 A. I would say this is part of a mandatory part of any 12:56  
26 clinician like to -- the audit and looking back, what's  
27 happening, incident report.
- 28 296 Q. But how much emphasis was there? Was that really  
29 pushed or were you all overwhelmed?

- 1 A. Maybe I don't think anyone needs to be pushed to do  
 2 that, because it should happen automatically. But I  
 3 don't know the system whether how much the incident  
 4 report --
- 5 297 Q. So when you came, for example, did you have a whole 12:57  
 6 session as part of your induction on how to deal with  
 7 serious incidents, or how the incident process worked  
 8 at Craigavon? Was that explained to you?
- 9 A. No. No, there was no proper induction, but I picked it  
 10 up as work along. 12:57
- 11 298 Q. Was there a regular learning from serious incidents  
 12 throughout the hospital? Did you have any part in  
 13 those events?
- 14 A. That was my main emphasise. Like I myself reported a  
 15 few incidents. 12:58
- 16 299 Q. Yeah.
- 17 A. I didn't get any feedback on those. So the wider  
 18 circulation I feel that any lessons learnt from  
 19 anything should be circulated to all, those 11 team,  
 20 not just only to the particular consultant or clinician 12:58  
 21 or staff.
- 22 300 Q. So you didn't get personal learning, but also you  
 23 weren't aware of general learning activities made  
 24 available to you?
- 25 A. That's right, yes. 12:58
- 26 301 Q. Okay. In terms of planning for Urology, you have a  
 27 very busy department here, lots of issues which we've  
 28 heard about. How much time was the departmental  
 29 meeting able to allocate to considering solutions for



1 long-term planning in Urology? Were there sessions set  
 2 aside for that so you could contribute to the future?

3 A. Yes. The one important meeting I would say the most  
 4 important meetings happening in Craigavon was the  
 5 weekly department meeting where we could bring up all 12:58  
 6 issues, and also there was, you know, Martina Corrigan  
 7 was regularly there and she used to present, like you  
 8 know, these are the waiting lists, backlog, backlog.  
 9 And so action plan was discussed every time.

10 302 Q. But what was the long-term plan? Were you allowed to 12:59  
 11 contribute to what the long-term plans for the hospital  
 12 were? I mean I know you discussed waiting lists. So  
 13 what ideas did you come up in those meetings, for  
 14 example, in terms of improving things for the future?

15 A. Yeah, there was -- about to do one, because I think -- 12:59  
 16 just we went back on holiday and we came back, and then  
 17 there were was supposed to be a meeting within the next  
 18 couple of days, so I sent my presentations, like you  
 19 know, starting from every aspect, how could we speed up  
 20 the process of the -- every clinic, Outpatients, for 12:59  
 21 endoscopies, or datas, and each category, I just came  
 22 up with some action plan and I presented it in the  
 23 departmental meeting. But, of course, you know, it  
 24 would not just happen overnight in the Department. It  
 25 needed input of wider -- 13:00

26 303 Q. Yes, that's what I'm talking about, the bigger picture.

27 A. Yeah.

28 DR. SWART: Thank you.

29

1           QUESTIONED BY THE CHAIR

2

3           CHAIR: Thank you, Dr. Swart. Thank you, Mr. Suresh.

4           Just in regards to the incident in 2015. If I have

5           understood you correctly, you say there were two 13:00

6           parallel processes. Mr. O'Brien reported that to the

7           patient safety meeting, or the morbidity and mortality

8           meeting I think as it was probably then called, and as

9           a result of him doing that, you also, I take it, were

10          quite shaken by the fact that you were on-call this 13:00

11          night and this had happened on your watch, as it were.

12          So you sought help yourself. So there were two

13          parallel -- Mr. O'Brien reporting it to this meeting,

14          obviously it was a serious incident for the patient,

15          and you seeking to improve your skills and seek 13:00

16          training and to gain confidence, and this whole action

17          plan then was put in place around you, and you felt, as

18          you've said, supported by that. Have I got that right?

19          Have I got the actual mechanism correct? It was a

20          two-pronged attack, as it were? You felt the need to 13:01

21          get help, and you asked for it, and your colleagues

22          recognised that you needed help and they provided it.

23          Would that be a fair summation of what happened?

24          A. That's it exactly, yes.

25          CHAIR: Okay. Thank you, Mr. Suresh. I have nothing 13:01

26          further. But I think Ms. McMahon might have one or two

27          questions still.

28

29          FURTHER QUESTIONED BY MS. McMAHON

1  
2 MS. MCMAHON: I just want to just clarify a further  
3 point. We've heard that you did work with Mr. O'Brien  
4 in the theatre on the night of the incident that the  
5 Chair has just referred to. Did you have other 13:01  
6 experience of working in the operating theatre with  
7 Mr. O'Brien?

8 A. Yes, particularly after that incident like I want to  
9 have experience with open surgeons, so I attended maybe  
10 two or three. I don't recall how many, but, yes, at 13:02  
11 least two, three. Yes, I remember operating with him.  
12 Yes.

13 304 Q. What was your view of Mr. O'Brien's surgical  
14 competence?

15 A. He was a very meticulous surgeon with good surgical 13:02  
16 hands.

17 305 Q. I'm sorry I didn't hear the answer?

18 A. I'm sorry. Very meticulous surgeon with very good  
19 surgical hands. Yes.

20 306 Q. Did you consider him to be an excessively slow surgeon? 13:02  
21 A. I saw only a few, but that could be a bit subjective in  
22 its lower force, but for that case it took the  
23 appropriate time. It was not too lengthy or anything.

24 307 Q. And in your experience how did he communicate with  
25 other personnel in the theatre? 13:02  
26 A. Oh, he had excellent communication skills. Always, you  
27 know, friendly.

28 308 Q. Now the Inquiry have heard evidence from Ms. Gishkori  
29 alleging that there was -- Mr. O'Brien created havoc in

1 theatre. was that your experience at all?

2 A. Not with my limited experience, no.

3 MS. McMAHON: I have no further questions. Thank you.

4 CHAIR: I think actually in fairness to Ms. Gishkori,  
5 her evidence was that it was the theatre lists rather  
6 than actually in theatre.

13:03

7 MS. McMAHON: Yes. No, I should clarify that, it was  
8 theatre lists. So put that on the record. But thank  
9 you.

10 CHAIR: Thank you. Well what concludes today's sitting  
11 then, Ms. McMahon? I think we're due to resume with  
12 Mr. Glackin tomorrow morning at 10:00 o'clock. Thank  
13 you, Mr. Suresh. Thank you everyone. See you  
14 tomorrow.

13:03

15  
16 THE HEARING ADJOURNED UNTIL 10:00 A.M. ON THURSDAY,  
17 19TH OCTOBER 2023

13:03

18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29